

Factual Report – Attachment 4
TALON27 Phone Conversation Transcription

AIR TRAFFIC CONTROL

DCA19MA143

UNITED STATES OF AMERICA

NATIONAL TRANSPORTATION SAFETY BOARD

* * * * *

Investigation of: *

*

BOEING 737-800 OVERRUN *

JACKSONVILLE, FLORIDA * Accident No.: DCA19FA143

MAY 3, 2019 *

*

* * * * *

Interview of: LT MATTHEW STARSIAK, Instructor Pilot
LT STEPHEN McINTYRE, Ground Safety Officer
LTJG RYAN PAJOR, Junior Pilot
TALON27, U.S. Navy

Via Telephone

Tuesday,
June 4, 2019

APPEARANCES:

PAUL SUFFERN, Senior Meteorologist
National Transportation Safety Board

BRIAN SOPER, Senior Air Traffic Control Investigator
National Transportation Safety Board

JOHN O'CALLAGHAN, National Resource Specialist for
Aircraft Performance
National Transportation Safety Board

WARREN ABRAMS, Operational Factors Investigator
National Transportation Safety Board

CDR SCOTT MORRILL, Party Coordinator
U.S. Navy

<u>ITEM</u>	<u>I N D E X</u>	<u>PAGE</u>
Interview of LT Matthew Starsiak:		
By Mr. Abrams		8
By Mr. Soper		13
By Mr. Suffern		18
By Mr. O'Callaghan		21
By CDR Morrill		35
By Mr. Abrams		36
By Mr. Suffern		40
By CDR Morrill		42

I N T E R V I E W

(1:04 p.m.)

1
2
3 MR. SOPER: Okay. So we're on the record now.

4 I'm Brian Soper. I'm an air traffic investigator with the
5 National Transportation Safety Board. We are an independent
6 agency. We're charged with determining probable cause of
7 transportation incidents or accidents and to promote aviation
8 safety as a whole -- or to promote safety, for that matter.

9 We're not part of the Department of Transportation. We're
10 not part of the FAA, and we have no direct affiliation with them
11 at all. And we also have no regulatory authority. We don't make
12 rules. We don't enforce rules, and we don't have enforcement
13 powers. That's not our part of the thing.

14 So that being said, today here with us we've got myself that
15 you've already talked to, Paul Suffern, who is a senior
16 meteorologist with the National Transportation Safety Board, as
17 well, John O'Callaghan, who is a senior -- you know what -- I
18 don't want to misspeak your title, John. What is your actual
19 title?

20 MR. CALLAHAN: The actual formal thing is National Resource
21 Specialist for Aircraft Performance.

22 MR. SOPER: Okay. There you go. He's our man.

23 And I have Warren Abrams on here, who is an Operational
24 Factors Investigator with our Operational Factors Division here,
25 as well. So that's who we have on the line with us, and then

1 we'll be using, we'll be using this recording to develop a
2 transcript from it. We have that professionally transcribed after
3 the fact. We produce this recording to them, and they take care
4 of that for us.

5 The purpose of the investigation, itself, is strictly safety
6 for us. Our objective is, as I mentioned earlier, to determine
7 probable cause and prevent reoccurrence. Our role is not to
8 assign fault, blame, or liability. That is not our part of the
9 job at all. This interview and discussion that we're having today
10 is just part of the whole fact-finding phase of this
11 investigation.

12 We cannot, though, as Commander mentioned earlier, and I
13 think he -- you already spoke about it, but just so that everybody
14 is clear, it works a little differently. Almost everything we do
15 is parallel to what happens in a Navy safety investigation with
16 the exception of privilege. We do not offer privilege. So
17 everything that we glean here can be utilized in the course of the
18 investigation.

19 So each of the group members will all have a chance to ask
20 questions of you all. You, as well, can ask questions, and as we
21 go through this, we will -- we're pretty adept at this. We do
22 this quite often, and we all know the rules of not stepping on
23 each other and keeping our questions one at a time and kind of
24 following in order.

25 We won't finish until everybody has an opportunity to ask

1 everything they need to ask so that we catch everything in one
2 thing. Stand by one second, please.

3 (Off the record.)

4 (On the record.)

5 Okay. I apologize, everybody. I had a little minor
6 emergency happening over here. So I apologize for that.

7 Do I still have everybody on the line?

8 UNIDENTIFIED SPEAKER: Yep, we're still with you.

9 UNIDENTIFIED SPEAKER: Still here.

10 MR. SOPER: Okay. As we continue to go through this, we just
11 ask that you answer all the questions to the best of your ability
12 and the best of your recollection. Please don't try to fill in
13 the blanks or tell us what you think we want to hear.

14 So if you don't understand something, it's okay to say "I
15 don't understand" or if you need something repeated, please ask us
16 to repeat it. And if you don't remember something, it's okay to
17 say you don't remember or that you don't know. There's no trick
18 questions. We don't try to paint you into a corner. That's not
19 what we're about.

20 All of you three that we're talking with today, you all have
21 an opportunity to have a representative there of your choosing.

22 Do any of you want a separate representative to be with you
23 during this discussion?

24 LT STARSIAK: That's a no for the crew of Talon27.

25 MR. SOPER: Okay. So for all three of you, that's a no.

1 Thank you for that.

2 And what I'd like to remind everybody here before we actually
3 kick off into questions is that because we are recording this, to
4 avoid confusion and to increase clarity, I just ask that when we
5 change the course of a person talking that you state who you are.
6 So if you have a question, say -- you know, just state -- just
7 start it off with this is Brian Soper, I have a question for you.
8 And I'll ask the question.

9 Now, I can go through a series of three or four questions if
10 we're back and forth. When that speaker changes, the next person
11 please say yes, this is John O'Callaghan, I have a couple
12 questions for you. The same way for you, Lieutenant and your
13 crew, if you could do that for us, that would be really great.
14 Does everybody copy on how that works then?

15 LT STARSIAK: Understood.

16 MR. SOPER: Very cool. Okay. So to start it off, what I'd
17 like to do is I'll start with you, Lieutenant. If you could give
18 me your first and last name and your job title, and then I would
19 like the other two crew, two crew members to do the same for me
20 and just speak it on the record.

21 LT STARSIAK: My name is Lieutenant Matthew Starsiak, and I
22 am instructor pilot at VP-16 and former pilot NATOPS officer.

23 MR. SOPER: Okay.

24 LT McINTYRE: I am Lieutenant Stephen McIntyre, a patrol
25 plane commander and also a ground safety officer here at VP-16.

1 MR. SOPER: Okay.

2 LTJG PAJOR: I'm LTJG Ryan Pajor. I was the junior pilot of
3 the crew.

4 MR. SOPER: All right. Thank you for that. Okay. So we've
5 go the black and white stuff out of the way for the moment. So
6 I'd like to -- do you have any questions for us before we begin
7 asking you questions?

8 LT STARSIAK: No, not really. Fire away.

9 MR. SOPER: Okay, sounds good. I'm going to go ahead and
10 start off with Warren Abrams, actually, our operational factors
11 investigator.

12 So any questions that you have right off the bat, Warren, I
13 know -- I think you're kind of asking on behalf of Kat Wilson,
14 also, who can't be with us, but she worked with your group while
15 you were on site. So fire away, Warren.

16 MR. ABRAMS: Thank you, guys. This is Warren Abrams. As
17 Brian said, I'm an air safety investigator here.

18 INTERVIEW OF LT MATTHEW STARSIAK

19 BY MR. ABRAMS:

20 Q. Lieutenant Starsiak, just some basic -- real basic stuff,
21 when did you get your wings?

22 A. I'm LT Starsiak. It would be August of 2014.

23 Q. And how long have you been an IP on the P-8?

24 A. Let's see. A little over a year now.

25 Q. Okay. And in that year's -- not in that year's time -- how

1 much time, total time do you estimate you have the in the P-8?

2 A. I have over 800 hours in the P-8 currently.

3 Q. All right. I am taking notes, even though this is being
4 recorded, so forgive the pause a little bit between my questions.

5 And before you were a P -- before you were aircraft commander
6 on the P-8, what was your position before that in the cockpit?

7 Were you -- do you go from the right seat to the left seat on it?

8 A. We fly in both seats, but when we enter the squadron, we
9 enter the squadron as a 3-P, and then you upgrade to a 2-P, and
10 then once you're done with the 2-P syllabus, you qualify as the
11 aircraft commander or, as we call it, the PPC, the patrol plane
12 commander.

13 Q. Okay.

14 A. Instructor pilot is what I am currently designated as, which
15 is the step up from patrol plane commander.

16 Q. Was this a training flight when you were -- or was this a
17 training flight the night of the incident?

18 A. It was, yes. LTJG Pajor and LT McIntyre were both conducting
19 upgrading events with me as the instructor pilot.

20 Q. Very good. As Brian said earlier, we don't want to step on
21 any toes. If I ask something that's out of line, just say you
22 can't answer that or something like that, because I have no
23 intention of getting into something that I shouldn't get into, but
24 I can cross a line at times.

25 In the cockpit, were just the three of you there? There's

1 not a fourth jump seat is there, or is there room for anyone else
2 in the cockpit?

3 A. There are the two regular seats and then the jump seat that's
4 aft those two regular seats and to the middle of them. So all
5 three pilots were in the flight deck for the whole course of
6 events.

7 Q. Lieutenant Starsiak, was this your first billet? In other
8 words, after you got your wings, where did you go after you got
9 your wings?

10 A. So after we get our wings, we go to the FRS, which is -- the
11 squadron is VP-30, and that squadron is what gives us the initial
12 introduction to flying the P-8 --

13 Q. Okay.

14 A. -- and become basically qualified out of there. And then
15 they send us over to our fleet squadron, which we go through the
16 other syllabuses that we previously talked about to ultimately
17 become a patrol plane commander.

18 Q. Got it. So you don't have to go through the P-3 -- what's
19 left of the P-3 squadrons to become a P-8 now, do you?

20 A. No. No, we do not. VP-30 trains both P-3 and P-8 pilots,
21 but all three of us have only had hours in the P-8 as far as
22 operational Navy aircraft.

23 Q. Okay. And can I assume, prior to wings, you went through the
24 T-34C and the TC-12B? Is that a normal track for the Navy guys
25 these days?

1 A. That is correct. Yeah. All three of us flew the T-6-Bravo,
2 I believe it is, and then I, myself, flew the T-12, and both of
3 the other guys, LTJG Pajor and LT McIntyre flew the T-44.

4 Q. Okay, good. All right. Approximately how much of your total
5 flight time would you consider nighttime these days? It's an
6 estimate. I'm not looking for hard numbers, just an estimate.

7 A. I honestly couldn't say. That's not something I regularly
8 look at in my logbook, so I really couldn't give you an accurate
9 number. I can write it down, and I can email it --

10 Q. No. No.

11 A. -- to you.

12 Q. No. It was just -- since this was a night landing, I was
13 just going there. How many squadrons are there in Navy Jackson P-
14 8?

15 A. We have six P-8 squadrons here.

16 Q. A whole bunch. I've got a lot of questions, but it talks
17 about arresting cables and weather, and I'm going to stop my
18 questions at the -- well, I got one more. Lieutenant, how long
19 were you airborne prior to your landing back in JAX, Navy JAX,
20 approximately?

21 A. Prior to coming back to JAX, it would be approximately 4
22 hours.

23 Q. Once you took off from JAX, did you land at any intermediate
24 airports on the way?

25 A. We did not land, but we conducted touch-and-gos at

1 Wilmington -- no, where'd we go?

2 UNIDENTIFIED SPEAKER: Gulfport.

3 LT STARSIAK: Oh, Gulfport, yeah, and -- Gulfport and
4 Tallahassee is the two locations we conducted our touch-and-gos
5 at.

6 BY MR. ABRAMS:

7 Q. Okay. Did you cut your training mission short based on the
8 predicted weather in JAX?

9 A. No. We did not cut it short. When we did get into
10 Tallahassee, we did notice a lot of conductive activity in the
11 area, mostly up the northwest. So we had a good discussion as a
12 flight crew if that started moving into Tallahassee, we were going
13 to return to Navy JAX sooner. But at the time, it stayed well
14 away from us so we continued training and finished all training
15 (indiscernible) and then went back to Navy JAX.

16 Q. Okay, great. I thank you for your time.

17 MR. ABRAMS: Like -- I've got some follow-up later on, but as
18 -- we've got meteorologists on the line with us, and I don't want
19 to step on their toes by asking all these weather questions, and
20 if they don't ask something, I'll get back on on the second round
21 of questioning. But I'm going to turn over the mike, the virtual
22 mike, and Brian, let somebody else answer -- ask questions for the
23 moment.

24 MR. SOPER: Thanks, Warren, I appreciate it. I have a couple
25 of questions while I'm here. So this is Brian Soper on again.

1 BY MR. SOPER:

2 Q. Lieutenant, the -- I know -- and I think Commander mentioned
3 to you, I'm prior Navy. I retired from the Navy as a controller,
4 so I'm familiar with some of the things. But for the sake of the
5 record here, is it safe to say that is not uncommon for you to
6 operate with the arresting gear rigged there -- periodically
7 throughout operations at Jacksonville?

8 A. Yeah. That is correct, not uncommon at all.

9 Q. Okay. And for the sake of understanding, because I know
10 every operator has their own requirements, and every military has
11 their own tac pros and everything. So what is the requirement for
12 you when operating over the raised cable arresting gear there, and
13 is it different between when it's a short field gear and a long
14 field gear? So what I'm looking for there is what are your
15 guidelines for landing when it's a short -- when the short field
16 gear is rigged; is there any specific requirements, or things you
17 can and can't do, or things that you're supposed to do and vice
18 versa also when it's a long field gear?

19 A. Our biggest obstacle, I guess, with gear being rigged like
20 that is we try to land beyond it. We do not want to land on top
21 of it, especially do not want to land before it, because we run
22 the risk of having the nosewheel catch it. But every once in a
23 while somebody will miss a landing, and if we land on it, it
24 usually throws it off and then they have to go back out and re-rig
25 it. So that is our chief obstacle with flying with those sorts of

1 systems.

2 Q. Okay. And a question with regards to the rain there. So
3 what is your experience -- you've been operating out of there for
4 a while. You're familiar with the field, obviously, and the way
5 operations go there. Do you -- is there an issue or a -- I
6 shouldn't say an issue -- is there a known element to standing
7 water on the runways during heavy rain or thunderstorms in the
8 area? Do you just -- does the runway there accumulate standing
9 water to the point that it affects braking action on the runway on
10 any regularity?

11 A. I personally have not experienced any hydroplaning or any
12 aerodynamic effects, I guess, with standing water, but from my
13 experience here, pretty much ever since they've repaved the field
14 -- I've been here actually before they repaved the runway. So
15 when it was brand new, I would say within the first 6 months of
16 operating at the field, there was reports of -- multiple reports,
17 I believe, of hydroplaning.

18 Q. Okay.

19 A. And I don't know exactly why, but I've been told before that
20 that is why every time it rains, the field ATIS reports possible
21 standing water on the runway.

22 Q. Understand. Okay. And I understand for you guys, you're
23 normally picking up the ATIS via UHF, correct?

24 A. That is correct.

25 Q. So that part was an issue for you. I know they recently

1 commissioned a VHF frequency for the ATIS, and that doesn't really
2 apply to you because you've had the ATIS for a while.

3 In your experience, has the ATIS been pretty accurate as far
4 as -- I mean, you know, for what you've noticed for operations out
5 there when it's operational, or has there been an issue with
6 lagging or latency or information not being included or anything
7 like that?

8 A. Give me one moment here, I'm just going to just pause --

9 Q. Sure.

10 A. -- while I discuss with the crew --

11 Q. Absolutely, not a problem.

12 A. All right. We're going to try to get back with you. We kind
13 of discussed it amongst each other. We think that -- I mean, kind
14 of like we were talking about before where anytime it rains, it's
15 always reporting standing water.

16 Q. Yeah.

17 A. It's -- or possible standing water, sorry, is the verbiage
18 they usually use. It can -- when you compare the field ATIS to
19 Cecil ATIS, which you know, the thunderstorms are normally moving
20 from Cecil Field over to Navy JAX --

21 Q. Right.

22 A. -- it seems like Navy JAX is always much more restrictive. I
23 know, regardless of -- like personally, I've heard them report,
24 you know, cloud-to-cloud lightning, cloud-to-ground lightning, and
25 all sorts of lightning even when the clouds are in the -- you

1 know, pretty distant from the field.

2 Q. Okay.

3 A. I wouldn't say it is inaccurate because -- but I think we all
4 kind of agree that it probably overshoots sometimes and leans on
5 the conservative side. I've definitely experienced that in
6 regards to reported ceilings and some other times that it's
7 reporting, and that could very well be from the location of where
8 it is on the field and how it's taking it's observation; that
9 we're not sure of.

10 Q. Understand, understand. Okay. I have a couple of air
11 traffic specific related questions. So you have been operating
12 there for a while and anybody else who may have operated prior to,
13 I'd be kind of curious to know -- as I understand, Navy JAX has
14 went through a couple of changes over the years with regards to
15 how they operate. So there was a time when, the way it was
16 explained to me, that they had airspace that was delegated to them
17 from the approach control where they would -- when you were doing
18 practice GCA approaches or anytime you had an arrival, an IFR
19 arrival into the field, the air traffic control would call up and
20 say, hey, we have an arrival. They would give them the airspace;
21 they had arrival airspace. They would actually radar contact you.
22 They would vector you and, you know, set you up for the approach
23 and do whatever.

24 Since then, there's been -- since there was the big closure
25 for the runway, after reopening, the procedures kind of changed a

1 little bit in that now you have -- then you went to air traffic
2 controllers did not have airspace, and they provided --
3 essentially, they were picking you up from TRACON and just putting
4 you onto the final approach course, and you received a -- either a
5 PAR approach or a visual approach to the tower or an RNAV
6 approach, which initially was just an RNAV approach and you went
7 to the tower, and, as I understand, they've changed that now to an
8 RNAV approach with GCA monitoring and arrival to the tower.

9 Do you -- can you tell me your experience with that? Have
10 you experienced all of that, only part of that, and if so, what
11 has -- what's your feelings about the way that works? Is there
12 something -- is there anything confusing about it or does there
13 seem to be something that's amiss there, or is it locked on? I
14 mean, how -- you know, what's your experience with that?

15 A. My personal experience, again, I wasn't -- I did not operate
16 at this field before the runway closed and went under
17 construction, then reopened. So upon initially coming back to the
18 field and operating out of here, the only time I'm switched to
19 Navy radar services are for PAR or ASR approaches, or any RNAV
20 approach or even a TACAN approach, I believe it's just JAX TRACON
21 that's giving us the vectors to get on the approach.

22 Q. Okay.

23 A. I don't know if that answers your question or not.

24 Q. Oh, yeah. That's fine. That's absolutely fine.

25 MR. SOPER: Okay. I'm going to pass it off for now to Paul

1 Suffern, our meteorologist, and let him ask a few questions.

2 MR. SUFFERN: All right. Thanks. Thanks, Brian, and thank
3 you, everyone, for your time today, and I really appreciate that.

4 BY MR. SUFFERN:

5 Q. As far as what you were checking with the weather after you
6 did -- you were doing your touch-and-gos over there in Tallahassee
7 and you saw the line of storms or weather in the northwest of Navy
8 JAX, what do you recall looking at, checking there as you were
9 having your crew discussions? What information was available?

10 A. It was mostly just visual information that we were using.
11 Like we -- yeah, and as well as our weather radar in the plane as
12 far as the decision. While we were at Tallahassee, we -- you
13 know, like I said, we talked about if it moved into Tallahassee,
14 we would leave. But Tallahassee actually had pretty good weather
15 for our duration there for our training, and then upon leaving
16 Tallahassee, it was night at that time, and then we began seeing a
17 lot of lightning and conductive activity east of our route of
18 flight, which was basically direct from Tallahassee to Navy JAX,
19 and we used our weather radar to dodge a couple cells on our way
20 back to JAX.

21 And at the time, it seemed like most of the conductive
22 activity was, I would say, maybe slightly west of Gainesville. It
23 seemed pretty out of the way from the JAX terminal area. And even
24 while getting into -- like while arriving to the JAX terminal
25 area, we didn't see any lightning or conductive activity, just a

1 lot of clouds which were mainly just precip.

2 Q. Do you recall receiving any pilot reports from air traffic
3 control between taking off there, your touch-and-gos in
4 Tallahassee, all the way until your landing there at Navy JAX?

5 A. No. We received no pilot reports in regards to Navy JAX's
6 conditions. The one thing that may be relatable, while we were on
7 final approach going through the clouds and the rain, Navy JAX
8 tower did ask us for a PIREP for conditions on final, and we told
9 them to stand by until we landed. And then before switching
10 ground, we gave them a PIREP.

11 Q. Okay. And do you -- I mean, I know this is quite a bit of
12 time after that flight, do you recall what you told them in that
13 pilot report?

14 A. Loosely, I do remember them telling about precip on final. I
15 don't remember if we told them it was heavy or moderate. We all
16 kind of -- yeah, we all definitely feel it was at least moderate.
17 I do recall giving them that, and then we might have given them a
18 braking action report, but I'm not 100 percent sure of that.

19 Q. Is it typical for the air traffic control there in the Navy
20 JAX, if there is weather in the area that you're flying through
21 coming in, do they typically request a pilot report, you know, and
22 you guys give -- provide the report once you get on the ground?

23 A. Yeah. Yeah. They take -- well, there's no standard, you
24 know, PIREP format that they're asking for, but they typically
25 just ask for the conditions on final. That is, we all agree, a

1 pretty regular thing for them.

2 Q. Okay. And as far as the weather radar in the cockpit there,
3 do you recall any -- I know you were -- the whole crew there was
4 busy trying to land the plane safely and all that, but do you
5 recall any of the colors that you saw there on the weather radar
6 as you're landing?

7 A. As we were landing, no. We were pretty focused on the
8 approach at that time, so I don't even know if we had the weather
9 radar up to the approach. Once we got in the terminal area and we
10 saw that there wasn't any lightning near the field, I don't know
11 if we -- to my memory, we weren't still using the weather radar.
12 The flight data recorder might say something different. I can't
13 really attest to that. Neither of us -- none of the three of us
14 recall using it.

15 Q. Okay. Not a problem there. And as far as when you took off
16 from Tallahassee and then flying over towards Navy JAX, do you
17 recall what tilt settings you had selected for the weather radar?

18 A. I typically will climb and descend with it in the auto-tilt
19 mode, and then when I'm on a level trajectory, I usually use a -1
20 to a -2, and I switch between those two tilt settings to develop a
21 better picture of the storm in its entirety and to see the body of
22 the storm.

23 Q. Okay. As far as weather forecasts around the Navy JAX area,
24 what tool or forecast has been useful for you as a crew in trying
25 to land there, whether you're, you know, sitting there in

1 Tallahassee, sitting somewhere else, what do you find is your most
2 valuable tool for the pre-flights or during flights for going into
3 the Navy JAX area?

4 A. For going into the Navy JAX area, I personally have bought an
5 ADS-B receiver. The planes are equipped with ADS-B out, but we do
6 not have ADS-B in. So I use an application called ForeFlight on
7 my phone, and then I use the ADS-B receiver to get SIGMET and a
8 radar picture usually before returning to JAX, especially for a
9 long transit. From Tallahassee to JAX on that night, it's a
10 relatively short transit, so I did not use my ADS-B receiver to
11 check the current conditions because I didn't feel that it -- they
12 were -- it hadn't deteriorated enough to cause us any concern.

13 Q. Okay. Thank you. That's all the questions I have for now.

14 MR. SUFFERN: Brian, back to you.

15 MR. SOPER: Thanks, Paul. I'll go ahead and shift right over
16 to John O'Callaghan. So, John, go ahead.

17 MR. O'CALLAGHAN: Hi, everybody. Thanks again for spending
18 time with us and answering these questions. Again, I do aircraft
19 performance which is specifically the physics behind the motion of
20 the airplane.

21 BY MR. O'CALLAGHAN:

22 Q. So for this case, I'm really interested in the friction on
23 the runway and all that. So my questions will be directed towards
24 getting a feel for how you think the runway was performing in
25 terms of friction. But before that, I'd like to start a little

1 bit up on the approach, and I'll probably ask some questions that
2 are stemming from my understanding of how things happen in the
3 commercial world, and I'm not really sure how they apply to the
4 military, but maybe there are some parallels.

5 So the first question is basically just about preflight
6 planning and dispatch, or field length and things like that. And
7 in the commercial world, if you dispatch and a number of
8 conditions changed en route, especially if they deteriorate, a lot
9 of operators have op specs to say they have to do an inflight
10 landing distance assessment to account for the changed conditions.

11 My question is, can you just briefly describe your preflight
12 planning and your dispatch rules and whether, like I say, you go
13 somewhere and then on your way back, the weather changes, and if
14 you have to do any calculations in the air to recheck the numbers
15 for landing field length, and all that kind of thing?

16 A. We do not have any restrictions prior to takeoff other than
17 ceiling and visibility minimums. Once airborne, we have a
18 requirement in our logarithm standardization note that requires us
19 to run landing numbers for every full-stop landing that we're
20 going to do regardless of the field or the weight conditions. We
21 -- it's required from every flight. As well as any field we do
22 touch-and-gos at, we have to run basically max manual braking
23 numbers just in case we have to abort a touch-and-go while still
24 on the runway.

25 Q. Okay. Thanks. And then so to feed those calculations are

1 see any winds and probably field conditions, and so where did you
2 pull that data from?

3 A. So that data is normally pulled from the ATIS.

4 Q. Oh, from the ATIS, okay.

5 A. With the -- the only exception to that would be if ATIS is
6 reporting something and it's significantly different. Like we --
7 ATIS is reporting a dry runway and then we hear from tower or
8 something that it's a wet runway, we'll go ahead and re-run
9 braking numbers before we do the full stop.

10 Q. Okay, great. And do you -- this is pretty detailed. You
11 probably don't recall. But do you have any feel for what the
12 inputs on that night were when you landed on 2-8, the wind and the
13 field condition that you put there, and any idea of the -- recall
14 the general number that was coming out in terms of field entry
15 required?

16 A. Give me just one moment here. I'll discuss it with the rest
17 of the flight crew to see if we can come up with a consensus.

18 Okay. We've come to a pretty close consensus here. We're
19 all pretty certain that the basic inputs were -- the runway
20 condition we used was wet, and as far as the exact temperature and
21 whatnot, it would've been pretty much straight off the ATIS that
22 was reported before the time of arrival. I also do very closely
23 remember using -- I'm not sure if you're familiar with it, but
24 autobrake 3 setting for the landing.

25 Q. Yeah.

1 A. Because I remember the autobrake 2 setting being slightly too
2 long for that field length going into runway 2-8. Does that
3 answer your question?

4 Q. It does. And I don't know if you'll know this, but the
5 numbers, do they account for reverse thrust, or are those numbers
6 that are generated not taking credit for reverse thrust?

7 A. They do account for reverse thrusts for landing. Our takeoff
8 numbers, depending -- for a dry runway, they do not.

9 Q. Okay. For dry they don't, but for wet they do. Okay.

10 A. Sorry. I might be confusing you there. For -- I'm just
11 saying for takeoff numbers in regards to like critical field
12 lengths and accelerate stop distance, they don't. But for the
13 purposes --

14 Q. Oh, oh okay.

15 A. -- of this conversation and landing numbers, it does account
16 for reverse thrust.

17 Q. Okay, great. Thank you.

18 A. Yes.

19 Q. And again, thinking analogously to the commercial world where
20 they've got this thing called alpha arc -- you may have heard of
21 it -- in the Runway Condition Assessment Matrix, which is sort of
22 the new way that FAA launched all field conditions to report it,
23 and they've got a scale for various frames. I know you said that
24 the runway condition was wet, but perhaps in the Navy or the
25 military they use perhaps a different way of describing the field.

1 But my question is what are the options? Is it dry, wet, slippery
2 when wet, icy; what are kind of the options for reported runway
3 conditions that you guys use?

4 A. I believe they're identical to a standard Boeing on board
5 performance tool. We have -- I'm actually extremely familiar with
6 the Runway Condition Assessment Matrix. I wrote a white paper on
7 it this last deployment because we operated out of Misawa, Japan
8 on contaminated field conditions pretty frequently. So I can tell
9 you our options are pretty much identical to what a standard 737
10 has. We can run standing water, wet numbers, I believe dry snow,
11 wet snow, compact snow, and then I think it's wet ice is the last
12 number, or something to do with ice.

13 Q. All right. Okay.

14 A. Those are the general ones I can rattle off on the top of my
15 head.

16 As far as reporting runway friction, the military uses a
17 scale called runway condition readings, which they use a sled that
18 just goes down the runway and basically an accelerometer that
19 measures the deceleration from a truck or whatever they're
20 actually using to have the device, and that -- based on the
21 friction reading and the mu from that, they translate into a
22 runway condition reading, and that runway condition reading is
23 what we use to assess stopping friction. So it's very similar to
24 a Runway Condition Assessment Matrix except for instead of
25 reporting mu readings and using that to assess the friction, they

1 use the runway condition reading.

2 Q. Okay. That makes some sense or a lot of sense, I should say.
3 And so the wet that was used that would translate into an RCAM 5
4 about, I guess if you're familiar with that?

5 A. Yeah. I don't have the matrix in front of me, but that
6 sounds pretty close.

7 Q. Right.

8 A. I think it's like 6 to 1 is the scale.

9 Q. Yeah, 6 to zero, where zero is nil and so nobody can operate,
10 and then 1 being 4 or something.

11 A. Yeah. And I wish we operated on that. I would like that.
12 Our base operations typically just gives you a friction reading,
13 and actually, now that I say it, maybe JAX -- I don't think I've
14 ever heard them give a runway condition reading here. It was
15 frequently reported when we operated out of Misawa, Japan, which
16 is an Air Force field, and I've definitely heard them reported
17 before, but -- and at least in recently memory, I can't remember
18 Navy JAX reporting them regardless of the precipitation
19 conditions.

20 Q. Okay. Yeah. That's interesting because, as you may know,
21 the RCAM, though 6 is dry and 5 is wet, and dry snow and something
22 else, and then there's 4 for other things, and then,
23 interestingly, there's -- 3 is wet, slippery when wet, and that
24 gets coded when -- the commercial world, they run CSME devices
25 which sound a lot like your runway condition reading sled, and if

1 they fall below a certain reading on those, then the runway can
2 get classified as wet, slippery when wet. And I think you've
3 already answered the question but I'll ask it again. So have you
4 ever heard any -- heard JAX's runway as classified as slippery
5 when wet or any kind of indication that when they're wet, they
6 might be more slippery than a standard wet runway?

7 A. No. From all three of us, no. We frequently hear the
8 possible standing water reported on the ADIS, but none of us can
9 recall hearing anything about it being slippery when wet.

10 Q. Okay. Thank you. And that reminds me, I had a follow-up on
11 an earlier answer you gave to -- I think to Warren. I understand
12 the runway was paved, and then I heard something about
13 hydroplaning reports, and I thought I heard that those were before
14 the runway was repaved, and then, but since the runway was
15 repaved, all you get is standing water? Or is the other way
16 around? Can you clarify that?

17 A. Yeah. I can clarify. So once again, when I came to
18 Jacksonville about 3-ish years ago -- 3½ years ago now, we
19 operated out of Cecil Field while they were repaving their runway
20 at Navy JAX. So I have zero experience, neither do any of the
21 other two pilots here, with operating on Navy JAX -- on the runway
22 at Navy JAX before the runway was remodeled. And since coming
23 back to Navy JAX -- so once the new runway construction was
24 complete, which I'm not sure you're familiar with, but they just
25 added a displaced threshold basically to the western end of the

1 field and then as well as repaved the entire runway. But shortly
2 after having the runway repaved and operating out of Navy JAX, in
3 safety meetings and whatnot, we've heard multiple stories of
4 pilots hydroplaning down the runway and wave off landings because
5 of it.

6 Q. Interesting. So the hydroplaning reports were after -- were
7 with the runway as it is now?

8 A. Correct.

9 Q. Do you know if any action was taken in response to those
10 reports?

11 A. I would say nothing definitive. Possible correlation with
12 the ATIS at the field reporting possible standing water. I do
13 remember that coming about shortly after we started operating back
14 out of the field.

15 Q. Okay. So they added the standing water to the ATIS?

16 A. Yes. Like I said, anytime it rains, we usually hear that.

17 Q. Yeah. Have you -- did you ever get any firsthand war stories
18 from any of the pilots who experienced hydroplaning and what they
19 felt -- how they determined they were hydroplaning?

20 A. No. None of the three of us have actually heard anything
21 specific, and to be honest, no one in our squadron, to my
22 knowledge, has experienced actual hydroplaning or even perceived
23 hydroplaning on the runway.

24 Q. Okay, thanks. I'm going to go back up in the air a little
25 bit here. So we did the landing field distance assessment in real

1 time in the air, check on that. And then, so obviously you have
2 the wind reports from ATIS, and you're using a runway -- going to
3 2-8.

4 Out of curiosity, do you happen to look up the wind vector on
5 the -- I'm assuming your P-8 has -- like other Boeing 737s,
6 there's a -- has a green arrow, which I think they call the wind
7 vector, and it projects the airplane's calculation of wind. And
8 is it a practice to look at that and compare it with what the
9 tower's reporting or -- I'm just wondering if that's used in your
10 approach at all.

11 A. Yeah. It's definitely the standard practice to look at that
12 on the way down to confirm what the ATIS is reporting or assess
13 any change in conditions on final. Due to the approach being IMC
14 and, you know, being pretty busy as the pilot monitoring trying to
15 get the windshield wipers and everything working and trying to get
16 the plane broken out and on centerline, I do not recall looking at
17 that before the approach. Again, the flight data recorded might
18 have some of that info in there, but -- and I speak for myself and
19 the other two pilots, none of us were able to observe anything
20 from that on the approach.

21 Q. How about in general, in your experience, have you ever --
22 maybe into JAX, specifically, but anywhere else where you, you
23 know, you'll get a report from the ATIS or the tower and say they
24 favor a particular runway, and you get all the way down and the
25 wind vector is showing you have a tailwind or something? Did you

1 ever experience that?

2 A. Yeah. Actually yesterday's flight.

3 Q. Oh, yeah. And then when you got to the ground, was the wind
4 as the tower reported or was it sort of contrary the whole way?

5 A. I've seen it both ways. But yes, specifically yesterday when
6 I flew, both times it was -- I mean, to be fair, they were also
7 reporting variable winds, but it was -- once you got like a
8 reading from tower, like a wind check on final and we landed, we
9 ended landing with a tailwind, whereas (indiscernible) --

10 Q. This was at JAX?

11 A. The second landing was, yes.

12 Q. Okay. Thank you. Okay. I think you mentioned autobrakes 3,
13 and that was -- and I read -- I had -- I read your written
14 statement, too, and it sounds like, from your written statement,
15 there was no issue with the deceleration. You were pretty
16 satisfied, but you -- somebody attributed it mostly to reverse
17 thrust. Maybe you can just describe the whole braking? I mean,
18 you say you had autobrake 3 and you touched down, and can you just
19 describe how you felt the deceleration, and you ever had any
20 concerns about that?

21 A. No. We touched down on centerline and had no issues with the
22 deceleration; thrust reversers deployed. And I mean, it -- I
23 don't know if you've ever -- if you have anytime like in the sim
24 or have flown a 737, but with the autobrake setting, you're not
25 actually on the brakes. You're making centerline with the rudder

1 pedals, but it's not like a car where you can, you know, feel them
2 modulating or something. If you actually are locking up -- if the
3 brakes actually are locking up, it kind of does its own thing
4 independently and without any feedback to the pilot.

5 Q. Right.

6 A. So we basically just use -- in our heads-up display, we have
7 visual cues that tell us what the deceleration rate is on the
8 plane. And from observing those cues, as well as the boards
9 remaining on the runway and correlating the remaining runway
10 distance from the board's width, our current indicated airspeed,
11 we noticed no really detrimental effects to the stopping distance
12 for -- or sorry, with using that autobrake setting.

13 But I think I said in my statement, we were pretty light. I
14 think we had maybe 12,000 pounds of gas max. So it would've been
15 -- the gross weight would've been under 130,000 pounds pretty
16 comfortably.

17 Q. Yeah. I haven't see the FDR data yet. So your speed at
18 landing, would do you guesstimate what --

19 A. I'm sorry?

20 Q. -- it was?

21 A. Could you say that one more time?

22 Q. I'm sorry. Yeah, I haven't seen the FDR data, so if you're
23 light that -- it also means the approach speed was a little bit on
24 the lower side. Do you recall what speed you were approaching at?

25 A. No. I couldn't give you an accurate estimate on that.

1 Q. Okay.

2 A. Yeah. It would probably be somewhere in the -- probably the
3 140-range, and I do remember it being a flaps 30 landing. So at
4 lower weight, it's usually somewhere in the low 140s.

5 Q. Okay. And at any point did you need manual brakes?

6 A. At 60 knots, our procedure is to stow the thrust reversers
7 and go on manual brakes, and LTJG Pajor, I'll put him on the spot
8 here for a second.

9 LT STARSIAK: Did you notice any detrimental effects when you
10 went to manual braking?

11 LTJG PAJOR: No. LTJG Pajor. Throughout the landing, like
12 LT Starsiak said, normal landing, maintained centerline. Then
13 when I came off the -- or when I came on the brakes at 60 knots,
14 no adverse condition that seemed to be affecting the aircraft.

15 MR. O'CALLAGHAN: Okay. Thank you. How about directional
16 control, any slipping or sliding, drifting, anything feel light in
17 that -- how was the directional control? I'll just ask it that
18 way.

19 LTJG PAJOR: Yeah. It was just like normal. The only thing
20 I would say of note is that we did -- could clearly see water
21 standing on the runway.

22 LT STARSIAK: Yeah. To kind of expand on that -- this is
23 LT Starsiak again. From my experience here, when I do see heavy
24 precipitation or, you know, like near the runway or the precip
25 that's just gone over the runway, typically -- it's hard to give

1 an exact distance, but if you ran on centerline, you can usually
2 see the pavement. The pavement is definitely wet but you don't
3 see any standing water. But the second -- if you deviate from
4 centerline too much, you can definitely see where all the water is
5 crowning left and right of centerline. And like I say in my
6 statement, upon taxiing off the runway, we had to almost come to a
7 complete stop to be able to pick up the taxi lines to make sure we
8 were centered up on Alpha 2 -- actually we took off.

9 BY MR. O'CALLAGHAN:

10 Q. Yeah. I think we saw some of that while we were there
11 because a storm came through and then went on the runway and -- I
12 think I saw what you're describing, where the center -- the 20
13 feet on the other side or so, you know, you could see that was one
14 color of pavement, and then there was like a line going down, you
15 know, the runway on either side that was more shiny or something,
16 and it looked like there was something changing with the optics
17 there, just --

18 A. Yeah. That --

19 Q. That's what you're describing, something like that?

20 A. Yeah. Precisely. That sounds pretty close to what I'm
21 trying to describe.

22 Q. Yeah. Okay. Regarding water depth -- well, compare that
23 night with like was it the most water you've ever seen on any kind
24 of runway or have you landed in even more torrential downpours, or
25 is this -- where is it on the scale of a lot of water?

1 A. From my experience, which I gave earlier in my 3½ years
2 operating out of Navy JAX, it was definitely the most standing
3 water I've seen exiting the runway. I've seen -- I've landed here
4 plenty of times in the rain, and most of the time, like we just
5 talked about, you can see that distinction between centerline and
6 how it's relatively dry in your centerline, and then once you get
7 towards the edges of the runway you see that water start to pool
8 up. But this was the first and only time I've ever actually had
9 to almost come to a complete to pick up the centerline for the
10 taxiway. That -- I'll also caveat that with it could've just been
11 because that night we did have all the lights available to us on
12 the plane, and despite all the lighting, we were still really
13 struggling to pick up that line. So I would say it was the
14 deepest I've ever seen it at the field.

15 Q. Okay. Thank you.

16 A. Yes.

17 Q. I think I've run out of questions.

18 A. Yeah.

19 Q. You've kind of caught the gist of what I'm asking about. Is
20 there anything I should've asked but I didn't that you're thinking
21 about, say, why hasn't he asked this? If there's anything like
22 that, just, you know, go ahead and mention it and any other
23 thoughts you may have before I turn it over.

24 A. No. We're good.

25 MR. O'CALLAGHAN: All right. Well, thank you again very

1 much.

2 Brian, it's back to you, please.

3 MR. SOPER: Thanks, John, appreciate it.

4 Commander Morrill, if you're still with us.

5 CDR MORRILL: I am. For the recording, this is Commander
6 Scott Morrill, Naval Safety Commander.

7 BY CDR MORRILL:

8 Q. Just a couple questions, fellows. First of all, tell
9 Skipper Tart hi. I was his sponsor many years ago at VP-4. So
10 -- we flew together.

11 A. Will do, sir.

12 Q. Yeah, good guy. You mentioned about the -- about landing on
13 the arresting gear. Is that -- you mentioned the nose and I get
14 that, but any of your limitations for that, whether it's nose or
15 main gear, is that due to structural problems with the aircraft or
16 is that due to de-rigging the gear or braking the gear?

17 A. You know, without digging into the manual to be 100 percent
18 correct on it, I can't give you the exact answer. I could --
19 we'll have -- yeah, LTJG Pajor is looking it up right now to
20 confirm, but I believe our manual specifically just references it
21 in regards to you would be unrigging the gear and then you cause
22 the field attendant delays because they have to go back out there
23 and rig it.

24 Q. Okay.

25 LTJG PAJOR: LTJG Pajor. Just to add on, the only real

1 guidance is just to state that there's no rollover speed
2 restrictions for us for a cable (indiscernible). That's not
3 something we typically worry about, but like LT Starsiak said, we
4 do try to avoid it, if able.

5 CDR MORRILL: Okay.

6 BY CDR MORRILL:

7 Q. And then as a result of this ATIS reporting or any result of
8 them adding the standing water, kind of being conservative with
9 that, was there any change to your all's -- procedure change or
10 addition for you all's procedures for checking for standing water?
11 Obviously, it's difficult on an approach, but like in the pattern
12 or anything?

13 A. Yeah. I think pretty much after the word came out about
14 that, we discussed with the pilot cadre, you know, if the field is
15 reporting that and you have the conditions to do so, to do a low
16 approach and assess the conditions on the runway before you go in
17 for the landing. In this case, we knew the storm was west and
18 moving east, so we were pretty committed to the landing. We did
19 not feel the need to go down and assess the conditions before
20 attempting our full stop.

21 CDR MORRILL: Okay. Copy. That's all I had.

22 MR. SOPER: Great. Thanks, Commander.

23 And Warren, back to you to wrap with yours.

24 MR. ABRAMS: I just have a few questions for LT Starsiak.

25 BY MR. ABRAMS:

1 Q. I think I may answer my own questions here. When you set
2 your on board radar, talking about the cockpit radar at auto-tilt,
3 it does have predicted windshear for takeoff or landing; is that
4 correct?

5 A. I don't know if the system works specifically through the
6 radar for that, but they -- the plane is equipped with a
7 windshear alerting system. I believe it works through the LLWAS
8 system in the plane, but I'm not 100 percent sure on that. I
9 don't think our manual explains it in that great of detail.

10 Q. Okay. Well, some of the Boeings have doppler radar, in
11 essence. So I was just -- but if it was -- you had auto-tilt,
12 that's a little advanced, so I'm assuming you have that.

13 But anyway, you mentioned you looked at ForeFlight on your
14 phone from time-to-time, and I'm not sure I caught what -- I'm
15 familiar with ForeFlight, but I'm not familiar or I didn't
16 understand. You said your ADVAR receiver, you turned that on and
17 you get ForeFlight. What -- tell me what that -- you said again.
18 I'm not sure I copied that down correctly. What kind of receiver,
19 ADVAR?

20 A. So, it's a -- this is LT Starsiak again. It's a piggyback
21 device that I plug into -- or it actually works off Wi-Fi. So
22 it's kind of like a little almost like USB thumb drive. I put in
23 the window of the plane, and then it can --

24 Q. Yes.

25 A. -- and it can do my ForeFlight app remotely via a Wi-Fi

1 signal --

2 Q. Um-hum.

3 A. -- and that thumb drive that -- it's called an ADS-B receiver
4 picks up towers all throughout the United States that broadcast
5 weather information, radar pictures, and even a TAF line, the
6 METAR line for fields in your area. And I can pick all that
7 information up using that receiver to get a better assessment of
8 conditions that I can't see with -- you know, in our general
9 vicinity what the weather radar on your --

10 Q. Understand, understand, okay.

11 A. Yep.

12 Q. Oh, yeah. I understand. I got that one.

13 Let's see, you said you used autobrakes 3 for landing. If
14 you were -- that night if it was a dry runway, would you have used
15 a lesser autobrake setting, or what is your standard autobrake
16 setting on a dry runway?

17 A. There really isn't a standard one. It depends on the runway
18 length, your current environmental conditions, as well as the
19 weight of the aircraft, which is kind of -- that's why we have in
20 our stan note to run it no matter what every single time.

21 Q. Certainly.

22 A. For coming into Jacksonville, to Navy JAX here at low gross
23 weight like the, you know -- or sorry -- coming into Jacksonville
24 at low gross weights, we typically use an autobrake 2 setting, but
25 like I said, no matter what, we always run that number,

1 regardless, which is -- it's kind of why I remember pretty vividly
2 selecting autobrakes 3, because if the environmental conditions
3 and our performance, too, are calling for an autobrake 2 landing,
4 then I'm not really thinking that there's going to be any
5 detrimental effects to stopping distance. But as soon as I see a
6 higher number than autobrake 2 for our specific runway here in the
7 summertime, I started thinking about issues with stopping
8 distance.

9 Q. When you put in your variables into your landing assessment
10 tool and you hit enter or send, how long does it take before you
11 get a reply?

12 A. I would say probably 2 to 3 seconds.

13 Q. Okay, that quick. Good. All right. You said you cleared
14 the runway at taxiway Alpha 2. That puts you taxiing over the
15 arresting gear or taxiing over the arresting cable. Were you --
16 you were clearly -- were you out of reverse by that time and doing
17 -- was Lieutenant Pajor doing manual braking at that time when you
18 taxied over the arresting gear?

19 A. I believe so. But we typically do have -- we try to have the
20 thrust reverser stowed by the time we have to roll over the
21 arresting gear, but to be honest with you, I do not remember any
22 arresting gear being rigged that night, and LT McIntyre and
23 LTJG Pajor do not recall the arresting gear being rigged at that
24 end of the field, either.

25 Q. Really? Okay.

1 A. Yeah. Not to say it wasn't. It could've been under some
2 water or, you know, we could've -- we were pretty excited about
3 the landing because the conditions were less than normal. So we
4 definitely could've missed it, but our memories, we do not recall
5 rolling over the arresting gear.

6 MR. ABRAMS: Okay. That's new information. Thank you very
7 much.

8 And Brian -- and LT Starsiak and crew and CDR Morrill, I
9 appreciate you taking your time with us today. I'm -- that's all
10 the questions I have from an operations standpoint. So I'm going
11 to turn the virtual mike back over to Brian and let him continue.

12 MR. SOPER: Thanks again, Warren.

13 Paul, do you have any other questions?

14 MR. SUFFERN: Just one area real quick. This is Paul Suffern
15 again.

16 BY MR. SUFFERN:

17 Q. LT Starsiak, on your flights into the Navy JAX there, can you
18 -- do you recall getting -- on the wind check on final, do you
19 recall getting wind and gust information, as well, on that
20 landing?

21 A. I do not recall either of those, no. And we all -- worth
22 mentioning, we all remember something different for the winds that
23 were reported by ATIS, too. I think I remember them being
24 variable. LT McIntyre said he remembers a headwind on final. So
25 we're all kind of on different sides on that one.

1 LTJG PAJOR: I will say -- LTJG Pajor here -- by deduction
2 that there would be no gust, because if there was, we would've had
3 to adjust our approach speed based on the type of approach that
4 were doing. So, if anything, it was either a headwind component
5 or variable, like LT McIntyre remembers.

6 BY MR. SUFFERN:

7 Q. Great. And from other landings that you've done there at
8 Navy JAX, have you done a landing say with, you know, a little bit
9 more wind, 5 or 10 knots, in your experience, on final, do you
10 receive the gust information or do you always just receive the
11 sustained wind for the wind check?

12 A. This is LT Starsiak again. I think we're all in agreement
13 with this that if there is a gust factor at the field, it is
14 reported.

15 Q. And you're talking about from air traffic control, you're not
16 talking about the ATIS?

17 A. I definitely heard the ATIS report it before. That night,
18 I'm pretty sure it was not reported, if there was one, but all of
19 us have definitely heard gusts reported from tower. It's
20 something we pay close attention to because we have to adjust our
21 Vref landing speed if there's a gust component. So if we hear
22 one, we call kind of perk up because that means we have to make a
23 last minute adjustment into the FMC to correct the our Vref
24 (indiscernible).

25 MR. SUFFERN: Great, thank you. That's all the questions I

1 have, and again, I really appreciate your time today.

2 And Brian, back to you.

3 MR. SOPER: Okay. Thanks, Paul.

4 John, do you have any oh, by the ways?

5 MR. O'CALLAGHAN: Nope. Just again, thank you all very much,
6 appreciate it.

7 MR. SOPER: And Commander Morrill?

8 CDR MORRILL: Yeah, just one I just thought of.

9 BY CDR MORRILL:

10 Q. Are you all authorized to fly without the reverse, obviously,
11 or thrust reverser in-op?

12 A. This is LT Starsiak again. We are. We have an MEL procedure
13 that we can utilize to fly with one thrust reverser in-op. I'm
14 not sure off the top of my head about both. We even have a
15 procedure or a line in our standardization note that discusses
16 that if we flew with one inoperative that we, you know, shall
17 differential -- you know, the different types of upraising action
18 and stuff that we're going to receive, as well as how we're going
19 to control centerlines. So I, in my time here, have not
20 experienced anyone or have seen anyone, I guess, have to enact
21 that MEL, but I do know that it is a possibility.

22 Q. Okay. And do you have idea or any magnitude of if you do
23 have one in-op, and it's MEL, and that's all proper, effects on
24 landing distance or approach speeds or et cetera?

25 A. Yeah. In our on board flight tool --

1 Q. (Indiscernible).

2 A. -- yep, which we talked about previously, in that -- it's a
3 little computer that we carry with us in the flight deck, and we
4 can adjust the -- there's a setting in it for one thrust reverser,
5 two thrust reversers, or none. So we can account for in our
6 landing numbers through the use of that tool.

7 Q. Do you have any idea of some -- best guess on how much that
8 would extend or what effect it has on your landing ground roll
9 distance?

10 A. I do not off the top of my head. We could grab one real
11 quick and let you know, though.

12 Q. That's okay. But if you do get a chance to try and compare
13 some basic numbers, I'd appreciate that but no need right now. A.
14 Yeah. I can send that over to you after this.

15 Q. Okay, great. Thank you.

16 MR. O'CALLAGHAN: Brian, that's all I've got.

17 MR. SOPER: Okay. Well, before we wrap up the record, I just
18 kind of got one last question for -- and this is for all three of
19 you. But is there anything here that maybe we haven't covered,
20 and similar to the question John asked you earlier, but anything
21 we haven't gone over or that you're surprised we didn't ask or
22 anything that you can provide that you think would help us in the
23 course of this particular investigation, whether it's about the
24 air station, the area, the weather, the operations, the type of
25 aircraft; I mean, you name it. If there's just anything that may

1 help us putting the pieces of this puzzle together, it would be
2 appreciated. Is there anything like that that stands out for any
3 of you?

4 LT McINTYRE: From LT McIntyre, from my memory, we did the
5 take -- or we did the landing, like LT Starsiak was saying, broke
6 out at about 800 or 1,000 from the precip, and then the landing,
7 itself, was uneventful, by my recollection. We taxied. They put
8 us in overflow, which is a fair distance away from our hangar. I
9 think we called 9:15 on deck, sounds right, something like that,
10 and then we taxied over to overflow. We shut everything down, and
11 then we had the duty driver pick us up. He probably arrived maybe
12 10 to 15 minutes after we called on deck, and then he drove us
13 over to a hangar.

14 I do remember when we were in the van driving to the hangar,
15 never saw any lightning or heard any thunder, but it was raining
16 pretty heavily at that point over the field because I remember
17 thinking I'm glad that I'm not walking back to the hangar right
18 now. And then we do get back to the hangar, went up in our
19 wardroom and started debriefing -- myself, LT Starsiak, and LTJG
20 Pajor. At that point, I'm just guesstimating now, but it could've
21 been at about 40, 45 minutes after landing, something like that --
22 maybe 35, 45 minutes, somewhere around there, but I do remember
23 hearing some pretty loud thunder at that point that you could tell
24 was fairly close to the hangar, kind of shook the room a little
25 bit. But that's kind of my recollection of the weather after we

1 landed at the field.

2 MR. SOPER: Great, thank you. Any of the other two of you?

3 LT STARSIAK: LTJG Pajor, any last thoughts?

4 LTJG PAJOR: No, nothing. Thank you.

5 LT STARSIAK: Yeah. That's about it for us. If you guys
6 have any more questions and stuff, feel free to email me, and I
7 can disperse the questions to the rest of the flight crew, if need
8 be.

9 MR. SOPER: Okay. I'm going to stop the recording for now so
10 we go off the record.

11 (Whereupon, at 2:14 p.m., the interview was concluded.)

12

13

14

15

16

17

18

19

20

21

22

23

24

CERTIFICATE

This is to certify that the attached proceeding before the

NATIONAL TRANSPORTATION SAFETY BOARD



IN THE MATTER OF: BOEING 737-800 OVERRUN
 JACKSONVILLE, FLORIDA
 MAY 3, 2019
 Interview of LT Matthew Starsiak

ACCIDENT NO.: DCA19FA143

PLACE: Jacksonville, Florida

DATE: June 4, 2019

was held according to the record, and that this is the original,
complete, true and accurate transcript which has been transcribed
to the best of my skill and ability.

Transcriber