

UNITED STATES OF AMERICA

NATIONAL TRANSPORTATION SAFETY BOARD

\* \* \* \* \*

Investigation of: \*

POSITIVE TRAIN CONTROL

SPECIAL REPORT \*

\* Report No.: DCA21SR003

\*

\*

\* \* \* \* \*

Interview of: DANIEL PITTMAN, Chief of Train Control  
BNSF Railroad

MITCH BEARD, Assistant Director of Signal and  
Design and Project Manager  
BNSF Railroad

Via Microsoft Teams

Wednesday,  
October 6, 2021

APPEARANCES:

JOHN MANUTES, Rail Investigator  
National Transportation Safety Board

GREG SCOTT, MA, Rail Accident Investigator  
National Transportation Safety Board

RUBIN PAYAN, Electrical Engineer  
National Transportation Safety Board

I N D E X

<u>ITEM</u>	<u>PAGE</u>
Interview of Daniel Pittman and Mitch Beard:	
By Mr. Scott	5
By Mr. Payan	10
By Mr. Manutes	15
By Mr. Scott	17
By Mr. Payan	22
By Mr. Manutes	24

I N T E R V I E W

1  
2 MR. SCOTT: All right. All right. My name is Greg Scott.  
3 I'm an NTSB investigator. Today is October 6, 2021 and we are  
4 meeting virtually to conduct an interview with Daniel Pittman and  
5 Mitch Beard (ph.) with BNSF Railroad.

6 This interview is in conjunction with an NTSB Special  
7 Investigation Report regarding PTC systems. The NTSB Reference  
8 Number is D, as in dog, C, as in cat, A, as in apple, 21S, as in  
9 Sam, R, as in railway, 003. Please forgive my unmilitary  
10 description there. This interview is being recorded. We will  
11 transcribe the interview and provide a copy to you for your  
12 review. The transcription will be placed in the docket for this  
13 report.

14 Before we will begin, we'll go around and introduce  
15 ourselves. Please spell your name and give your title. I would  
16 like to remind everyone to speak loud and clearly for an accurate  
17 reporting of this interview. I'll start off and then pass it off  
18 to the next person.

19 Again, my name's Greg Scott. The spelling of my last name is  
20 S-C-O-T-T and I'm an NTSB Accident Investigator for this accident.

21 MR. SCOTT: All right. Rubin?

22 MR. PAYAN: My name is Rubin Payan. Last name P-A-Y-A-N.  
23 I'm an electrical engineer with the National Transportation Safety  
24 Board.

25 MR. SCOTT: All right.

1 MR. MANUTES: Good morning. My name is --

2 MR. SCOTT: John?

3 MR. MANUTES: Good morning. My name is John Manutes,  
4 M-A-N-U-T-E-S. I'm a Rail Accident Investigator with NTSB.

5 MR. SCOTT: All right. Mr. Pittman?

6 MR. PITTMAN: (Indiscernible).

7 MR. SCOTT: You are muted.

8 MR. PITTMAN: Sorry. Daniel Pittman with BNSF Railroad.  
9 Last name is spelled P-I-T-T-M-A-N.

10 MR. SCOTT: All right. Mr. Beard?

11 MR. BEARD: Best for last? Mitch Beard, B-E-A-R-D, Assistant  
12 Director of Signal and Design of BNSF Railway and Project Manager  
13 for (indiscernible).

14 INTERVIEW OF DANIEL PITTMAN AND MITCH BEARD

15 MR. SCOTT: All right. I said our meeting here today is  
16 basically just to look at some of the gaps in PTC. Some of the  
17 areas that we're still having some accidents or injuries with  
18 regards so that PTC could possibly correct.

19 If you could, just explain the technology that y'all call up  
20 with or to the best to your ability, and then possibly how it  
21 could tie into PTC or how it interchanges with PTC, and then  
22 possibly some of the areas that it may improve the original intent  
23 behind PTC or the original law behind PTC.

24 MR. BEARD: Yeah. Sure.

25 MR. SCOTT: And we'll turn it over to -- to you, Daniel, and

1 you, Mitch.

2 MR. BEARD: All right. Yeah. So all maybe VBS is a --

3 (Phone ringing)

4 -- I'll shut off my phone. Sorry about that. That me do that --  
5 is a new type of operation we're looking at BSNF that leverages  
6 the existing PTC system.

7 The technology piece, which we reference as virtual is a -- a  
8 new piece of hardware and software that is developed by a vendor  
9 that integrates with the Wayside's system, which allows to track a  
10 train through an existing track circuit, and with the tracking of  
11 that train to track circuit, it allows us to break it up into  
12 quarter sections, potentially in the future it could be -- even  
13 open it up further. But today, it is in four sections.

14 So now we can determine the rear end of the train plus some  
15 level of safety buffer behind that of where that train is. So  
16 what that allows is which may help with some of the constraints of  
17 PTC is how long maybe a train is running at restricted speed.

18 So now, today, if you come up to a restricted speed signal,  
19 you're going to go through the block the entire way at restricted  
20 speed until you get to the next signal that is more permissive,  
21 you know, maybe upgrading to an approach or approach medium or  
22 clear, something like that.

23 In this case, you would approach to a restricting target that  
24 would be a quarter of a block potentially, so it has the potential  
25 to reduce the amount of time going at a restricted speed, if that

1 makes sense. That's one piece of it. So that's where it helps  
2 from a capacity gain.

3 Now we can allow potentially trains to run closer together  
4 based off of their braking characteristics and the smaller  
5 restricting fence areas and the reason for -- for trying to  
6 determine what exactly saying around this, but for how we're doing  
7 that is within a block.

8 I said we're breaking it up at the quarter for treating for  
9 each of those four segments as, like, an intermediate so you're  
10 just having a smaller segment, and for us, when you come up to a  
11 stop target at an immediate, that's the same thing as a  
12 restricting. So that makes sense.

13 Feel free to stop me if you have questions.

14 The other piece -- that's the technology that was developed  
15 with the system. We are also evaluating monitoring of hand throw  
16 switches. So traditionally with a lot of PTC systems, the switch  
17 indication is monitored through the signal aspect.

18 So when a switch would open up, we would set our signal  
19 aspect at op or restricting if it's an intermediate, which would  
20 show that restriction for that entire block with monitoring the  
21 switching independently, which is a feature's done in DART  
22 territory.

23 We would put a -- a stop target or fence just at the switch.  
24 So if a train goes by a signal that is more permissive and for  
25 some reason a switch would open up or have some type of failure,

1 there's no -- there's no additional indication that can be  
2 reported on that, but with independently monitoring of every  
3 switch, it provides an indication until you get up to that switch.

4       Once you go past the switch, the indication is no longer  
5 available because now you've occupied and went past. Those are  
6 the two major technology pieces that are associated with that.

7       There is other things we're looking to elaborate or utilize  
8 with the system with monitoring of the health of the Wayside and  
9 -- and alarming of health issues potentially through the PTC  
10 network, but -- and that's possible due to the fact of putting in  
11 radios at every location reporting.

12       So all those pieces is really leveraging more of the features  
13 of the PTC network. They're not necessarily new technology. It's  
14 just part of leveraging those efforts with that. So I don't know.  
15 That's kind of the simplest --

16       MR. SCOTT: Oh.

17       MR. BEARD: -- way of explaining all that. But the  
18 technology, it's just taking one step more better accuracy of  
19 knowing where the rear of the train is and monitoring of  
20 (indiscernible) switches.

21       MR. PITTMAN: So I think it is important to not and  
22 understand that, you know, we -- you know, this is a new -- would  
23 be a new type of operation (indiscernible) today. It is not an  
24 existing type of operation. It leverages a lot of the same signal  
25 technology that works within CTC, but as Mitch indicated, the



1 signals are removed from the field.

2 So it relies on the PTC backbone. The other thing I think  
3 that's really important to understand is that we -- we are in  
4 process of discussing with the FRA. You know, it's still an  
5 exploration. It's still under testing. It's still under, you  
6 know, the development side of it.

7 So while we think that, you know, certainly this is -- this  
8 has -- it's a potential technology, otherwise we wouldn't be  
9 pursuing it, we do want to be clear that this has not been  
10 approved by the FRA.

11 And, in fact, our test submission for our first pilot is  
12 actually still with the FRA and it's, I think, going up for public  
13 comment today, Mitch, is that correct? Or tomorrow?

14 MR. BEARD: It's gone -- it's supposed to be posted Monday.

15 MR. PITTMAN: Monday. I apologize. So this is still -- we  
16 have not gotten approval from the FRA. I mean certainly we've had  
17 their involvement in the -- in the early testing of it and early  
18 development, as well as our labor involvement, as well. So --

19 MR. BEARD: Yeah. The other part, since Dan did mention  
20 about the -- the removing of signals, there is potential safety  
21 benefits of that, with people not having to climb signals no more  
22 to test the aspects or change lightbulbs or anything along those  
23 lines. So there's also a safety piece that comes along with that.

24 MR. PAYAN: (Inaudible.)

25 MR. BEARD: Oh, Rubin. I -- you're muted if you're talking.

1 MR. SCOTT: Yeah. I was muted too.

2 MR. PAYAN: I was.

3 MR. SCOTT: So we'll --

4 MR. PAYAN: I was trying to fill in while Greg was writing  
5 but he beat me to it. I was --

6 MR. SCOTT: Yeah.

7 MR. MANUTES: Yeah, Greg?

8 MR. SCOTT: We'll go around to our group because I really --  
9 I honestly -- this is Greg Scott talking. Did not have any  
10 questions per se already written down. I was waiting to learn  
11 some about the technology before I started coming up with my  
12 questions. So we'll go around the group individually and, you  
13 know, I'll let Rubin start.

14 If you have any questions, Rubin?

15 MR. PAYAN: Yeah. Yeah. So from your description, the  
16 virtual block, is that -- is that what's usually called also,  
17 like, the moving block where the bubble of safety, you know,  
18 front --

19 MR. BEARD: They're --

20 MR. PAYAN: -- and behind the train grows and shrinks as it  
21 train goes different territories?

22 MR. BEARD: They're two different things, which there's a lot  
23 of different names for some of these -- the other systems, because  
24 there's also out there, like, quasi-moving block and things like  
25 that.

1 But from what I've been a part of, moving block type systems  
2 are more of a back office system where you --

3 MR. SCOTT: Oh.

4 MR. BEARD: -- have a server managing the position of the  
5 train based of either GPS coordinates or something along those  
6 lines and they have some type -- so it's a very dynamic position  
7 of where that's -- like if a train -- if another train is  
8 following a leading train, they're -- it's based off that rear end  
9 of that train's possible GPS location or length of the train, plus  
10 some type of safety buffer versus a virtual block is a Wayside  
11 centric technology where we're using the signal bungalow hardware  
12 there where we're tracking it through the track circuit.

13 So, you know, the track circuit has an electrical signal  
14 that's being transmitted to the rail and basically we're using the  
15 rear axles of the train to complete the path. So the signal goes  
16 down one rail to the axle and comes back down the other rail, so  
17 we can basically a simple Ohm's Law of things, you know,  $B=IR$ , as  
18 the train goes down the rail, you're introducing more resistance,  
19 which therefore changing your current and your -- well, your  
20 current.

21 And you can track where that train is based on that, and what  
22 we're doing on the Wayside, instead of getting down to a -- a, I  
23 don't know, a milepost or something like that or a distance from a  
24 location, we just, you know, broke it up into quarter segments,  
25 and once you're over 25 percent down the track, we then allow that

1 first virtual track segment to pick.

2       Once you get 50 percent down the track, you allow the two  
3 virtual track segments to pick. Once you get past 75 percent, you  
4 let three virtual track segments pick. Once you get past -- 100  
5 percent, you're out of the traditional block, all four would pick  
6 in the most simplest state, and when I say the -- I'm saying those  
7 percentages, but there's also a safety buffer incorporated in that  
8 because just -- and the safety buffer's for the vitality to ensure  
9 that we know that the rear of the train is beyond that point.

10       So, you know, it may be 27 percent, it might be 28, it might  
11 30 percent based on the length of that safety buffer before we  
12 pick up the virtual track segment in someone, if that makes sense.

13       MR. PAYAN: It does. So the part that was interesting was  
14 being able to make the rear of the train a target. We've seen  
15 them in -- from our accidents, we had several PTC accidents where  
16 trains were following at restricted speed and one caught up to the  
17 other one and -- and PTC doesn't do anything in that case.

18       But the way you described it, are -- is there going to be an  
19 actual onboard device for the rear end or are you just talking  
20 fidelity on the track circuits, like where you compress --

21       MR. BEARD: It's just -- it's on the track circuits. There's  
22 no additional onboard hardware for tracking the rear of the train  
23 and they will still be restricting targets they're coming up to.

24       I think the difference, and this is where there will be a lot  
25 to weigh on if this helps with restricting targets or restricting

1 speed accidents or not is the fact that now they're -- they're  
2 smaller segments. So, in theory, you shouldn't be going at  
3 restricted speed as far of a distance.

4 MR. SCOTT: Uh-huh.

5 MR. BEARD: And this is just me proposing or assuming, you  
6 know, like, if, you know, a train is in a block today and he's  
7 three-fourths through the block and say the block, whatever, is  
8 two miles, so that rear of the train is a mile and a half past the  
9 signal, a following train has to go a mile and a half before he  
10 sees that train.

11 In my mind that has the potential, you know, of someone not  
12 noticing something or they're coming around a curve versus now if  
13 you break it up into four segments, it's potential, like, I'm  
14 going to go -- I know I'm clear halfway through the block. Maybe  
15 it's just that second half I'm now concerned about that restricted  
16 speed coming up to the train.

17 So does that help? I don't know. Intuitively, I think it --  
18 it might, but yeah. It'll still be restricting speeds. We're not  
19 going to bring them to a stop at those targets. So they're still  
20 going to be that potential of those restricted speed accidents,  
21 just hopefully it does minimize it a little bit.

22 MR. PAYAN: So there probably won't any enforcement, just I  
23 guess more --

24 MR. BEARD: The --

25 MR. PAYAN: More awareness of where the rear of the train is.

1 MR. BEARD: I think that's a fair assessment. The only time  
2 and enforcement comes into play is if the train crews do not  
3 reduce down to that below 20 mph. If he had come up, which is the  
4 same  
5 -- I mean and this is all based off the PTC system. We're  
6 following the same rules, a restricted speed target if the same  
7 for OMR GPS as it is in CTC or ABS, you know, with the PTC system  
8 involved.

9 If they come up to that restricted speed and don't slow down,  
10 PTC will bring them to a stop. As they get down to 20 and then  
11 there's a train right there and they do not come to a stop based  
12 off their visual view of that train, it'll still allow a  
13 collision.

14 MR. PAYAN: I see. Okay. That's interesting. So this  
15 onboard movement authority, does that become the method of  
16 operation now and then the PTC is just overlaid on top of that?

17 MR. BEARD: Yeah. So yeah. PTC is involved with -- is part  
18 of it. The type of operation change, that's based off of the  
19 really new rules. We've had -- we bring some additional rules  
20 based off not having signals in the field in leveraging the  
21 onboard. Yeah.

22 MR. PAYAN: Okay.

23 MR. BEARD: So the new of operation is based off of -- of new  
24 rules associated with it.

25 MR. PAYAN: Okay. So -- okay. Well, interesting. John or

1 Greg, do you have any questions before I -- I don't want to hog up  
2 all the questions.

3 MR. SCOTT: Do you want to go next, John?

4 MR. MANUTES: Yeah, just to follow up on a couple things and,  
5 Rubin, hog away please. I'm curious about how the system -- or if  
6 you've expired how the systems responds in the event that the  
7 train -- the rear of the train clears up say -- say 60 percent of  
8 the way through the -- the existing block, which means you could  
9 theoretically open up two blocks behind -- two virtual blocks  
10 behind it, if I understand this correctly.

11 What happens then if the train begins to reverse the other  
12 direction and now takes up 50, 40, 30, 20 percent. Does the  
13 system react to that and put in your restricting virtual block?

14 MR. PITTMAN: So that's -- that's part of the development  
15 that's still ongoing is around rules.

16 MR. MANUTES: Okay.

17 MR. PITTMAN: And so some of that -- some of those, like  
18 Mitch said, there are rules within LMABBS that -- that change  
19 compared today and in CTC there are rules that allow you to do  
20 movement within block. Some of that stuff changes with LMABBS,  
21 and so we're still -- that's part of our pilot is to look at those  
22 rules and -- and make sure that those, you know, are the right  
23 rules for things exactly like you just said.

24 MR. MANUTES: Okay.

25 MR. BEARD: Yeah, and I'll say that from the hardware side,

1 there are safety checks to protect backup moves also. the rules  
2 piece keeps the separation of the trains with respect to backup  
3 moves and for the vitality side, if we see movements that do not  
4 look a valid train move, we would -- we would set the virtual  
5 track segments to the most restrictive state.

6 If you back up and were watching the rear of your train, we  
7 will stop -- start dropping those virtual track segments also. So  
8 the rules piece helps facility when you want to start bringing two  
9 trains up to each other.

10 MR. MANUTES: Okay. Thank you. That's -- those are both  
11 very helpful, and then this is a dumb mechanical guy question to  
12 four really smart signal guys. Does the Ohm's Law piece change  
13 when the train stops moving or does the signal -- does the track  
14 circuit recognize if you send a signal down one rail through the  
15 axle and back down the other rail that it's still there even  
16 without the movement? That --

17 MR. BEARD: Yeah. That's correct. You don't have to be  
18 moving --

19 MR. MANUTES: Okay.

20 MR. BEARD: -- for it to detect where you're at.

21 MR. MANUTES: It's all good that --

22 MR. BEARD: We --

23 MR. MANUTES: -- way? Okay.

24 MR. BEARD: We did have some safety checks to where if a  
25 train is going to be sitting there for a long period of time, we



1 will then fall back to a more restrictive state to set the entire  
2 block to its most restrictive state, because we don't -- we want  
3 to continuously have checks to make sure that things clear up.

4 So there's some additional checks with that, which is part of  
5 the safety key.

6 MR. MANUTES: Okay. That's all I had. Thank you.

7 MR. SCOTT: So some questions. This is Greg Scott. How are  
8 the trains receiving this information? Is it part of the monitor,  
9 like the PTC display or how are they receiving this information on  
10 the virtual blocks if there --

11 MR. BEARD: Yeah. It -- we're leveraging the existing PTC  
12 system --

13 MR. SCOTT: Okay.

14 MR. BEARD: -- today, you know. The Wayside maps the PTC  
15 signal aspect or the signal aspect then sends it up via PTC code  
16 to the locomotive to be displayed on their onboard.

17 MR. SCOTT: Okay.

18 MR. BEARD: Basically, we've broken up each of those virtual  
19 segments into either, like, a -- a virtual signal or a virtual  
20 track circuit, and so if the train is one of those virtual track  
21 segments, we send that -- that status directly to the locomotive  
22 onboard, so it -- it's just fully leveraging the existing  
23 infrastructure of PTC.

24 MR. SCOTT: Okay.

25 MR. BEARD: (Indiscernible) virtually.

1 MR. SCOTT: So at that point, if they're using the system,  
2 there -- there are not physical signals. They're actually paying  
3 attention to the virtual fence or whatever you want to call it.  
4 Some people use the terminology fence -- that the trains travel.  
5 That would be what they would be monitoring, correct?

6 MR. BEARD: That's correct. We -- and our rules currently,  
7 we're referencing them as PTC track lines. Yeah.

8 MR. SCOTT: Okay. Okay.

9 MR. PITMANN: Okay. Your authority is fully governed by the  
10 onboard and -- and something I don't know if you mentioned this,  
11 or may not mention, but we -- one thing that is important to note  
12 is that it works with the current on board, and that's mainly for  
13 interoperability.

14 So other trains moving onto our system would be able to work  
15 under those rules using their onboard.

16 MR. SCOTT: Okay. Now in one of these locations, do -- since  
17 it's the smaller -- I guess a smaller virtual circuit and you keep  
18 talking about the different rules, are the rules that allow trains  
19 to enter the same virtual block as another train per se?

20 MR. BEARD: That's the --

21 MR. SCOTT: Or do you restrict them --

22 MR. BEARD: -- same --

23 MR. SCOTT: -- try to keep them separate, like, trying to  
24 think of a for instance. If a train stopped, the -- the train  
25 proceeding behind it would get the virtual block and see that

1 there's a train there and -- and know -- I guess what I'm trying  
2 to think of a better way to ask it.

3 How do you allow trains to proceed into a virtual blocks if a  
4 train's already occupying I guess is -- is it all by --

5 MR. BEARD: Can --

6 MR. SCOTT: -- rules or --

7 MR. BEARD: Can we pause for a second?

8 MR. SCOTT: Yeah.

9 MR. MANUTES: Yeah. Stand by. Give me a second.

10 (Off the record)

11 (On the record)

12 MR. SCOTT: All right. So y'all were talking about a testing  
13 ground. Where is that? Do y'all already have a testing ground  
14 picked out on your territory per se that you're -- you're wanting  
15 to try this after you get approval or --

16 MR. BEARD: We do have a test site set up. That's part of  
17 our test request. Can't share that location with you because  
18 that's something that we have as redacted and just trying not to  
19 have a lot of people just coming out there while we're trying to  
20 perform our testing.

21 MR. SCOTT: Understand.

22 MR. BEARD: But --

23 MR. MANUTES: Makes sense.

24 MR. SCOTT: All right, and just for my knowledge, you're --  
25 you talked about putting communications, radio communications,

1 into your intermediate locations. Do your intermediate locations  
2 have any communications at this point or is it all done from a  
3 control point on your -- before you came up with this technology?

4 MR. BEARD: Yeah. So CTC intermediates, well, prior to PTC,  
5 we didn't have any radios at any of our intermediate locations  
6 communicating out. Now with PTC, all our intermediates do have  
7 the CTC radios there, which establishes that communication  
8 backbone.

9 We're just going to further elaborate (indiscernible) PTC  
10 backbone at those locations. Part of that is how we'll be able to  
11 communicate the additional alarms and have the potential to maybe  
12 even potentially create -- convert intermediates to control points  
13 to give additional control for the dispatchers to a more defined  
14 segment of track versus going from traditional control point to  
15 control point, which could be 20 miles which can now be broken  
16 down to two, four, six, eight miles of control.

17 MR. SCOTT: Okay. Now do you under PTC, and not talking  
18 about the virtual track circuit, they don't -- you don't have any,  
19 let's say, IP base systems that you're intermediates now, like a  
20 satellite or sail or any of that kind of stuff. Am I correct in  
21 saying that?

22 MR. BEARD: Just only thing that was required for PTC, some  
23 PTC locations have cell modems. Some subdivisions have fiber  
24 connectivity.

25 MR. SCOTT: Okay.

1 MR. BEARD: Just based on the location and availability.

2 MR. SCOTT: Okay. Let me look over my questions. I think  
3 that answered most of my questions.

4 MR. PITMANN: If -- one thing that I want to make kind of  
5 clear too is that we talked about OMA. We really talked a lot  
6 about the virtual track segments and so forth. I think that the  
7 one -- one thing that we want to be clear of too is that OMA is  
8 really the type of -- OMABBS is the type of operation.

9 It's really moving the authority from the Wayside -- the  
10 interpretation of the Wayside signal to the onboard, right? The  
11 VTS or Virtual Track Segments is when we subdivide that, and so it  
12 is possible to run an OMAVBS type of operation without those  
13 virtual track segments.

14 It just CTC would run like it does today, except just using  
15 the onboard for the authority if that makes sense.

16 MR. SCOTT: Yeah.

17 MR. PITMANN: Okay. I want to make sure that was clear and I  
18 think --

19 MR. SCOTT: Okay.

20 MR. PITMANN: -- we kind of talked about it. I wanted to be  
21 clear about that.

22 MR. SCOTT: So I think part of what Mitch was saying, and  
23 correct me if I'm wrong here, Mitch, when you were talking about  
24 the length of the virtual track circuit versus the natural track  
25 circuit now is, to me, it takes away some of the complicity maybe.

1           You know, you have a train crew going in and they get  
2 complacent on a two or three or four mile restricting speed  
3 versus, all right, now they're going in on a -- a virtual track  
4 circuit that they know, hey, this is -- there's something up there  
5 that's pretty close to me.

6           You know, I really need to pay attention versus getting kind  
7 of complacent on, you know, an actual circuit that may be miles  
8 long. Am I correct in saying that?

9           MR. BEARD: Me, personally, I believe that there's a  
10 potential to that. That's what I think. We will be part of our  
11 testing doing human factors analysis, which is done by a third  
12 party vendor, which I think what that study will kind of help  
13 facility that answer.

14          MR. SCOTT: Okay

15          MR. BEARD: But me, personally, I think that's a valid  
16 statement.

17          MR. SCOTT: Okay. Rubin, anything else?

18          MR. PAYAN: Yeah. So one of the areas we're looking at where  
19 PTC has a little bit of shortcomings, we had an accident on the  
20 East Coast where -- where this track group was working out on the  
21 tracks.

22          They had an authority to be out there and then without them  
23 knowing, the dispatcher took -- lifted their authority and sent a  
24 train down on them and -- and there was some fatalities. Is this  
25 virtual block going to help? I can't think of it, but maybe you

1 know better.

2 Do you see any interaction how this, the single point  
3 failure, can be -- can be handled with the virtual block?

4 MR. BEARD: First of all, I was going to say that is a bad  
5 deal.

6 MR. PAYAN: Yes.

7 MR. BEARD: Being an engineering employee myself, your  
8 authority, well, you know, is -- has never been protection in the  
9 past. It's just an authority to file a track.

10 MR. PAYAN: Uh-huh.

11 MR. BEARD: I think PTC is taking steps to help solve that  
12 problem with some of the work zones that are involved in there,  
13 especially like our Form Bs. Right now, only VBS doesn't have  
14 anything additional to add to help support any additional efforts.

15 I would say that's something that's constantly being  
16 evaluating and, you know, trying to work towards but it -- right  
17 now, we're just leveraging what is there today --

18 MR. PAYAN: Okay.

19 MR. BEARD: -- and the track circuit won't help solve those  
20 problems today.

21 MR. PAYAN: Okay. I wasn't sure. I just want to -- I just  
22 thought I'd ask the question, but thank you for that.

23 MR. BEARD: Yeah. No, that's a good question and it's a big  
24 deal.

25 MR. PAYAN: Well, I appreciate it. Yeah, it's just one of

1 those single point of failures in PTC that we've found that it's  
2 unless the crews are out there shunting the track, a dispatcher  
3 can pretty much take away their authority without them knowing,  
4 and so hopefully the next version of PTC will address that  
5 somehow.

6 I think that's all I have. I can't think of anything else.

7 MR. SCOTT: John, anything else?

8 MR. MANUTES: Yes. This is John. Just one quick follow up.  
9 Does the technology that's to be tested add a screen in the  
10 locomotive cab or does it integrate with the existing screens in  
11 the cab?

12 MR. BEARD: Just leverages the existing screens in the cab.

13 MR. MANUTES: Okay. No, that's all I have.

14 MR. BEARD: It --

15 MR. SCOTT: All right. Do either one of y'all have anything  
16 recorded that you need to add, Daniel or Mitch?

17 MR. PITMANN: No. I think we covered it, you know, about  
18 the, you know, it's still -- obviously still in its testing and  
19 exploratory phases with the, you know, we do not have any  
20 approvals yet from the FRA. So certainly as we continue to work  
21 through it with them, that will -- that will continue to develop,  
22 I guess.

23 MR. SCOTT: Okay. I really appreciate y'all working with us  
24 today and, John, if you're ready to stop recording?

25 (Whereupon, the interview was concluded.)



FREE STATE REPORTING, INC.  
Court Reporting Transcription  
D.C. Area 301-261-1902  
Balt. & Annap. 410-974-0947

CERTIFICATE

This is to certify that the attached proceeding before the

NATIONAL TRANSPORTATION SAFETY BOARD

IN THE MATTER OF:           BNSF EMPLOYEE FATALITY  
                                  IN LA MIRADA, CALIFORNIA  
                                  ON OCTOBER 6, 2021  
                                  Interview of Daniel Pittman and  
                                  Mitch Beard

ACCIDENT NO.:               DCA21SR003

PLACE:                       Via Microsoft Teams

DATE:                        October 6, 2021

was held according to the record, and that this is the original,  
complete, true and accurate transcript which has been transcribed  
to the best of my skill and ability.

  
PII 

---

Lisa Smith  
Transcriber