

UNITED STATES OF AMERICA

NATIONAL TRANSPORTATION SAFETY BOARD

* * * * *

Investigation Report on: *

*

POSITIVE TRAIN CONTROL * Reference No.: DCA21SR003

SPECIAL REPORT *

*

* * * * *

Interview of: CALVIN VISER, Railroad Safety Specialist
Federal Railroad Administration

Via Microsoft Teams

Thursday,
September 23, 2021

APPEARANCES:

JOHN MANUTES, Rail Investigator
National Transportation Safety Board

RUBEN PAYAN, Electrical Engineer
National Transportation Safety Board

I N D E X

<u>ITEM</u>	<u>PAGE</u>
Interview of Calvin Viser:	
By Mr. Payan	5
By Mr. Manutes	17
By Mr. Payan	22
By Mr. Manutes	26
By Mr. Payan	28
By Mr. Manutes	33
By Mr. Payan	38

I N T E R V I E W

1
2 MR. MANUTES: So this is just the preliminary stuff. Good
3 morning. My name is John Manutes. I'm an NTSB rail investigator.
4 Today is September 23rd, 2021. We are meeting virtually via
5 Microsoft Teams to talk with Calvin Viser who is employed by the
6 Federal Railroad Administration.

7 This is in conjunction with NTSB special investigation report
8 regarding the future of PTC systems. The reference number is
9 DCA21SR003. The interview is being recorded. We'll transcribe
10 the interview and provide a copy of your review, Calvin. The
11 transcription will be placed into the docket for this special
12 report.

13 So it's a small room. So before we start, we'll go around
14 the room and introduce ourselves. We'll do this quickly. I'll
15 start off then maybe Ruben, then maybe Calvin. We're going to
16 want to spell our names, say who we work for, and our titles. So
17 my name is John Manutes. The spelling of my name is J-o-h-n M-a-
18 n-u-t-e-s. I'm an NTSB rail investigator for this report. Go
19 ahead, Ruben.

20 MR. PAYAN: My name is Ruben Payan, R-u-b-e-n. Last name P-
21 a-y-a-n. I'm an electrical engineer with the NTSB.

22 MR. MANUTES: Okay, Calvin?

23 MR. VISER: Calvin Viser, C-a-l-v-i-n V-i-s-e-r. I'm a
24 specialist -- safety -- railroad safety specialist, senior test
25 monitor, western division of PTC, for the Federal Railroad

1 Administration.

2 MR. MANUTES: Thank you. So Calvin, thanks a lot for meeting
3 with us today. I had to get that first part out of the way. I'd
4 like to just pass this over to Ruben. He's our technical expert
5 with PTC. I'll -- you know, if I miss something or have a follow-
6 up question, I'll jump in. But I want to keep this fairly
7 informal and just have a conversation. Does that sound good,
8 Ruben?

9 MR. PAYAN: Sounds good.

10 MR. MANUTES: Good, Calvin? All right.

11 MR. VISER: Yeah, I'm good.

12 MR. MANUTES: Thank you. Thanks for bearing with me while I
13 read all that.

14 INTERVIEW OF CALVIN VISER

15 BY MR. PAYAN:

16 Q. Thanks for talking to us, Calvin. As you know, the mandate
17 to implement a PTC came last December after several delays. But
18 it's in place now. So we've seen some NPRMs regarding PTC since
19 then. Can you kind of walk us through what the NPRMs kind of
20 covered or any --

21 A. Well, there was a couple. One of the proposed rule changes
22 was the submissions of requests for amendments to the safety
23 documents, the supporting documents of the systems that we have to
24 give certification to. And basically, what the industry wanted to
25 do was, for example, all the class Is with a number of other

1 railroads got together and decided to go with one particular
2 system. That was the IETMS system itself. So of those 19
3 railroads, when there's a functionality change or something that
4 will require them to update their safety plan, it was -- an NPRM
5 was put in where they could do this jointly, number one. Instead
6 of us getting 19 plans to review, we could review the one plan and
7 then give them the -- give the industry or give that group itself
8 the okay to make the proper changes to support the operations. So
9 that was one of the things.

10 And they requested a timeline. Well, they wanted 30 days.
11 We said that was unacceptable. We what we told them was based on,
12 you know, our criteria of reviewing those documents and ensuring
13 that we could validate the numbers in the, you know, human factor
14 analysis of it. Many times, the hazard is the best
15 (indiscernible) we say we do it in 45 days.

16 So that was one of the things that they requested was could
17 they do it jointly, number one. We agreed to that. Yes. Number
18 two, well, we try to do it in a timely fashion so if it was a
19 critical situation, we wouldn't be delaying them from implementing
20 something that would be of importance to their operation. So that
21 was one of the things. I'm trying to think of the next one.

22 Q. I remember reading something about the safety notice about
23 being able to defeat the PTC enforcements.

24 A. Oh, well, that was a safety advisory. That wasn't an NPRM.

25 Q. Oh, okay.

1 A. That was a safety advisory. And what happened there was one
2 of our guys was out testing -- and it was actually with the access
3 system. Was out testing and somehow -- I don't know how the
4 conversation was initiated. But it was basically, could you
5 circumvent the system to override a penalty application. And with
6 that particular system on that particular unit -- and it was an
7 older-style locomotive -- they were able to do that.

8 So we put out a safety advisory to the industry to check all
9 your unites to validate if the cutting out of the brake stand
10 would -- if it would actually transition to a penalty application
11 resulting in a stop immediately, or would they be able to operate
12 continuously and override that penalty. We're still collecting
13 that data. But I believe all the railroads have responded. I
14 have not personally reviewed it but we have responded to it.
15 Those that had identified it also provided us the mitigations that
16 would be in place to support that.

17 I will say that there was only -- I don't think there was
18 many that required reconfiguring. I think it was more of there's
19 going to be some training issues addressed. And they were going
20 to tighten up their mitigations. Because with IETMS, for example,
21 that's the system that I'm pretty much dominant with. There is a
22 notification provided. There is a stop required in the event that
23 he can't cut it out and cut it back in. And if he was to cut it
24 out, like I said, there's notifications sent to the supervisor, to
25 the dispatcher. And for him to actually cut the system back in,

1 he has to come to a stop. So that's that particular system. And
2 not all of them did that. Like I say, access didn't do that. So
3 that's why the advisory was put out there. So they're modifying
4 their system to support that.

5 Q. You say it had to be reconfigured. Is this a software
6 reconfiguration or a mechanical?

7 A. No. This is -- well, not really a software. It's a hard-
8 wired configuration of him being able to walk over, flip a
9 breaker, cut out the brakes, and then flip that breaker and cut it
10 back on, or switch. That's what the guy had been doing. And he
11 was actually bragging to the wrong person when he brought the
12 conversation up. We're like, what, you can do what. And we had a
13 couple inspectors go out there. A couple specialists go out there
14 and validate that they could do this which is why that safety
15 advisory was issued.

16 But that the intent of him -- we're not saying they can't cut
17 it out. But the intent of him cutting it out without authority,
18 that's the problem. You know, you're going to have situations
19 where there's going to be something either communication,
20 satellite, or GPS, or whatever, that's going to require you to
21 have to cut out. But you have procedures to cover that.

22 And what he was doing -- this particular guy was doing during
23 that particular time was he was circumventing the entire process.
24 He was just bragging -- I can cut out and avoid getting a penalty
25 here. And it was like, sorry, that's the wrong person you should

1 be talking to. And it impact all the railroads basically. We had
2 to get a response from every railroad that is PTC -- had PTC
3 installed on it. So we're still -- they're still trickling in.
4 Of the 41 -- of the hosts, we've got all theirs. We're still
5 getting some of the things from, you know, the small entities that
6 were equipped to operate on some of the class ones. But class
7 ones are being big brothers to them and ensuring that they can
8 support the operation.

9 Q. That's good. That's good. That was a good find.

10 A. Yeah, it was. It was.

11 MR. MANUTES: Yeah. It's funny how people will brag to the
12 wrong person sometimes. I mean --

13 MR. VISER: Yeah, and you know --

14 MR. MANUTES: Like my kid tattling on himself.

15 MR. VISER: -- not paying attention to what you're saying.
16 You know, we're federal regulators so we're not your friends. And
17 I always tell them, I say, whatever we talk about, you know, you
18 better consider that as a business. I'm not talking to you as a
19 friend. That's how that came about. Other than -- I don't think
20 there was anything against the rules itself for any leniency. It
21 was -- like I said, it was more of a paper tracking purposes. But
22 operational-wise, we didn't -- I don't think we give out leniency
23 warrants or provisions to the (indiscernible) for that.

24 BY MR. PAYAN:

25 Q. So at this last accident I went to, we were getting a lot of

1 mixed messages about en-route failures for PTC. We were being
2 told that FRA had issued or was going to issue an NPRM on en-route
3 failures.

4 A. Well, it's not an NPRM. What happened was due to the FAST
5 Act, Congress granted a braking period pretty much is what it is.
6 An en-route failure is 236.1029. All the railroads have
7 identified their operations of what it would be in the event of a
8 failure while operating.

9 There's speed reductions associated with that based on type
10 of train, either passenger or freight, method of operations within
11 that segment, type of material being transported, things of that
12 nature.

13 But Congress said, give them a year. Actually, it was two
14 years if you remember how the FAST Act was written from -- the
15 original was from 2014. So from 2014, you get 24 months. Well,
16 in 2015, they rewrote it. Timeline was 2020. Give them a year to
17 break it in. Year -- another year of other -- unlimited or
18 limited restrictions and then 2023 is fully 1029 operations.

19 So for this calendar year, we asked them to show us or tell
20 us what your parameters will be. We can't force you to do it. We
21 recommend you do it, but we can't force you to operate per your
22 restrictions. If you choose to do so, so be it. If not, then
23 that's what Congress said. We'll just have to note it and annotate
24 what we're doing.

25 Come next calendar year, or January 1st of 2022, the speed

1 restrictions fall into place. So now, any en-route failure that a
2 class I has on a freight train, maximum authorized speed in TCS
3 territory will be 49 miles an hour. If it's of a lesser operating
4 capacity on that particular track segment, then that's what they
5 will fall to. But that's the mas. Max passenger speed would be
6 59 in TCS territory.

7 So that's where we're going to start imposing the
8 restrictions. And we will be enforcing that for en-route
9 failures. You still -- 1029 still covers initialization and
10 initial terminal failures. And the only leniency we're giving
11 them next year regarding initial terminal failures is if -- in the
12 commuting industry.

13 For example, John knows what RTD you've got, WMATA which is
14 more or less transit. (Indiscernible) railroad Amtrak's
15 operations as far as the passenger train. What that will give
16 them is the flexibility of, if they configure the train in the
17 yard, and passes the departure test and then they can initialize
18 it and take it out to the station and get ready for the first run,
19 that's fine. That train can do what it's got to do.

20 But when it gets to the other end to come back -- let's say
21 it fails. Well, they don't have a locomotive down there to bring
22 it back. They can then bring that back per 1029. Which was, you
23 can operate en-route failure mode but you'll be limited to these
24 speed restrictions. So you won't be running access at -- well,
25 160-mile segments where they've got the leniency for that. They

1 won't be running that speed. They'll be running at whatever
2 configuration we come to to support their operations. Well, right
3 now, it's 59 miles an hour.

4 Now, I'm gathering Amtrak might petition us to change that.
5 But if access fails when they go out on a return route, they --
6 max run that train, it will be 59 miles an hour coming back, you
7 know. And that's -- those enforcements go into play January 1st
8 of 2022.

9 January 1st of 2023, they can't leave the terminal with a bad
10 train. They now have to have a piece of equipment to have in
11 place to replace it or run a locomotive down there to get that
12 equipment out of there. They cannot leave the terminal or leave
13 -- if they can't initialize and operate in 2023, January 1st,
14 2023, it will not operate.

15 Q. How about for freight trains?

16 A. Same thing.

17 Q. So any crew change point? Is that considered a terminal?

18 A. Well, what we identified there is initial terminal locations.
19 They've identified those. And some of them are crew points. But
20 wherever -- the initial terminal is where they built it. But at
21 crew change points is -- if a departure test is required, and that
22 test fails, they'll have to get -- in 2023, they'll have to get
23 another locomotive out there to run that train. That's the only
24 thing that happens in 2023 is you will not operate with a failed
25 system.

1 Q. I see. Okay.

2 A. From initial terminal. If it's en-route, they can still go
3 to the next maintenance facility. But they won't be able to leave
4 that initial terminal with a failed unit.

5 Q. That makes -- yeah. They were totally wrong what they were
6 telling us.

7 A. Yeah. Some of the interpretations there -- and they're
8 taking it the way that -- you know the railroad is going to try to
9 get as -- they want more flexibility if they can. Our job next
10 year is -- and we've given them the blueprints of what the
11 standards will be. Next year we've told our signal
12 (indiscernible) guys, you get out there and ensuring that they're
13 operating at the reduced speed. You know, we gave them a year to
14 break it in. That's it.

15 Then the year after that, (indiscernible) you better be
16 making sure they're not leaving initial terminal with a defective
17 unit. They cannot operate like that after, you know, January 21st
18 [sic] 2023. So there is -- there's break-in periods for them to
19 learn and get it right.

20 Now, I will tell you, Metro in Chicago area supposed to go
21 full operational. They're not doing the break-in period. Amtrak
22 chose to go full capacity, too, with -- I'm not sure what they're
23 doing on access. But with ITCS and IETMS, they chose not to do
24 the break-in period. But I'm not sure if they're doing that with
25 access. But they chose to put their restrictions or operate with

1 their restrictions already in place so there won't be no confusion
2 starting next year.

3 Q. Okay. Oh, wow. That's interesting.

4 A. I think Metrolink is doing the same thing if I -- if my
5 memory is correct.

6 MR. MANUTES: That's with the speed restrictions. Not with
7 the -- you can't leave the terminal. That was --

8 MR. VISER: Right. With the speed restrictions. Right,
9 right. The initial terminal thing --

10 MR. MANUTES: Next year --

11 MR. VISER: It's another year away. Yes, correct. That's
12 correct.

13 MR. MANUTES: There's still just another year. Okay.

14 BY MR. PAYAN:

15 Q. So what is FRA participating in as far as new technologies?
16 Are they doing anything for --

17 A. Well, we -- our research group is doing something. I am
18 directly -- as far as the PTC branch goes, I'm directly involved
19 with BNSF's onboard movement authority/virtual block system. I
20 was part of the initial testing on the Plainview Sub last year. I
21 actually wrote the approval letter to their waiver that's waiting
22 to be approved.

23 We are directly, as far as FRA goes, involved with that
24 process on a PTC level, signal level, OP level, and we actually
25 got track involved just to ensure that the maintenance away

1 personnel -- the people that are out there on the track -- are
2 going to be provided the proper training once these -- this
3 functionality is put in place on the railroad.

4 So we've tried to touch all bases of what that -- what the
5 onboard movement authority/virtual block lane. CSX has recently
6 reached out to us for a zero-to-zero feature using trip optimizer
7 which basically they're trying to automate train movement. You
8 know, they'll be able to put this thing in notch eight and either
9 go forward or reverse and let the system dictate what speed the
10 train will operate.

11 We just cracked the egg on that. The letter is sitting there
12 pending for approval. I have to debrief Mr. Alexi (ph.) and his
13 team with the -- with John Fairbanks (ph.) and his group; how
14 we're going to move forward with that. But PTC is directly
15 involved with that. We just heard from -- you'll -- I think you
16 got a conference call with Sam later on today. He gave us an
17 update --

18 Q. Yeah.

19 A. -- on some of the things that RPD is doing. So we're going
20 to get involved with some autonomous train movements, some ghost
21 track circuits. It's getting ready to get a little tense, from
22 what I can tell. I'm not sure if that -- my little 10-man team,
23 if we're going to be able to keep up with it. But we'll try.

24 But the class I's come to us and they're kind of open with
25 what they would like to do, the flexibility that the system allow

1 them to have. I mean, we notice they -- you know, four billion
2 dollars across the industry to put in, of course you're going to
3 want to take advantage of what you can with it. So we knew things
4 would come like that.

5 I didn't think it would be this fast. But yeah, it's coming.
6 Some of the features that -- I mean, some of the functionalities
7 are still being upgraded in the systems. They're now looking at
8 the target management system which allows them to stage their
9 equipment and get closer to really signals and assets that will
10 warrant penalty applications.

11 Couple of them are using the portable remote terminals for
12 their wayside -- for their maintenance way employees in the field;
13 that ties directly to the restrictions associated with work zone
14 are being created where the onboard crew is now talking directly
15 to the people in the field instead of going, you know, this relay
16 through to the dispatcher. He's confirming directly with the crew
17 what his authority is. So we've got -- that's actually being
18 utilized in a couple railroads. So things like that are moving
19 forward.

20 MR. MANUTES: You got that, Ruben?

21 MR. PAYAN: Oh, yeah. I was going to say, you touched on a
22 couple of things that we're actually really interested in. I'll
23 let John go first.

24 MR. VISER: Oh, okay, go -- no --

25 MR. MANUTES: Yeah, I was going to --

1 MR. PAYAN: He caught on to it, too.

2 BY MR. MANUTES:

3 Q. Yeah. Well, I'm -- a couple of things. Actually, could I
4 get -- just an administrative thing. What subdivision did you say
5 BNSF is doing the onboard movement authority?

6 A. Well, we tested on it a Plainview Sub initially.

7 Q. Plainview.

8 A. But it's actually going on the Afton Sub. And that's in
9 between -- I want to say -- Oklahoma and Texas, I believe. That's
10 where the Afton Sub is. That's where we're going to --

11 Q. Okay. All right. Thank you. I agree with that.

12 A. Yeah. We're going to get out there. I believe once the
13 administrator gives us approval, that we're looking at either late
14 October or early November to start doing formal testing of that.
15 We've done some unofficial testing of about 12 weeks last year.
16 And that was in TCS territory, TWC with ABS, and TWC territory,
17 dark territory. So we tested on three different segments with the
18 method of operations.

19 Q. And there is a waiver that needs to be approved to get that
20 going?

21 A. Yeah. We -- yeah, a test waiver request was submitted. It's
22 been -- well, the draft letter has been approved. It's just
23 waiting for a signature from the -- from Mr. Alexi, the -- our
24 department head.

25 Q. I thought David mentioned in passing to me that there -- that

1 Subpart I allowed for no waiver on that somehow. So it's good to
2 know there's going to be some paperwork and an approval on that.

3 (Crosstalk)

4 A. No, Subpart I, that's what they submitted it to. It's
5 drafted against Subpart I. The -- it's called a 236.1035 test
6 request waiver is what they drafted it. And it's per Subpart I,
7 1035.

8 Q. So I want to ask you, on these portable remote terminals in
9 the field for maintenance away employees, maybe you can just
10 expand on that. It sounds like -- one of the things we're really
11 interested in is eliminating that -- where a dispatcher can --
12 could remove a work zone on a guy. Right. And maybe he doesn't
13 know it. If a dispatcher was able to make a mistake today and
14 remove a work zone, you could have a dangerous situation.

15 A. Right.

16 Q. So can you talk to how the remote terminal might play into
17 that.

18 A. Okay. Here's how it -- those are being configured right now.
19 Let's say that a track crew goes out there and they decide they
20 want mile post one to mile post two. That employee actually
21 generates the request. So he creates it. He then sends it to the
22 dispatcher. Dispatcher reviews it, acknowledges it, or amends it
23 to what he needs to be. If he amends it, it has to go back to the
24 maintenance away employee.

25 If he approves it, it's acknowledged right there. The

1 maintenance away employee gets notification that he now has been
2 granted permission and this segment of railroad is now his. That
3 is -- then generates a mandatory directive that goes through the
4 dispatching network that now goes out to the train crew -- to the
5 onboard -- equipment onboard that the PTC system now will enforce
6 this work zone.

7 When the train is within five miles, he'll get a notification
8 that you in approach of a work zone. He can now reach out and
9 contact that employee directly himself. He doesn't have to go
10 through the dispatcher to grant permission of -- am I required to
11 stop, reduce speed, or what, to enter your limits.

12 Once he confirms he's reached -- once he reaches out to him,
13 he has to acknowledge that he established contact with that
14 employee. Then he has to confirm that he's gotten authority for
15 that employee to move through those work limits. So there's a
16 two-prompt action that he has to do with the onboard screen
17 itself. It's not just a verbal thing. He's talking to him
18 verbally. But he still has to acknowledge, get permission on the
19 PTC screen that he was granted authority to enter those limits.

20 Q. Do you know if the worker on the ground has to also confirm
21 on the device, yes, I do give permission?

22 A. He doesn't confirm. He just gets notification that the crew
23 is confirmed. He gives them authority and then he can -- or he
24 can witness that the crew is confirmed. But he doesn't --

25 Q. But he didn't --

1 A. He doesn't respond from that point.

2 Q. He gives them verbal authority.

3 A. Yes.

4 Q. And then the crew confirms it twice on the screen. And then
5 he sees back in the field on the tablet that they've confirmed it.

6 A. Yes. I believe that's how it works, yes.

7 Q. And is the process for taking away the authority -- when he's
8 done with his workday and he wants to give back mile post one to
9 two to the dispatcher, is the process for unwrapping the authority
10 kind of the same thing between the --

11 A. Yes.

12 Q. -- dispatcher and the maintenance away guy?

13 A. Yeah, he -- yeah. The guy that established it -- or the unit
14 that it was established under now has to reach out to the
15 dispatcher and says, okay, we're looking -- we're complete, we're
16 ready. If it wasn't based on time expiration, we're ready to
17 cancel this notice. He has to directly call the dispatcher. The
18 dispatcher has to go through the process of doing the canceling,
19 stamp and time it. And then send it back to him. He then sees
20 that his track and time or his work zone has now been terminated
21 and it time stamps with the, I believe, the initials of the
22 dispatcher that initiated that process.

23 MR. PAYAN: Oh, nice.

24 Q. So the dispatcher can't just take it away?

25 A. He shouldn't be. I can tell you right now, he shouldn't be

1 just taking it away because it's -- I mean, it --

2 Q. Yeah.

3 A. If he does, you know, we got record that he did it
4 improperly.

5 Q. It sounds like it needs a confirmation on the tablet though,
6 hopefully.

7 A. Yes, yes.

8 Q. Does that sound about right, yeah.

9 A. He gets confirmation. So even -- let's say you're standing
10 out there and then somebody inadvertently took your work, he'd
11 know it because he'd get notified on this thing that your limits
12 are no longer in existence.

13 Q. That's how it would work -- is that how it would work for a
14 time-based -- so I get mile post one and two --

15 A. Well, the time --

16 (Crosstalk)

17 A. -- just expire. Yeah, it would just expire.

18 Q. (Indiscernible).

19 A. And --

20 Q. Well, hopefully, it would tell him.

21 A. Yeah, I'm not sure what it does in the field. But I know on
22 screen it expires. And on the train, if the train is within the
23 limits, it won't take it off until he's actually exited the
24 territory.

25 Q. What -- do you know -- do you have a lot of manufacturers

1 that are making those devices? Or is that just one manufacturer
2 and one system that's making those?

3 A. I think it -- I believe CN and BN are the only two railroads
4 that are using it right now. And I think it's just one
5 manufacturer.

6 Q. Who is that? Do you know?

7 A. I'm not sure, to be honest.

8 Q. But those are out there being tested right now on CN and BN?

9 A. I believe so. Yes.

10 Q. Interesting.

11 A. Believe we got them in testing mode right now.

12 BY MR. PAYAN:

13 Q. So you mentioned tightened work was being done on -- excuse
14 me. Tightening the target and then being able to stop closer?

15 A. Yeah, target approach management. I don't know how often you
16 see a report. We get reports every now and then about train is
17 trying to -- the railroad is trying to stage equipment, you know,
18 on the siding. The siding is unmapped track. But that signal to
19 enter the main is PTC entry. Well, the deliberation distance to
20 signals is 1500 feet. So IETMS, for example, starts recognizing
21 that signal if it has been initialized at 1500 feet. So as
22 they're staging the equipment, it will give them warnings and will
23 put them in penalty if they're not operating -- prepared to stop
24 at that signal.

25 But a target approach management gives them a little more

1 flexibility of staging that equipment because we don't want them
2 cutting it out while they're doing it because they could actually
3 encroach or get by that signal and get into the -- get up there on
4 the main line track.

5 Q. Sure.

6 A. So we told them that wasn't -- we didn't like that practice.
7 So we asked them to look at making whatever modifications they
8 could to prevent having to cut out. So that was one of the things
9 that they looked at with modifying the target approach process
10 which is -- it's called TAM, but it's target approach management
11 systems which allows them to creep up to zero speed targets,
12 whether it be a stop signal, a work zone, a malfunctioning
13 crossing, and get as close as possible, but not get by the target
14 itself.

15 Q. So do you know if any of that work is being done for terminal
16 stations, especially passenger terminal stations?

17 A. Well, at this terminal -- well, it's -- well, with IETMS it's
18 across the board. It's an industry thing.

19 Q. Yeah.

20 A. So it's not just terminals. It's all areas. What we're
21 doing in the terminals where we've got exemptions is we're asking
22 them to put in repeaters and things of that nature. Like Chicago
23 Union Station. If you go underneath the shed at Chicago -- or
24 underneath the old post office where there's no GPS, so target
25 approach management is no good because your system is not valid

1 anyway. We don't want them operating in restricted mode because
2 all that enforces is a restricted speed. So they're looking at
3 doing radio repeaters or target repeaters down there to -- well,
4 so that the system will monitor those critical assets that are
5 considered -- that are underneath the bridges or the tunnel -- or
6 in tunnel-type atmospheres. And yeah, target approach is going to
7 -- going to fix that.

8 But we also -- they're also looking at dead reckoning,
9 extending the operations of dead reckoning to allow wheel tach
10 (ph.) to where if you've got track -- if you've got map track and
11 you've got good GPS up to a certain point, wheel tach can operate
12 for 10 miles to where we can actually still say, this train is on
13 this track, moving at this speed, and is at that location. So
14 that's -- and then that was -- that is in the last -- I want to
15 say the last software version that was put out. So that is
16 actually in place and in operations right now.

17 Q. Oh, really. Okay. In Chicago?

18 A. I'm not sure if Amtrak is utilizing it yet as far as Union
19 Station goes, but the software is there for them to be able to
20 start testing or monitoring it. I'd have to reach out to them.
21 We just gave them that approval letter like two weeks ago. So I
22 need to reach out to them and get an update on that.

23 But that was part of -- it was really part of the operations
24 through the tunnels of BNSF on the northern -- northwest area.
25 And not -- and to avoid having to cut out to get through those

1 tunnels. So that was really the main reason for it. And they
2 were like, well, if we can do that -- if they can do that in the
3 tunnels, why can't they do that at these terminals? So --

4 Q. Right.

5 A. It was one of those, let's see if it works there, then we'll
6 see if it works here. So that's where we are with that right now.

7 Q. Yeah. Because we had a few accidents on the Long Island,
8 specifically, of New York where they did just what you said. They
9 -- the last signal they went by, they gave them a restricting to
10 send them into the terminal on a restricted signal and sure
11 enough, the guy went in restricting right up to the bumping post
12 at restricting speed.

13 A. And then (indiscernible), right.

14 Q. So yeah. So we're looking at the PTC solutions for that.

15 A. Believe me, we did not want to give them those exemptions.
16 But at the time when it was being implemented, there was nothing
17 there to actually support it. But we've now been moving forward
18 with trying -- and it's not just Long Island, Chicago. I mean,
19 we've got issues in Milwaukee and all the other terminals where
20 you got poor GPS which is one of the main things there.

21 But they've looked at, like I said, wheel tach, which
22 actually looks at the revolution of the wheel to determine your
23 speed and things of that nature. If you can establish one point
24 where you've got good mapping where you can say, he was here, then
25 once GPS goes away, wheel tach can assure you that you're

1 monitoring him up to 10 miles. And pretty much be precisely about
2 where he should be. It's pretty good. It's pretty on. As long
3 as they've got the proper wheel calibrations in and everything.
4 And the configurations, and the constant configuration is all
5 right. You know, it kind of keeps pace with what they're doing.

6 Q. So at that point, they're working towards a target at the end
7 of the platform or at the end of the terminal?

8 A. If it's a signal or -- yeah. Whatever is considered the end
9 of their authority, those limits. I know we made them put stop
10 signals at the end of the platforms in the terminals now. So
11 that's actually a stop signal instead of the bumping post actually
12 being the target itself. Yeah. They had to place signals at that
13 locations. Yeah.

14 MR. PAYAN: Oh, wow. That makes sense.

15 BY MR. MANUTES:

16 Q. So it sounds like you're working towards reducing the number
17 of these main track exceptions that you've got. You don't want
18 them out there anymore than anybody else does. Right?

19 A. No.

20 Q. You want to try and get them --

21 A. No. We like them to utilize the system as much as possible
22 anywhere they can. Like I say, there are situations where we
23 can't -- you can't do anything about it. But those that we can,
24 we're pushing them towards trying to do that.

25 Q. Can you help me understand. Other -- like what are the

1 situations where you can't do anything about it? These are kind
2 of new to me. And I got -- I had a conversation with --

3 A. Well --

4 Q. -- our new chair that I didn't answer very well.

5 A. Some -- I have to go back to a terminal or something like
6 that just -- or a bridge, something like that, so we can talk
7 about it.

8 For example, you've got Washington Station, you got Union
9 Station, you got Long Island, whatever. The trains that are
10 already in there, you know, if you can't get some type of signal
11 to them, whether it be radio, satellite, or whatever, then there's
12 no way they're going to be able to come out with an active signal
13 until they get to a certain location to where that information can
14 be provided. That's what we're trying to rectify. That's what
15 we're having them try to fix.

16 If you could put radio repeaters there or GPS repeaters there
17 where the train can -- location can be identified, then the system
18 can say, okay, I know you're here, we've got some place to start.
19 The problem is it can't do that everywhere. That -- and that's
20 what we're finding to be a headache.

21 You know, going into Chicago -- once he comes off of the main
22 line -- or going into the station, yeah, we can get to that
23 platform, unload those passengers, do what we got to do. When we
24 get ready to turn to come back out, now we've got a problem.
25 Because you can't get that other end active. So he's going to

1 come out due to the MTEA at restricted speed until he can get to a
2 point where he can get either good GPS, good radio, or whatever,
3 so that locomotive can now transition to an active state.

4 You can't really -- it's hard to do something about that. We
5 took care of one way of it but we weren't -- they weren't able to
6 really fix the turn end of it. And they're trying. I mean,
7 they're still looking at things. Like I said, radio repeaters and
8 things of that nature, but it doesn't always work in certain
9 locations.

10 And then you got to look at some of those where they got
11 (indiscernible) that can cause other kind of interference. It's
12 very complex based on some of these locations, inter-city
13 locations, you know.

14 MR. MANUTES: Okay, thanks.

15 BY MR. PAYAN:

16 Q. So before I forget, the BNSF system you're talking about, the
17 virtual -- the virtual block.

18 A. Um-hum.

19 Q. Is that to replace PTC or is that the method of operation
20 that PTC --

21 A. No. That's to change the method of operation. PTC will
22 still be part of it. PTC is actually the main part of it. It is
23 actually to develop a new method of operations to where we've
24 already given them authority to have the mandatory directives
25 delivered electronically to the onboard. This is now saying,

1 okay, this is going to be a form of operations. Onboard movement
2 authority will be generated by the dispatcher, electronically
3 given to the train. The train will now be able to enforce these
4 limits and move forward.

5 The virtual block thing, we've already granted some systems
6 virtual blocks like PTC entry locations where they didn't have
7 signals coming off of yard tracks or storage tracks, things of
8 that nature. Now, they're pushing to use this process on main
9 lines. So that's where the virtual block stuff come in.

10 They're not doing that this year. We tested it. The virtual
11 blocks will not happen this year. The onboard movement authority
12 is the only phase that we're going to roll through this whole
13 process. The virtual blocks we're going to have to have them get
14 back to us because at locations where you've got signal logic,
15 it's probably good because the signal logic remains. It's a vital
16 part of the network. You just going to take the wayside signal
17 out or move it, whatever.

18 But what about locations where you didn't have signals and it
19 was track warrant authority. How are you -- where is the vitality
20 in that network. So they're not looking at -- the virtual block
21 stuff won't come until probably another year or so. It's just
22 really the movement authority that we're going to test starting
23 October or early November. Just that portion of it.

24 Q. So how --

25 A. That's where they're headed though. They're trying to go

1 virtual. I can tell you that now. Yeah.

2 Q. Yeah, yeah. No, we've been reading a lot about it. I just
3 didn't know what exactly the -- how each interacted with the other
4 one.

5 A. Yeah, it's two phases of it. They're doing the movement
6 authority part first and then they're going to come back and then
7 dive into the virtual block segment of it. Yeah.

8 Q. So how about making the rear of the train a PTC target? Are
9 you doing any work on that?

10 A. In the -- yeah, actually, Sam -- he is going to talk to you
11 guys about that later. Yeah. Our research department is looking
12 at some things like that. Wabtec (indiscernible) train device and
13 why it was never actually brought into this whole -- well, number
14 one, you got to remember, PTC wasn't a train separation
15 requirement. It was train control. So when you start looking at
16 the end of train devices to -- you're looking at train separation
17 which is another different concept.

18 But there are devices that can be incorporated into PTC
19 because the consist -- and the weight and the length of the train
20 is part of the buildup. So we know that. We know the length of
21 the train. If it's correct, we know that and now it's entered
22 into the consist configuration. Because of the braking algorithm,
23 it's based off of that. So we know that. So all they're doing --
24 if they can decipher or create this device where the data can be
25 input to monitoring end of train, yeah. It can be done. But that

1 wasn't -- you got to remember, in the beginning, that wasn't a PTC
2 requirement. We're migrating to that. And we're encouraging
3 that. You know, we want them to be able to do that because number
4 one, you know they want to increase capacity. So knowing where
5 the end of the train is gives them that authority, you know, or
6 gives them that ability. So yeah, it can be done. They are
7 looking into that. I can tell you that. But Sam will give you
8 more information on that because his group is directly involved
9 with that.

10 Q. So is Subpart I already -- can that accommodate if they start
11 putting these end of train as targets?

12 A. It doesn't have to be -- it can be developed under Subpart H
13 and then just incorporated into PTC. It can be a Subpart H
14 certified device. And it can be incorporated into PTC.

15 Q. So no new regs will have to be developed right away?

16 A. No, no, no. No new regs for that. We'll have to look at
17 some regulatory things like ghost tracks, certain things of that
18 nature. I'm quite sure you've heard about stuff like that.

19 But --

20 Q. We have.

21 A. (Indiscernible) EOTs are for identifying units -- equipment
22 that they want to identify for train separation purposes, if it's
23 developed under Subpart H, we can migrate it in ITCS and it can be
24 added, identified as an addendum in the Railroad Safety Plan and
25 we can continue to move forward. ITCS, if you remember, I don't

1 know if you know that system, but that was originally developed
2 under Subpart H.

3 Q. Yeah.

4 A. What we did was -- we tooled it and tweaked it and worked it
5 to where it would meet the parameters or meet the standards of
6 Subpart I, you know. So it can happen.

7 Q. Oh, okay. Well, that's good. So there's flexibility.

8 A. Yeah.

9 Q. How about -- speaking of ITCS, how about the grade crossing
10 safety and PTC? Any new developments there?

11 A. We got a couple practice going on. Metrolink or -- not
12 Metrolink. I think -- yeah, Metrolink is doing a near station
13 stop project. I think -- either them or North County. One of
14 them is doing a near station stop project, which takes into
15 account the commuters that have to stop at stations that have
16 crossings within the proximity of those locations to prevent the
17 unwanted long warning times.

18 Q. Oh.

19 A. Of course, you know, we got ITCS which does the wireless
20 crossing activations in Michigan. There was a reduced function of
21 that system brought into Illinois for the Illinois High-Speed Rail
22 project from St. Louis to Chicago. We call it XITCS. But
23 basically, it's the crossing -- wireless crossing activity
24 migrated with IETMS. So you've got two systems that are being
25 utilized for high-speed rail passenger rail trains in Illinois.

1 And it's the wireless crossing of those systems that was
2 brought over to do that. RTD, of course, you know about their
3 crossing. Wabtec's wireless warning -- wireless crossing
4 activation system. Which to be honest, if they hadn't have chose
5 RTD, it would probably work, but they chose to do it on an
6 industry that was pretty much almost like transit. So you've got
7 high traffic, short rail lengths, and you're running 120-some
8 trains in 26 miles. That wasn't the best place to probably test
9 that system on. Well, we know it wasn't.

10 But can it work? I believe it can work. I just think that
11 that was the wrong place to put it on. Why was crossing -- were
12 you monitoring the health of that crossing, you're validating the
13 preemption works at that crossing, and you're giving it proper
14 warning time without having to deal with a fixed point like the
15 conventional track, track circuit, is -- you can't argue with it.
16 It works all the time. You don't have to deal with rail shunting
17 and things of that nature.

18 It's a system that looks out and can tell you if all your
19 gates are down, all your lights are working. That's what the
20 wireless crossing stuff does. It actually does a health check on
21 that crossing before they get there which is beautiful. I wish
22 they all would -- could do that. But some systems can't.

23 MR. PAYAN: Yeah. No, that would be nice.

24 MR. MANUTES: Ruben, if I can for a second.

25 BY MR. MANUTES:

1 Q. Are there other places where Wabtec is considering rolling
2 out or have they rolled out the wireless crossing features on
3 other railroads besides RTD? I think Caltrain came to mind at one
4 point. They were looking at it. Have we got there yet? Do we
5 know?

6 A. It's not Wabtec. But yeah, Caltrain has got -- I can't think
7 of the name of it. But yeah, it's --

8 Q. Okay.

9 A. -- two entities in California testing it. Caltrain and
10 Metrolink are both doing some wireless crossing. Oh, Caltrain is
11 doing a two-circuit -- two-speed stop thing, I think. It's a two-
12 speed check system to account for freights that go through and
13 then a different speed or setting or parameters to account for
14 commuter passenger trains that go through. That's what that's --
15 that's where they're doing the two-stop system.

16 Metrolink has got the near station stop. Of course, we got
17 the wireless crossing in Denver. The Brightline product down in
18 Florida is going to go with Wabtec-based products or probably
19 going to use the same product that was generated for RTD. Then,
20 of course, ITCS. Those are the only ones right now.

21 Q. And that sort of -- I mean, that would be one place where we
22 maybe could make a difference with PTC is grade crossing safety.
23 Right? So health monitoring. Could systems like that be layered
24 into freight operations where PTC is talking to the grade crossing
25 and grade crossing is saying, yeah, I'm healthy; no, I'm not

1 healthy? Is that --

2 A. Oh, yeah.

3 Q. -- a possibility in the future?

4 A. I would imagine that where this segment -- well, the segment
5 in the Illinois, UP runs freight track that go there. And I would
6 imagine that UP is going to adopt that after this break-in period
7 with Amtrak. It was put in for Amtrak for a high-speed operations
8 but I guarantee you once they start seeing how the system is
9 providing the notifications of the health of a crossing, that
10 they're going to want to take advantage of that for their freight
11 trains, too.

12 Q. Yep, good.

13 A. NS uses it in Michigan. I will tell you that. They're ITCS
14 has flipped in Michigan on the western part of the state. So
15 they're using it on the western part of Michigan. It operates on
16 the Amtrak Michigan line. Yeah, NS uses it. So it's being used.
17 Just not being pushed. But I think moving forward, that's the way
18 to go. I don't see -- I don't know why people want to argue with
19 that.

20 MR. MANUTES: No. I don't want to -- can I change gears for
21 a quick second or do you have something, Ruben, on that?

22 MR. PAYAN: Go ahead.

23 BY MR. MANUTES:

24 Q. I wanted to ask, Calvin, what do you see changing in the
25 future with restricted mode? You know, maybe -- I'm not super

1 familiar with the rules but I know if they want to do some
2 mainline switching, they can get a certain amount of miles I think
3 in restricted mode. But it seems like we've got some accidents in
4 our docket where -- like Kingman, Arizona, you had two trains
5 moving at restricted speed right into each other. I think we've
6 seen that in some other places. Maybe in Ohio.

7 But what's the future of restricted mode? Considering --
8 like, we all know, right, trains do need to couple together
9 occasionally. Right? That's how --

10 A. Right.

11 Q. -- mode works.

12 A. Right, right.

13 Q. But how do you keep them apart when they're not -- yeah, how
14 does that change in the future?

15 A. Right. Well, let me make sure I'm -- we're talking about the
16 same thing. Now, operating at restricted speed and operating in
17 restricted mode, that's two different things now. Okay?

18 Q. Maybe you can fix my knowledge on that then. Thank you.

19 A. Okay, now, operating at restricted speed is based on signal
20 authority, right, or permission past the stop signal. There is no
21 targets being enforced in front of them except for a zero-speed
22 target. It's like a signal or a work zone or something like that.
23 It doesn't see the other -- it doesn't see equipment in front of
24 it.

25 In restricted speed, they have to acknowledge switch

1 positions. That's restricted speed. Now, in restricted mode,
2 number one, they have to transition from an active state of their
3 system to restricted mode. Now, what restricted mode does is, now
4 you're no longer looking at any targets. It was strictly a
5 function that we gave them to utilize for switching or set-outs or
6 things of that nature. It wasn't supposed to be utilized and
7 operating up and down the main line, things of that nature.

8 So all restricted mode does is enforce an over speed at
9 restricted speed. That's all it does. After, I want to say that
10 accident in Ohio, we had them go back and make changes to it.
11 What it does now is, a maximum allowable operating distance is
12 26,000 feet. And he has to acknowledge that he wants to continue
13 to operate at restricted mode. If he stops, he has to acknowledge
14 that he -- and initiates movement, he has to acknowledge that he
15 wants to continue at restricted mode. If he reverses direction,
16 he has to acknowledge that he wants to continue in restricted
17 mode. Failure to acknowledge either one of those three gives him
18 a penalty of 30 seconds.

19 The 26,000 feet came in because -- I think it was -- to be --
20 I think it was UP said that they had yard tracks or something of
21 that nature where it could be up to that long as far as for some
22 train configurations. And they didn't want to have the engineer
23 having to go from active to yard -- active to restricted mode,
24 active, restricted mode, while configuring their equipment.

25 So that was what they presented. That's what we granted. If

1 we need to approach it again, we probably can. But I think the
2 last go-rounds were -- that's what they -- the adding of the timer
3 and the adding of the acknowledgment -- once, like I said, he hits
4 that maximum distance, changes direction, or he stops, the
5 engineer now has to acknowledge he wants to continue to operate it
6 in that mode. If not, a penalty is assessed 30 seconds and the
7 system cuts out.

8 BY MR. PAYAN:

9 Q. So initially, we were being told that the BNSF was pushing
10 for five miles before acknowledging. And I guess --

11 A. That's about the 26,000 feet. Yeah.

12 Q. Is it? Oh, so they did go with that. So now that --

13 A. Yeah.

14 Q. That change is going to be done with the --

15 (Crosstalk)

16 A. -- yeah.

17 Q. Oh, okay.

18 A. Yeah, that's in.

19 Q. But that was done through the AAR standards. Not FRA.

20 A. The ARA?

21 Q. The AAR PTC standards or design standards.

22 A. Well, that was done through the ITC committee. The work
23 group which is --

24 Q. Yes.

25 A. Which is -- yeah, through the AAR. But it was based on our

1 recommendations that they make changes to it. Yes.

2 Q. Oh, okay, okay. Do you guys participate in that committee?

3 A. Uninformally [sic], yes. Yeah. We go to the meetings.

4 Yeah.

5 Q. Oh, okay. Yeah. There was a lot of discussion on the --
6 either time-based or distance-based before making him acknowledge.

7 And I guess he settled with the distance, going by distance.

8 A. Yeah. Yeah, he settled with the distance. But like I said,
9 if he stops or reverses direction any time during that move, he's
10 got to acknowledge. If he doesn't, penalty 30 seconds, penalty.

11 Q. Oh, okay. That's good to hear.

12 A. John is thinking.

13 MR. PAYAN: I know. He's thinking hard.

14 MR. MANUTES: What was the -- was there no distance before
15 you could go into restricted mode and just ride that out as long
16 as you needed to before?

17 MR. VISER: Prior to -- this is how -- yeah, there was no
18 time associated with it. There was no distance associated with
19 it. It was strictly an operating rules issue. Yeah.

20 BY MR. PAYAN:

21 Q. So how about lately we've been hearing all this cybersecurity
22 staff. Is FRA doing anything with PTC and cybersecurity?

23 A. Well, they've got -- well, yeah, their security -- each
24 system has its own security network or security parameters built
25 for it. But I haven't heard much in regard to security. And the

1 systems being manipulated.

2 I know -- nothing on ITCS. And I know I recently went
3 through the security platform with IETMS based on what's going on
4 in Florida. So I haven't heard -- if you guys have heard
5 something, it's new to me. I haven't heard anything about that.
6 But I can -- I don't know -- I guess I can give you the security
7 package that was developed for IETMS if you guys need to see it.
8 I'm not aware of anything.

9 MR. MANUTES: Yeah.

10 Q. No. We were just wondering about any work being done. You
11 know, it's shown up on --

12 A. Oh, yeah. There was -- based on the Appendix E requirements
13 with the level of -- not being able to meet the level of vitality,
14 we had them -- I think they had developed security parameters to
15 support the system.

16 Q. What was that subpart?

17 A. Appendix E.

18 Q. Appendix.

19 A. (Indiscernible) vitality of the system itself. 236 Appendix
20 E talks about the requirements of a PTC system and the vitality of
21 it and everything associated with it including security.

22 MR. PAYAN: Oh, okay. Awesome. Do you have anything else,
23 John? I think I'm --

24 MR. MANUTES: No. I just wanted to ask Calvin -- I mean,
25 before we close it, you know, is there anything that you see

1 that's a major gap in PTC? Like, what -- in your mind, if you
2 were going to do PTC 2.0 and you were the king of PTC, I mean,
3 what would you include from the safety side?

4 MR. VISER: I know the main goal is to try to reduce human
5 interaction. I would try to decipher -- if we're going to move
6 towards this virtual network, you know, then we'd have to develop
7 rules to support that. But I think whatever we can do to
8 eliminate or reduce human interaction -- I don't know if I would
9 go with autonomous right now. But reducing human interaction with
10 the system is what we should be striving to move for. And 2.0
11 should be looking at reduction of what human requirements will be
12 needed to support the operation. Yeah.

13 I'm not saying we got to go fully automatic. But we got to
14 look at something to where people's objective or people's
15 judgement has to be taken out or can be reduced to continue to
16 move forward. So that would be -- that's what I would be looking
17 at. You know, where can I intervene --

18 MR. MANUTES: I appreciate that.

19 MR. VISER: --at and cut out this person having to decipher
20 what's right or what's wrong.

21 MR. MANUTES: Yep. I appreciate that.

22 MR. PAYAN: Yeah, that makes sense. That makes a lot of
23 sense. That's all I got, John, unless --

24 (Crosstalk)

25 MR. VISER: I wasn't trying to be buff with you guys and

1 showing off my muscles here but I had rotator cuff surgery about
2 two weeks ago so I have to wear this brace. And it's easier to
3 just not have a shirt on when I have it on, you know. But good to
4 see you, Ruben. I hadn't seen you in a while, man.

5 MR. PAYAN: I know. Good to see you. I was kind of toying
6 with the idea of putting on a tank top myself. After seeing you,
7 that looks kind of comfortable.

8 MR. VISER: No, it wasn't --

9 MR. MANUTES: I was thinking if I get a chance to talk to
10 Gabe again, I'm going to say, he -- you know, Calvin intimidated
11 us. He did a good job. He --

12 MR. VISER: No, it wasn't nothing like that. Good seeing
13 you, John.

14 MR. MANUTES: I'm sorry about your shoulder though.

15 MR. VISER: Yeah. Well, I had the right one did last year.
16 I was in an accident a few years ago on my motorcycle and I
17 probably should have -- well, I thought not to go on the ground so
18 I wind up messing up both my shoulders. This one was done last
19 year and this one I had done a few weeks ago. So hopefully it
20 will be a recovery as well as it was on the right one and I'll be
21 back to normal by the end of this year. So --

22 MR. PAYAN: Well, good, good.

23 MR. MANUTES: Yeah, I hope so. Best of luck to you. Thanks,
24 Calvin. I know it took a long time to get this set up and we got
25 to jump through all these hoops with our two organizations but

1 it's good to see you and good to talk to you again.

2 MR. VISER: No problem. Yep. You, too. Like I said, let me
3 know if you need anything.

4 MR. PAYAN: I appreciate it. Thanks for helping.

5 MR. MANUTES: Well, if you're ever out in Denver, let me
6 know.

7 MR. PAYAN: Thanks for your time. I appreciate it.

8 MR. VISER: Oh, I'll probably be up there before the end of
9 the year. I'll let you know. Because I know I got to go out
10 there again.

11 MR. MANUTES: Yeah.

12 MR. VISER: All right, guys.

13 MR. MANUTES: Yeah, give me a shout. Good to see you.

14 MR. VISER: Yep. Let me know if you need anything. Take
15 care.

16 MR. PAYAN: All right. Thanks.

17 MR. MANUTES: Bye-bye. Thanks.

18 MR. VISER: Yep.

19 (Whereupon, the interview was concluded.)
20
21
22
23
24
25

CERTIFICATE

This is to certify that the attached proceeding before the

NATIONAL TRANSPORTATION SAFETY BOARD

IN THE MATTER OF: POSITIVE TRAIN CONTROL SPECIAL REPORT
Interview of Calvin Viser


REFERENCE NO.: DCA21SM003

PLACE: Via Microsoft Teams

DATE: September 23, 2021

was held according to the record, and that this is the original,
complete, true and accurate transcript which has been transcribed
to the best of my skill and ability.

PII


Katie Leach
Transcriber