

UNITED STATES OF AMERICA

NATIONAL TRANSPORTATION SAFETY BOARD

* * * * *

Investigation of: *

*

ALASKA AIRLINES BOEING 737-9 *

MAX LEFT MID-EXIT DOOR PLUG * Accident No.: DCA24MA063

SEPARATION NEAR PORTLAND, *

OREGON ON JANUARY 5, 2024 *

*

* * * * *

National Transportation Safety Board
Office of Administrative Law Judges
490 L'Enfant Plaza East, Southwest
Washington, D.C. 20594

Wednesday,
August 7, 2024

The above-entitled matter came on for hearing,
pursuant to notice at 9:00 a.m. Eastern Time.

BEFORE: CHAIR JENNIFER HOMENDY

APPEARANCES:

JENNIFER HOMENDY, Chair
DOUG BRAZY, Investigative Officer
POCHOLO CRUZ, Technical Panel
NILS JOHNSON, Technical Panel
SABRINA WOODS, Technical Panel
MICHAEL GRAHAM, Board Member
TOM CHAPMAN, Board Member
ALVIN BROWN, Board Member
TOM INMAN, Board Member
National Transportation Safety Board

SETH HEIPLE, AFA Air Safety, Health, and Security Chair
AFA Party Coordinator
Alaska Airlines

CAPTAIN STEVE JANGELIS, Aviation Safety Chair
ALPA

JON HOLDEN, President & Directing Business
Representative

MAX TIDWELL, Vice President, Safety and Security
Alaska Airlines

HEATHER MEYER, Vice President of Quality
Spirit AeroSystems

DAVID GERLACH, Manager of Office of Accident
Investigation
Federal Aviation Administration

I N D E X

<u>ITEM</u>	<u>PAGE</u>
Interview of Hector Silva, Greg Brown, William Brown, Doug Ackerman, Lloyd Catlin, Paul Wright, Chris Eick, Steve Slagle, Brian Knaup, and Brian Kilgroe:	
By Dr. Woods	16
By Capt Jangelis	115
By Mr. Tidwell	122
By Mr. Heiple	127
By Mr. Gerlach	133
By Mr. Holden	139
By Member Graham	165
By Member Chapman	172
By Member Inman	178
By Mr. Cruz	234
By Mr. Johnson	243

I N T E R V I E W

1
2 CHAIR HOMENDY: Good morning. We're now in session. I'm
3 Jennifer Homendy, and I'm honored to serve as Chair of the
4 National Transportation Safety Board, and Chair of this Board of
5 Inquiry. I'm joined by my fellow board members, member Michael
6 Graham, Member Tom Chapman, and Member Todd Inman. As a reminder,
7 Member Brown is on launch to a highway crash in Florida, and our
8 thoughts are with him, and certainly those who lost loved ones in
9 that crash. So, Mr. Brazy, please start us off with a safety
10 briefing.

11 MR. BRAZY: Thank you, Chair Homendy. If you have not
12 already done so, please silence your electronic devices. Leani,
13 do you have the safety slides, please? The address of our
14 boardroom is 429 L'Enfant Plaza Southwest, Washington D.C. We
15 have approximately 150 attendees in the room here today. The
16 restrooms are located in the lobby to the left as you exit the
17 boardroom.

18 In the event of an emergency, we have designated NTSB
19 personnel to certain roles. Please stand as I call your name and
20 remain standing until the conclusion of the safety briefing. Tim
21 LeBaron will dial 911. Den Adler will meet emergency personnel
22 outside the front doors. There's a defibrillator located in the
23 lobby just outside the doors in front of me. Elias Cantanas will
24 retrieve it if needed. Sabrina Woods is trained and willing to
25 use the device. Larenda Ward is trained and willing to perform

1 CPR.

2 Fire extinguishers are located near all exits, two behind the
3 dais, down the stairs, two at the back of the boardroom where you
4 entered, and one by security. Deidra Estes will run and retrieve
5 one if needed. We have a first aid kit in conference room A.
6 This is the room closest to the security area. The kit's on a
7 counter in a blue pouch. Dana Shultz will retrieve it if needed.

8 If there is a need to evacuate for any reason, please follow
9 Rochelle McAllister, who will lead you to the exit route, and she
10 will be wearing a yellow vest. Please walk quickly, don't run, to
11 the rear of the auditorium. Go out the doors, proceed through the
12 lobby, past security, go up the stairs and straight ahead through
13 the glass doors to the outside. Once outside, turn left and
14 follow the sidewalk to the end of the street. That is our rally
15 point. Please do not return to the boardroom until instructed to
16 do so. Next slide.

17 The wheelchair accessible exit instructions are as follows.
18 Kelly Hessler will lead you to the exit route. She will also be
19 wearing a yellow vest. Go out the doors, proceed through the
20 lobby, past security. Immediately turn left and exit through the
21 door, which will take you into the parking garage. To exit the
22 garage, turn right, proceed up the ramp, and go outside. Once
23 outside, turn left and follow the sidewalk to the end of the
24 street, which is our rally point.

25 Should the unthinkable occur, and there is an active shooter,

1 the FBI recommends that you run, hide, or fight, in that order.
2 Running improves your chances of survival. Leave your belongings
3 behind, and don't stop until you've reached a safe location. Keep
4 your empty hands raised and clearly visible when exit the building
5 and follow all instructions from police. If there. If there is
6 no escape route, hide. Silence your cellphone. Do not call 911
7 until it is safe. And fight only as a last resort. Next slide.

8 If there's a need to shelter in place due to an emergency, we
9 will remain in this auditorium. We are below ground and in a
10 secure location. If such a situation arises, we will make an
11 announcement. Staff and security will guide anyone in the lobby
12 into this room. We will then secure the doors until the danger
13 passes. Next slide.

14 Lastly, I'd like to remind everyone that each of us has a
15 vital role to play in any emergency. If you see something
16 concerning or suspicious, say something to one of our NTSB or
17 security staff right away. If you have any questions or concerns,
18 don't hesitate to come talk to any member of the NTSB staff.

19 Chair Homendy, that concludes my remarks.

20 CHAIR HOMENDY: Thank you, Mr. Brazy. And just for everyone
21 here, first of all, I would encourage -- we obviously switched,
22 and we tried to get word out, but I think people are in from out
23 of town and might not have casual wear. Whatever casual wear you
24 have, if you want to bring it back, I don't think any of us care
25 if you want to wear jeans. You're here. That doesn't matter to

1 me. I would rather you be comfortable and cool than feel like you
2 have to look a certain way here.

3 You know, whether you're in the audience, whether you're back
4 in the media room, or you're a party, a witness, or anybody on the
5 technical panel, and certainly everyone knows that back here, it
6 is hot. Just so you know, the compressor broke. Of course it
7 did, because we are here for a hearing. That's another issue. If
8 the press wants to report that I'm calling GSA, I am definitely
9 going to do that.

10 With that said, we're trying to get more ice here. We have
11 more fans coming. But we're probably going to take more frequent
12 breaks than we did yesterday, just so people can take a break. It
13 is hot, especially with these lights. I would encourage strongly
14 anyone to -- if you aren't feeling well, if you feel faint, you
15 know, it's -- your health and safety is -- we're a safety agency.
16 Your health and safety is more important.

17 And so, you know, if you want to raise your hand, or leave,
18 or walk out, or you need something, please do. Speak up. Okay?
19 And I know it's hot over there. So usually witnesses feel like
20 they have to be right there. Do not feel that way, you know,
21 today. I would rather you be safe than anything happen. Okay?
22 Everybody good? All right.

23 All right. So introducing our technical panel, and those
24 supporting our technical panel, obviously you heard from Doug
25 Brazy, who is our hearing officer. We have John Lovell, who is

1 the investigator in charge for this investigation. We have
2 Pocholo Cruz, who is Lead Aerospace Engineer, we have Nils
3 Johnson, Aviation Accident Investigator for Maintenance, and we
4 have Dr. Sabrina Woods, Senior Human Performance Investigator.

5 In the back row, supporting those on the technical panel, are
6 Ms. Leani Benitez-Cardona, who will operate the audio visuals. We
7 have Sierra Juliano, who will operate the timer. And we have Tim
8 LeBaron, who's director of our Office of Aviation Safety. And
9 behind me is Eric Johnson from our Office of General Counsel to
10 provide legal support.

11 Introducing the parties. As I call your name, each party
12 representative, please identify yourself, and then introduce
13 others at your table. And we'll start in alphabetical order.
14 ALPA, Airline Pilots Association.

15 CAPT JANGELIS: Good morning, Madam Chair. My name is Steve
16 Jangelis -- Captain Steve Jangelis with the Airline Pilots
17 Association. I'm the Aviation Safety Chair for our group.
18 Joining me today is Captain Mark Henninger, he's our party
19 coordinator for this accident; Captain Brian Moynihan, the Alaska
20 Airlines Safety Chair; Captain Craig Boxrucker, Subject Matter
21 Expert; Mr. Chris Heck, our lead engineer, and Captain Jeff Perin,
22 our ALPA Accident Investigation Board Chair.

23 CHAIR HOMENDY: Wonderful. Thank you. Alaska Airlines.

24 MR. TIDWELL: Good morning, Chair. Thank you. Max Tidwell,
25 Vice President of Safety for Alaska Airlines. And to my right is

1 Ben Allen, our counsel. We have Peter Goelz, who is our advisor;
2 John Sites, Director of Flight Ops Safety for Alaska Airlines, and
3 Jason Lai, our Managing Director of Engineering for Alaska
4 Airlines.

5 CHAIR HOMENDY: Thank you. Mr. Heiple for Association of
6 Flight Attendants.

7 MR. HEIPLE: Good morning. I'm Seth Heiple. I serve as the
8 AFA Air Safety Health and Security Chairperson at Alaska, and as
9 the AFA Party Coordinator for this accident. With me this morning
10 are Chris Witkowski, Director of the Air Safety Health and
11 Security Department at AFA; Dinkar Mokadam, AFA's OSHA specialist;
12 Ronda Ruderman, Chair of AFA's Aircraft Technical and SAE
13 Committees, and Steve Vincent, AFA's Investigator for this
14 accident.

15 CHAIR HOMENDY: And I -- we have -- I saw and talked with
16 your president, Sarah Nelson, earlier, and it's nice that she
17 showed up to lend her support to you all, very nice. Federal
18 Aviation Administration.

19 MR. GERLACH: Good morning, Chair. David Gerlach. I'm the
20 Manager of the Office of Accident Investigation and your
21 spokesperson today for the agency. To my right, Mr. Matt Rigsby,
22 who is our party coordinator and FAA. And to his right is Scott
23 VanBuren. He's a senior technical advisor for the Office of
24 Accident Investigation. And then to his right is Brian Kilgroe
25 from the Office or Aircraft Cert. And then from our chief

1 counsel's office, Chris Stephens.

2 CHAIR HOMENDY: Thank you. International Association of
3 Machinists and Aerospace Workers.

4 MR. HOLDEN: Madam Chair, my name is Jon Holden. I'm
5 President of the Machinist Unit District 751. To my right is
6 Daniel Swank. He's our Grievance Coordinator. And we also have
7 John Petruzzello. He's an AMT on our flight line in Seattle, and
8 also assigned to the accident investigation. We also have our
9 general counsel, Jonathan Shapiro. And as a witness, we have
10 Business Rep Lloyd Catlin.

11 CHAIR HOMENDY: Thank you. And Spirit AeroSystems.

12 MS. MEYER: Good morning, Chair, committee. My name is
13 Heather Meyer, Vice President of Quality for Spirit AeroSystems.
14 And with me I have Mark Dombroff, counsel, as well as previous
15 witnesses, Scott Grabon and Mike Riney.

16 CHAIR HOMENDY: Thank you very much. And as a reminder, only
17 party spokesperson may question the witnesses on behalf of their
18 organization.

19 Before I go over the order of proceedings, if you are
20 watching remotely, and for some reason you can't hear or see
21 something, and you think it's an issue on our end, if you don't
22 think we listen, we do. Yesterday, Gale from North Carolina
23 emailed me, and we were able to address her issue. So feel free
24 to do so. And it's chair@ntsb.gov.

25 CHAIR HOMENDY: All right. I'd now like to provide a general

1 overview of today's proceedings. You may wish to refer to the
2 hearing agenda in more detail. We expect to run until about 7:00
3 p.m., though we can go longer if needed. We'll break for an hour
4 for lunch, and as I mentioned, we will have more frequent breaks
5 because it is so hot.

6 Panel Three will begin in a moment and will take us until
7 lunch, and that topic is safety management systems and quality
8 management systems. Following lunch, Panel Four will cover FAA
9 oversight, or Federal Aviation Administration oversight.

10 For each panel, we'll follow the same process as yesterday.
11 Mr. Brazy will reintroduce the members of the technical panel and
12 swear them in. Witnesses will then be questioned in the following
13 order: first, by the NTSB technical panel; second, by the
14 parties; and third, by the Board of Inquiry, which is the Board of
15 the NTSB.

16 On behalf of the board, I'd like to thank the witnesses for
17 being here today and for testifying. We really appreciate it. It
18 is critical. You're a critical part of our investigation. The
19 information you share is helpful as part of our investigation to
20 develop the facts around the investigation so that we can do the
21 analysis at a later point. So really appreciate you being here
22 and your efforts.

23 Mr. Brazy, please go through -- explain or describe the
24 exhibits.

25 MR. BRAZY: Thank you, Chair Homendy. Exhibits for this

1 hearing include reports produced by NTSB investigative staff,
2 videos, and other documents submitted to the -- submitted by the
3 technical panel members, witnesses, and parties to support the
4 testimony and questions you will hear today. The exhibits for
5 this hearing are in the public docket. That docket number is SA,
6 like Sierra, Alpha, 543.

7 The NTSB is authorized by statute to disclose information to
8 carry out its mission, but we protect the confidentiality and
9 proprietary information to the greatest extent possible. As such,
10 the exhibits contain redactions. These are the result of
11 negotiations between the parties and the NTSB regarding the
12 disclosure of information claimed to be personally identifiable,
13 security sensitive, or proprietary in nature. Though redacted,
14 the exhibits contain sufficient information so that members of the
15 public can refer to them during the hearing and throughout the
16 NTSB investigation.

17 The exhibits are entered into the record, and any
18 presentations, along with other records of the investigation,
19 become part of the NTSB public docket, which are available now via
20 the NTSB website, [nts.gov](https://www.nts.gov). The public docket opened yesterday.
21 Party spokespersons and witnesses have been provided electronic
22 copies of the public docket containing the exhibits identified
23 above.

24 The docket is located on the investigation page, which you
25 can access in one of two ways, visiting [nts.gov](https://www.nts.gov), or if you've

1 joined us in person, you can scan the QR code on the back of the
2 hearing agenda. On the investigation page you will find the link
3 to the public docket on the righthand side just above the map.

4 A transcript of the testimony taken during the hearing will
5 be prepared and entered into the docket as soon as possible. In
6 addition, Mr. Johnson will keep a list of any documents that are
7 admitted during the hearing which are not currently exhibits in
8 the NTSB public docket. As a reminder, if a party to the hearing
9 has a new exhibit to propose, in accordance with 49 CFR 845.9, it
10 will not be admitted unless the Chair determines that good cause
11 has been shown. These documents will be submitted after the
12 hearing and entered into the public docket.

13 Chair Homendy, that concludes my remarks. Thank you.

14 CHAIR HOMENDY: Thank you. And will you please introduce --
15 well, we've already introduced the members of the technical panel,
16 so why don't you go ahead and swear in the witnesses?

17 MR. BRAZY: Thank you. I do have a point of order. We did
18 have a witness scheduled on this panel. Mr. Bartron had a death
19 in the family and is unable to join us today.

20 Chair Homendy, the next panel is on safety management systems
21 and quality management systems. The panel will address the
22 following topics: safety management systems, including the
23 process of promoting effective safety culture; quality management
24 systems, what they are, how they relate to manufacturing, and
25 recent challenges; the dissemination and communication of policies

1 at Boeing and Spirit AeroSystems; evolution of the production rate
2 at Boeing; FAA's action on the NTSB's 2021 recommendation on
3 safety management systems for manufacturing; and finally, changes
4 that have been made at Boeing and Spirit AeroSystems since the
5 accident.

6 Witnesses for Panel Three are composed by the following
7 individuals, from my left, nearest the board members: Mr. Paul
8 Wright, Senior Director, Safety Management System and Chief of the
9 Aerospace Safety Office at Boeing Commercial Airplanes; Mr. Hector
10 Silva, Vice President for Regulatory Compliance and Core Quality
11 at Boeing; Mr. Doug Ackerman, Vice President of Supplier Quality
12 at Boeing; Mr. Greg Brown, Senior Vice President for Quality and
13 Support at Spirit AeroSystems; Mr. Bill Brown, Senior Advisor for
14 Quality at Spirit AeroSystems; Mr. Chris Eick, Aerospace Engineer
15 in the Policy and Standards Division at the Federal Aviation
16 Administration; Mr. Steve Slagle, Program Manager in the Project
17 Management Section at the FAA; Mr. Brian Knaup, Manager of the
18 System Operation and Oversight Branch at the FAA; and Mr. Lloyd
19 Catlin, Business Representative at the International Association
20 of Machinists and Aerospace Workers.

21 I will now ask that the witnesses on the panel not previously
22 sworn in please stand. Raise your right hand, and please answer
23 by saying I do.

24 (Whereupon,

25 PAUL WRIGHT, HECTOR SILVA, DOUG ACKERMAN, GREG BROWN,

1 WILLIAM BROWN, CHRIS EICK, STEVE SLAGLE,
2 BRIAN KNAUP, AND LLOYD CATLIN
3 were called as witnesses and, having been first duly sworn, were
4 examined and testified under oath, as follows:)

5 MR. BRAZY: Thank you. Please be seated. As a reminder to
6 the witnesses, you will remain under oath until the conclusion of
7 the hearing. We ask that you answer the questions factually and
8 avoid analysis. Finally, please push the microphone button to
9 talk, and push it again when finished. Chair Homendy, these
10 witnesses have been prequalified, and their respective experience
11 and qualifications appear in the docket as exhibits. I would now
12 like to turn the questioning over to Dr. Woods.

13 DR. WOODS: Thank you, Mr. Brazy. Good morning, gentlemen.
14 We are actually going to talk about quality management systems
15 first, before then going on to address the respective safety
16 management systems. There will be some questions that have
17 already been asked previously in yesterday's panels. However, I
18 feel in order to get a comprehensive understanding of your
19 respective programs, some of those questions will be asked again.
20 So just recognize that, please.

21 So with that, we're going to start off with Boeing.

22 Mr. Ackerman, we've already met.

23 INTERVIEW OF PAUL WRIGHT, HECTOR SILVA,
24 DOUG ACKERMAN, GREG BROWN, WILLIAM BROWN, CHRIS EICK,
25 STEVE SLAGLE, BRIAN KNAUP, AND LLOYD CATLIN

1 DR. WOODS: But if you would please, Mr. Silva, could you
2 give us a high level overview of what your roles and
3 responsibilities are at Boeing?

4 MR. SILVA: Sure. Good morning. And mic check, am I coming
5 in clear enough? Okay. Thank you. So I'm the Vice President for
6 Regulatory Compliance and Core Quality. The Core Quality
7 Organization really supports the rest of the Quality Team. So we
8 don't support just one program, we support all the programs, from
9 a regulatory perspective, technical perspective, and some of our
10 data analytics as well.

11 DR. WOODS: First, please, can you tell us, overall, what
12 exactly is a QMS, a quality management system, and how does Boeing
13 manage that process?

14 MR. SILVA: Sure. And if I can ask if we can pull up
15 Boeing's presentation, slide 11? So QMS stands for quality
16 management system, and probably the best way to describe it is as
17 a system. It really is the comprehension of all the structure,
18 processes, procedure, resources, basically everything we need to
19 document, implement, and maintain the necessary requirements, so
20 that we can satisfy our technical requirements from a design
21 perspective, for conforming and compliant products, regulatory
22 requirements, as well as customer requirements.

23 The QMS is managed by our quality manual. It's part of a way
24 to satisfy a regulatory requirement to have a quality manual.
25 That quality manual describes all those policies and procedures,

1 and points to a number of different documents that then go into
2 more detail. The quality manual is structured in a way to satisfy
3 AS9100, which is an industry standard, in terms of requirements.
4 But it is also written in such a way to demonstrate compliance to
5 federal regulation requirements as well.

6 DR. WOODS: So given that, presuming there's a lot of data
7 that you look at, what are some of the metrics that you routinely
8 track under your QMS?

9 MR. SILVA: Sure. There's a number of metrics that we
10 routinely track. We track -- as a little bit was alluded to
11 yesterday, we track defects within our system, so nonconformances.
12 We track internal audit reports, the results of those findings,
13 those corrective actions. We track rework performance, so how
14 much time it takes to rework the airplane and make sure that we
15 have the right resources. And we track those on a daily, weekly,
16 monthly basis, and review those in certain venues and forums.

17 DR. WOODS: And how is that information packaged for use?
18 What sorts of reports or documents are produced, and at what
19 letter are they disseminated throughout the company?

20 MR. SILVA: Oh, sure. Perhaps we can go to the next slide,
21 slide 12 in the presentation? So as you can imagine, with a
22 number of policies and procedures and all the -- or sorry, all the
23 metrics that we track, there's different tier levels, like
24 discussed yesterday, with the different tiers, that information is
25 shared.

1 So starting on the left, we have our factory tiered meetings,
2 where all the way from a manager and their crew, they would review
3 quality performance. That gets rolled up to senior manager
4 levels, and ultimately to executive levels within the program. We
5 also have quality management reviews, where at least on a once a
6 month basis, we review audit performance, compliance action
7 performance, and that will go as high as the airplane program
8 leadership team.

9 And then we also have our quality leadership reviews, and
10 that's where we look at conformance performance, so how we're
11 trending in terms of defects, rework, and in-service feedback, so
12 any issues we see from our airline customers, and issues we have
13 to follow up from a quality perspective there. Those are also
14 reviewed at an executive level as well, all the way up, as high as
15 the CEO.

16 DR. WOODS: And to be clear, is this structure how it was
17 back in September of 2023, or is it how that is now?

18 MR. SILVA: No. Thank you for that. I should have noted
19 that earlier. The structure is how it was as of September 2023.
20 The one thing I will note is in that time period, the quality
21 management reviews, the column that you see in the middle, we were
22 going through a process of strengthening that to get higher level
23 visibility.

24 So at that point in time, those would have been reviewed more
25 at a local level within a program. But the quality leadership

1 reviews, those were in place as of September 2023, as well as the
2 factory tiered meetings.

3 DR. WOODS: So within this data, these metrics, who or what
4 establishes doing well versus doing poorly?

5 MR. SILVA: That's a good question. It really depends on the
6 tier of information that you're looking at. So as you can
7 imagine, data that is looked at, at a local level, really starts
8 with what the daily performance is from a defect perspective, that
9 is typically managed by the team themselves, the manager. But as
10 you start to get up levels, in terms of looking at the overall
11 system, that's where different levels of leadership would then
12 assess the overall health of the system in terms of the metric
13 performance.

14 DR. WOODS: Okay. So let's say you find things that are
15 doing poorly. What happens next? What are some of the mitigation
16 strategies that you would use to get it back in the doing well
17 category?

18 MR. SILVA: Yes. So part of our overall quality management
19 system, and I apologize, I should have mentioned it in the overall
20 introduction, by definition, and by our policies and procedures,
21 when we see information that would tell us that we need to warrant
22 a corrective action, we then react with mitigating actions, either
23 from a containment perspective, or overall corrective actions from
24 a more comprehensive set of activities. And it would really
25 depend on the nature of the issue, the findings, and the types of

1 data that we see within the system.

2 DR. WOODS: So how confident are you that the data you're
3 receiving, because presumably, it's coming up from all these
4 different levels -- how confident are you that the data that you
5 are receiving is the data that you should be receiving?

6 MR. SILVA: Overall, I'm fairly confident -- very confident.
7 And one of the reasons -- a few of the reasons why we're so
8 confident around that is one, that data, most of our leaders at
9 multiple levels have direct access into the databases that collect
10 that information, so they have either automated reports or direct
11 dashboard access to see the information. Two, we do review it in
12 multiple venues and forums, to crosscheck that that information is
13 consistent.

14 And probably the most important is going down to the floor
15 and checking and validating that the data that we're seeing from a
16 system level and that we're seeing in these different reports are
17 in alignment with what we're hearing from our teammates.

18 DR. WOODS: And who are the people that are responsible for
19 going down to the floor to check and see and confirm the data is
20 true?

21 MR. SILVA: It would really depend on the metric that we're
22 talking about or the tier that we're talking about. Generally,
23 different levels of leadership would be responsible. And
24 ultimately, we use different reporting venues to also check that
25 as well.

1 DR. WOODS: I'd like to move to Spirit for now and ask some
2 of the similar questions. As you are both Mr. Brown, I will try
3 to preface by saying Greg Brown or William Brown, so apologies for
4 that.

5 But with that, Mr. Greg Brown, would you please give us a
6 high level overview of your roles and responsibilities at Spirit?

7 MR. GREG BROWN: Yes, ma'am. Good morning. My name is Greg
8 Brown. I am the Senior Vice President of Global Quality for
9 Spirit. I have responsibility for the quality assurance and
10 inspection function across all of our 12 sites globally, as well
11 as the administration oversight of the quality management system.

12 DR. WOODS: So same with Mr. William Brown, would you give us
13 the same?

14 MR. WILLIAM BROWN: Yes. I'm a senior advisor to Spirit
15 AeroSystems. And what that entails is when senior executives need
16 any assistance from me, I support those requirements. Prior to
17 March 17th, I was the Senior Vice President of Global Quality for
18 Spirit since June of 2022.

19 DR. WOODS: Thank you. So again, similar to what I asked for
20 Boeing, Mr. Greg Brown, would you please give us an understanding
21 of what your QMS is comprised of?

22 MR. GREG BROWN: Yes. At the sake of sounding repetitive,
23 it's very similar to what you heard from Boeing. Our quality
24 management system, it is based on our AS9100 certification, which
25 we've held since, I think, 2004. It's an aerospace manufacturing

1 standard that ensures that we have all the right policies and
2 procedures to deliver conforming, compliant product to our
3 customers.

4 The QMS, it does a number of things. It is a closed loop
5 system within Spirit, but it also relies very heavily on our
6 customer feedback. So while we have auditors and inspectors
7 providing a lot of our feedback internally, as well as our
8 frontline employees, we also have a lot of data that's coming in
9 from our customers as well.

10 DR. WOODS: And again, what types of data are you looking at?
11 What metrics do you follow?

12 MR. GREG BROWN: Yeah. So the primary, probably the things
13 that are really in front of you every day, are the
14 nonconformances, whether it be in the form of rejection tags or
15 pickups, which I think you heard yesterday. Those are telling us
16 a lot of our quality workmanship on the -- in production.

17 We're also looking for compliance with our procedures. We
18 have compliance walks. We have inspections and audits that go
19 out, and they monitor our employees. We also take in data from
20 Quality 360, which we spoke about yesterday, which is a voluntary
21 reporting system, using all of that to try to intersect at various
22 places throughout the production system that we need to focus our
23 risk mitigations on.

24 DR. WOODS: And so for the reports that are produced from
25 these metrics, at what level is that disseminated? Who's looking

1 at that information?

2 MR. GREG BROWN: So the data is aggregated within quality.
3 We have a team that pulls that information together. It's
4 actually -- probably one of the first stops it makes is back with
5 the production leaders themselves, the program leaders. We have
6 weekly program corrective action boards where we review adverse
7 trends. We look to see if certain data is within control limits
8 or if it's exceeding control limits. And then working together
9 with the process owner, which is typically operations, we try to
10 develop a corrective action plan, and we monitor that to a
11 closure.

12 DR. WOODS: And who or what establishes that you are doing
13 well or if something is doing poorly?

14 MR. GREG BROWN: I think setting the control limits, again,
15 along with operations and the various process owners, is a key
16 aspect of understanding, are we winning or losing a particular
17 area. But beyond that, all of this data is elevated to the
18 executive level as well, all the way up to the CEO.

19 And then in addition to that, as mentioned by Mr. Silva
20 earlier, we do a lot of compliance and Gemba Walks on the floor,
21 talk to frontline employees, and really just make sure that what
22 we're actually seeing is matching what we're hearing in the
23 reports.

24 DR. WOODS: You mentioned corrective actions before, but what
25 are some of the other mitigation strategies you have to get what

1 might be doing poorly back in doing well?

2 MR. GREG BROWN: Yeah. I would say safety promotion is a --
3 it's something that has been in place for a long time at Spirit.
4 I mean, again, I can only speak back to March 18th. But it has
5 been in place for a while. As part of an ongoing safety
6 management system effort, it is going to continue to be a key
7 aspect. It's something that we're continuing to grow today. We
8 do a lot of professional development internally. But really
9 trying to make sure that some of this data doesn't get stuck at
10 the upper-level and mid-level management, and it gets down to the
11 frontline employees.

12 DR. WOODS: We'll talk about safety management systems a
13 little bit later on. But to be clear, does Spirit currently have
14 a voluntary SMS?

15 MR. GREG BROWN: No, we do not.

16 DR. WOODS: So now given that Spirit is a major supplier for
17 the Boeing Company, how, and this is for, essentially, all four of
18 you gentlemen, how does your QMS integrate with one another? How
19 do you ensure that you are looking at the same things?

20 MR. ACKERMAN: I'll start. So first of all, our quality
21 management system has a responsibility for overseeing our
22 supplier's quality management system. So it is a tiered system.
23 As part of that, Boeing does audits in Spirit's quality management
24 system. We look at the results of those audits. They are shared
25 with Spirit. Any findings are written up in, as I mentioned

1 yesterday, what's called a supplier evaluation record. So that's
2 -- that oversight is one element of the way they integrate.

3 The second thing I would say is, as Greg Brown just
4 mentioned, the data sharing, the data transparency between their
5 system and our system, anything we identify during the final
6 verifications that we do in Spirit's quality management system,
7 data that we have from any of our programs, including the 737, on
8 findings we have in our production system of Spirit escapes is
9 shared back with Spirit at different levels on a daily or weekly
10 basis.

11 DR. WOODS: Mr. Brown, is there anything you would like to
12 add to that?

13 MR. GREG BROWN: No. I mean, just to probably build on the
14 daily and weekly communication, with Boeing's on-sight presence of
15 their quality team, it's not just a daily interaction. It's a
16 multiple times a day interaction, the sharing of information, the
17 ongoing follow-up and investigations and making sure the
18 corrective actions are either on schedule or that we're working
19 very closely to come up with plans to address those.

20 DR. WOODS: So Mr. Ackerman, you say that part of your QMS is
21 to in fact audit your suppliers. What are the sorts of things
22 that you're looking for during those audits?

23 MR. ACKERMAN: There's a variety of different audits we'll
24 do, and I can speak specifically Spirit, but broadly the same is
25 true across our supply chain. Different audit tools, we use our

1 quality management system -- well, I'll start with, as Spirit is,
2 all of our suppliers are required to be certified to the AS9100
3 standard.

4 The audits that we would do include quality management system
5 audits at the supplier, is their quality management system
6 documentation adequate? Are they following it? We'll also do
7 product audits or manufacturing audits. So we'll take a product,
8 and we'll follow it through the production system, and audit is it
9 conforming and compliant as it moves through the production
10 system, and following the supplier's internal processes and
11 procedures and requirements? Or we'll take a particular
12 manufacturing process and look at product that's moving through
13 the manufacturing process and ask the same questions.

14 Each of the different types of audits we have, have a
15 checklist. We have a number of different tools we use. And
16 depending on what we're focused on at that particular supplier,
17 we'll pick a checklist, a tool, and run an audit. Any findings,
18 again, are provided to the supplier through a supplier evaluation
19 request, and we require corrective action on that.

20 DR. WOODS: And again, to be clear, is this something that's
21 been in place since January of 2024, or how long has this -- the
22 collaboration and the integration between your QMS been in place?

23 MR. ACKERMAN: Everything I just described predates 2023. It
24 goes back, as far as I'm familiar with supplier quality, for many,
25 many years.

1 DR. WOODS: Okay. So snapshotting the last -- let's say five
2 years, what has that audit data for spirit looked like?

3 MR. ACKERMAN: As I mentioned in yesterday's testimony, we
4 have had -- we have about 15 auditors onsite at spirit and have
5 for the last couple of years. Findings have been fairly
6 consistent in the types of things that we have had findings on and
7 written on, as I mentioned yesterday, FOD tool control, compliance
8 and access to work instructions, and part protection have
9 predominantly been the main types of findings we've written up.

10 DR. WOODS: That's the type of findings. How is the data
11 trending? Up, down, staying even?

12 MR. ACKERMAN: I would say the volume over 2022, '23, it
13 varied. I would say if you were to try to draw a line through the
14 data, it trended up. And as we've put -- as Spirit's put
15 corrective action, and we've worked with Spirit to put corrective
16 action in place, we're seeing improvements in the data.

17 DR. WOODS: Over what amount of time have you seen those
18 improvements?

19 MR. ACKERMAN: I -- I'm trying to not draw a trend line
20 through an inadequate number of data points, but I would say we've
21 been seeing improvements in -- you know, in this calendar year.

22 DR. WOODS: Okay. Mr. Silva, does your QMS define what
23 processes require inspections, tests, or audits? And if so, how
24 is a person to find that information?

25 MR. SILVA: Yes, it does. As described earlier, in that set

1 of policies and procedures, one of the sections of the quality
2 manual goes and refers to the requirements for inspection and
3 tests. Typically, to answer your question in terms of how a
4 person would find those, most of that instruction would be in the
5 actual work instruction itself. So the installation plans that a
6 mechanic or an inspector would follow, that would have that little
7 detail.

8 But the governing requirements in terms of policies and
9 procedures would be referenced in the quality manual and then
10 housed in our one PPM system. That's just the database we use
11 for all our authoritative documents for process perspective.

12 DR. WOODS: And how often is that information reviewed for
13 clarity and accuracy?

14 MR. SILVA: I believe Ms. Lund described this yesterday, but
15 at a minimum, every five years. And then based on feedback that
16 we get from teammates, it can be more frequent, and that's where
17 you see revisions or other changes to those -- that documentation.

18 DR. WOODS: Does your QMS additionally define who is to
19 perform the inspections, audits, and tests?

20 MR. SILVA: Yes. Within those policies and procedures,
21 details are laid out in terms of not just what the requirements
22 are to include inspection tests, but then who performs them.

23 DR. WOODS: So if I'm a mechanic coming in off the street,
24 I've recently been hired, how am I to know about all of this?
25 Where am I going to learn about how I'm going to find information

1 to do my job?

2 MR. SILVA: As was discussed yesterday, most of what you
3 would learn, in terms of how you would know to accomplish a job,
4 would be through, initially, foundational training, and then
5 subsequently through on the job training. In the -- in that
6 foundational training curriculum, that's where certain classes
7 would cover those types of requirements, and then on the job
8 training being another area where folks would learn, in terms of
9 how to follow those instructions, on a more detailed to their work
10 statement perspective.

11 DR. WOODS: Admittedly, this might be partially an opinion-
12 based question. But how confident are you, if I were to walk into
13 your factory floor right now, and ask a mechanic, do they know
14 what their quality management system is, and how to find
15 information, that they'll be able to respond in a way that you
16 deem efficient?

17 MR. SILVA: It's a tough question to answer, because we
18 actually saw some feedback during our recent FAA audit that -- I
19 don't believe, in this case, it was mechanics, but it was other
20 teammates that were asked that same sort of question. In the
21 context of saying could they directly point to a document, they
22 struggled. But when asked some follow-on questions, they were
23 able to describe oh, that's our policies and procedures, and our
24 command media, and our policies and pros and BPIs.

25 So we recognize we have some work to do in terms of making

1 sure that folks not only understand where to go to collect the --
2 get that information in the system, but as discussed yesterday,
3 how to simplify it significantly, because it is very complex, and
4 we recognize that.

5 DR. WOODS: Was that feedback on that recent? At what point
6 did that feedback come, to where you had an understanding that
7 maybe you needed some refinement?

8 MR. SILVA: That was in -- specifically in March of this
9 year, during an out brief from an audit finding. But we also had
10 similar type of feedback from the ACSAA report.

11 DR. WOODS: Does Boeing have a mechanism for soliciting that
12 kind of feedback prior to an incident occurring and you receiving
13 that?

14 MR. SILVA: Yes. I think some of this is going to be covered
15 when we get to the portion of SMS. But through our reporting
16 channels that we have within the system, those would be some of
17 the main ways we would want to collect some of that feedback up,
18 to incorporate some of that change.

19 DR. WOODS: I guess what I just don't understand is that if
20 you're just now receiving that feedback after an accident has
21 occurred, it seems like those opinions didn't just develop all of
22 a sudden, that they would have probably been there. So I wanted
23 to get a better understanding of why haven't those questions been
24 asked prior to January 5th?

25 MR. SILVA: I would say some of those questions have been

1 asked. What's tough about our system, and something I probably
2 should have laid out earlier when we were giving the overall QMS
3 overview is, just to give you some context, there are
4 approximately 400 documents that govern our quality portion of our
5 command media, with another about 600 or so supplemental writings
6 that are additional layers of detail.

7 Those documents comprise a body of knowledge that we have
8 collected over time. And in many cases, it's feedback from our
9 team, asking for more detail to be put into the system. In other
10 cases, it's asking for detail to be taken, not necessarily out of
11 the system, but structured in a way that's a lot easier to follow.

12 And so we've received both types of feedback. We work really
13 hard at making sure that feedback can be incorporated
14 appropriately in the command media, or those policies and
15 procedures. But as mentioned, that was some of the -- that
16 feedback has been ongoing. The accident just helped reinforce
17 taking the step back of how complex the overall system was from a
18 command media perspective.

19 DR. WOODS: Similar questions for Spirit. Does your QMS
20 define what processes require inspections or tests or audits?

21 MR. GREG BROWN: Yes, it does. It does have a matrix for our
22 audit requirements across our entire business plan. And then also
23 the planning portion, while developing the work instructions, are
24 where we insert our inspection points.

25 DR. WOODS: And how is a person to find that information,

1 were they to need it?

2 MR. GREG BROWN: All employees have access to the policies
3 and procedures, and they're taught how to access those in their
4 initial training. And then the inspection points are -- they're
5 essentially made available to mechanics and inspectors as they're
6 assigned job tasks.

7 DR. WOODS: So does your QMS also establish who is
8 responsible for conducting inspections, tests, or audits?

9 MR. GREG BROWN: It does. It lays out very clearly exactly
10 what roles and responsibilities are responsible for each of those.

11 DR. WOODS: And much like I asked Boeing, if I were to walk
12 in on your factory floor and ask an average mechanic, do they know
13 what their QMS is, and how to research it, and how to find it, how
14 confident are you that they would be able to?

15 MR. GREG BROWN: I'm competent -- or I'm confident that --
16 I'll say most mechanics know where they're supposed to look for
17 policies and procedures, and that they understand what role they
18 play in the QMS. As to how many of those can tell you all aspects
19 of the quality management system, and how it ranges from the floor
20 to dissemination of data to the executive level, I don't know that
21 many are going to have that depth of understanding.

22 DR. WOODS: Back to Boeing. FAA order 8120.22 requires a
23 quality system to be unambiguous and not subject to
24 misinterpretation. Do you feel that Boeing's QMS currently meets
25 that requirement?

1 MR. ACKERMAN: I believe in terms of that being a
2 requirement, I think it does. However, I think what we've learned
3 is there are certainly places within our command media, within our
4 policies and procedures, where we have to continually get feedback
5 to see how to clarify as much as possible, while still balancing
6 out not putting in tons and tons of information that make it very
7 complex to comprehend.

8 DR. WOODS: Mr. Catlin, similar vein question. From your
9 point of view, as an IAM representative, does the IAM feel that
10 Boeing's QMS meets this requirement?

11 MR. CATLIN: Thank you, Dr. Wood. No, it does not. Boeing's
12 quality system is very complicated. There are so many policies,
13 pros -- not necessarily policies, but pros and BPIs that make up
14 our quality system. And they have been through so many changes
15 over -- especially over the last 10 years, that it's very
16 ambiguous and open to misinterpretation.

17 The -- one of the biggest changes in Boeing's quality system
18 is the vernacular, changing it from an inspection to a
19 verification, now to a conformance decision. I don't think that
20 the vast majority of our IAM members can define the difference
21 between an inspection, a verification, or a conformance decision.

22 DR. WOODS: Does the IAM have a process in place where a
23 member may anonymously self-report a production error or confusion
24 about the QMS or process independent of Boeing?

25 MR. CATLIN: No. The IAM itself does not. We have -- as IAM

1 members, we have been working through the Speak Up system. And
2 when that has failed us, we have turned to FAA hotlines. We have
3 continually submitted large numbers of FAA hotlines when Speak Up
4 let us down and was not able to address our concerns. But as an
5 -- as the IAM, no, we do not.

6 DR. WOODS: You mentioned something yesterday about SHEAR.
7 Can you explain what that is and how that's used?

8 MR. CATLIN: Can you repeat the word? Did you say fear?

9 DR. WOODS: SHEAR.

10 MR. CATLIN: Oh, a SHEAR. Yeah, a SHEAR is a system that we
11 use when there is a safety concern. We -- if somebody believes
12 that there is a situation on the floor that is a safety concern,
13 we submit what's called a SHEAR, and it elevates it through the
14 process to get eyes on it through environmental health and safety
15 and some of the other internal organizations, plus it brings the
16 union safety coordinators in to evaluate the situation and
17 determine is there a fix, and how do we get it fixed.

18 DR. WOODS: So for me, your we was a little ambiguous there.
19 Is that we, the IAM, or does the we include Boeing?

20 MR. CATLIN: Yeah, it would include Boeing. Yes. It is a --
21 it's a cross-functional operation, where it brings people from
22 Boeing, it brings people from the IAM and whatever other
23 organizations are necessary to correct the situation on the floor.

24 DR. WOODS: So again, if I wanted to submit a SHEAR, how do I
25 go about doing that?

1 MR. CATLIN: There's a system within internal Boeing
2 computers, it's called Enablon. And you would go into the Enablon
3 system, you would create a SHEAR event, which would generate a
4 report, it assigns it a number, and then you give your details.
5 And then it processes it. It sends it off to several different
6 organizations, where it assigns manager responsibility to address
7 the issue, too.

8 DR. WOODS: Do you have any insight on over -- let's say the
9 last five years prior to the accident occurring, of approximately
10 how many SHEARs come in?

11 MR. CATLIN: It's hundreds. Hundreds a year.

12 DR. WOODS: And has that pace remained since the accident has
13 occurred?

14 MR. CATLIN: Yeah. And it can be everything from lights out
15 in the parking lot, it can be to a stand that is creating a
16 situation where somebody could have a fall incident, to a damaged
17 ladder, to -- you know, I mean, it covers just about anything that
18 could be determined or considered a safety hazard.

19 DR. WOODS: And how do you view the timeliness in which these
20 reports are responded to?

21 MR. CATLIN: It varies. It depends on the complication of
22 the situation. Some of them are immediately addressed that are
23 the easy ones. Some of them that are much more complicated, they
24 take much longer to address. For example, we had one SHEAR that
25 was filed on -- by one of my union stewards over issues with the

1 fire alarm systems within the factory. That SHEAR was open for
2 two years. This last test that we just did last month seemed to
3 have gotten the problem addressed and taken care of. So it all
4 depends on the -- on how complicated the issue is.

5 DR. WOODS: Going back to Boeing, let's take a 10 year
6 snapshot, if you will. What significant changes or adaptations
7 has your QMS gone through?

8 MR. SILVA: Sure. Maybe I'll start, and then Doug, you can
9 chime in from a supplier perspective. So over 10 years, it's
10 quite a broad horizon, as you can imagine. As was discussed
11 yesterday, we've had a number of rate changes across various
12 programs.

13 We obviously had differences in our production system from
14 the perspective of storing many airplanes. I think at one point
15 we had -- just about every program had planes in a state of
16 storage, which is atypical for our production system. We've had a
17 lot of employee turnover, not just due to COVID, but then just
18 changes in the work force over time. So there's been quite a bit
19 of change. Now, it -- that's just some context, now, for the
20 quality management system.

21 So what we've done is really, then, looked at it from the
22 perspective of if you think about how a quality management system
23 is structured to operate, it's continuously improving and
24 continuously looking for corrective action. And so in cases of
25 training, the corrective action would be around supplementing

1 training courses, and making sure that more information or tools
2 are available for our teams.

3 We have -- we did have changes in that 2017 to 2019 timeframe
4 that were discussed yesterday. All those changes, really undone,
5 and a significant amount of effort being put into what we call
6 strengthening our quality management system, really over the last
7 five years.

8 And so this has been around increasing the number of
9 inspectors, increasing the number of inspections, putting more
10 emphasis around our regulatory compliance, we had a number of
11 commitments that we had to do from a regulatory perspective in
12 terms of how we respond to FAA findings, and how we voluntarily
13 disclose. I think that was another amount of work that we did
14 really in the last few years, to emphasize more voluntary
15 disclosure for the sake of transparency with the FAA.

16 So to kind of wrap it up, our quality management system
17 continues to evolve based on the environment, but then also based
18 on the performance that we see within the system, and then
19 corrective actions that we have to take accordingly. And Doug,
20 anything you'd like to add there?

21 MR. ACKERMAN: Yeah, I'll add a couple things around our
22 supply oversight. So I can talk on the time period that I've been
23 in supplier quality, so the last three, almost four years now. In
24 that timeframe, we've pretty substantially increased the size of
25 the organization, primarily the people we have out on the field

1 directly interfacing with suppliers. We've increased the number
2 of suppliers, where we have permanent on-site presence. We've put
3 additional -- and everything I'm framing here is pre-accident,
4 2023 and prior.

5 We've put additional rigger and structure around the data
6 systems and the data review process. We've put additional rigor
7 and structure around the escalation process we have with suppliers
8 escalating to a major finding, with a supplier escalating to
9 probation.

10 We've put more structure and rigor around and increased the
11 number of suppliers where we have either pulled full delegation
12 for inspection or put additional inspectors or inspections in
13 place. So that's just over the changes we've had over the last,
14 say, three, three and a half years.

15 DR. WOODS: Have there been any large fundamental changes
16 since the accident has occurred?

17 MR. ACKERMAN: I'll start with supplier quality. Yes, as we
18 mentioned yesterday, we put a full final verification inspection
19 in place on the 737 fuselage at spirit. That's -- that is in
20 place. And then we have a number of changes we're making going
21 forward as part of the comprehensive plan. But in terms of what's
22 in place today, primarily it's about the full tip to tail
23 inspections at Spirit.

24 MR. SILVA: And then I was just going to add, around the
25 comprehensive safety and quality plan, changes we've made have

1 included increasing the number of staff that we have from a
2 quality perspective. We're working on getting more auditors, to
3 increase internal audits.

4 And then overall, the elements that we put in the plan around
5 strengthening the removals process, strengthening the pickup
6 process, making changes to our overall command media, and then
7 just also looking at any other signals that we need to do from a
8 corrective action perspective on quality. And safety risk
9 assessments on travelled work, for example. There's quite a bit.
10 I don't want to go into all of it right here right now, but just
11 -- the comprehensive plan is really the bulk of it.

12 DR. WOODS: Which each of these iterative changes, what sort
13 of changed management process does Boeing undertake?

14 MR. SILVA: I guess I'll start, and maybe Doug, you can chime
15 in. So one of the things that we've been really mindful of since
16 the accident, as we go review the plan, and a lot of feedback that
17 we received both from the Admiral's team, and then also even from
18 just internal stakeholders, is around this topic of change
19 management, that trying to change too many things too quickly can
20 either lead to unintended consequences or different results or run
21 the risk that they're not implemented as fully and as deeply as we
22 need to.

23 So one of the things that we're being really mindful of is
24 laying out the plan in a way that really paces learning first,
25 taking and incorporating some of those learnings, and then going

1 to scale and deploy. The other thing that we're really being very
2 mindful of is continuous to get -- continuing to get feedback from
3 our team.

4 And then I'll use kind of some jargony words. We really just
5 want to be mindful of metering change. So for example, the BPI
6 1581 that we released a revision for in July, we're deliberately
7 not going to release another one for another few months, so we
8 give some time for things to stabilize, and then proactively use
9 some communication before doing another release. So from a change
10 management perspective, it's really been all around monitoring for
11 stability and trying to be mindful about not changing things too
12 quickly.

13 MR. ACKERMAN: But what I'd add to that is we've also started
14 using -- and when I say started, late '22, early 2023, safety risk
15 assessments on types of change. When we're going to do a large
16 change, we will do an SRA. There has been change where we have
17 either paused the change or put additional mitigations in place
18 before we implement a change as a result of a safety risk
19 assessment. So that's a process change that we introduced well
20 over a year ago, almost two years ago now.

21 DR. WOODS: How is the information about a change
22 disseminated to the factory floor? How do I, as a mechanic, know
23 a change has been made?

24 MR. SILVA: It really could be a variety of ways, and we're
25 constantly looking at feedback for how else we can approve some of

1 those communication vehicles. I believe yesterday we talked about
2 alerts, right? So quality alerts or messages that could be sent
3 out.

4 One thing that we learned here just recently in the process
5 of making some changes to the removals process was putting alerts
6 more directly within the manufacturing execution system. So
7 before you go to log into CMES, you would see an alert message
8 within the actual tool that you interact with. And what we
9 learned there was that had a lot more visibility and connected
10 with and got to more folks much more quickly than some of the
11 other mechanisms that we've used in the past.

12 So really, we try to take a multilayered approach to policy
13 dissemination communication, but one of the things we're
14 continuing to evaluate is how can we improve that, and then
15 leverage other tools and other opportunities to get that signal
16 out.

17 DR. WOODS: Before I move onto my next question, I would like
18 Mr. Catlin to follow up on this. From the point of view of the
19 IAM, how do you record the information dissemination tactics that
20 Boeing uses to get that information down to the mechanics?

21 MR. CATLIN: I -- they're not acceptable. So the problem
22 that I have, that we have, that the IAM has, is we will see a
23 document that gets revised over and over and over and over again,
24 and there will be minor changes, such as the example I just
25 previously used, inspection, verification, conformance decision.

1 But that's not clarified. Nobody knows what it means. Nobody can
2 define what it means. Is there a difference between an inspection
3 versus a verification?

4 And so now it's left up to the person who is now reading this
5 new document to make that dissemination. And that, then, you get
6 into ambiguous and open to misinterpretation. And that is one of
7 the biggest problems that we have faced over the last five, six
8 years, is this ambiguous terms that are being used within the
9 quality management system that are being applied in ways
10 differently depending on who it is that's reading the
11 documentation.

12 We continually see this change on change, whether it be BPI
13 1581, whether it be BPI 2573, 43, 45, where they are -- they
14 appear to be slight changes, but they are dramatic changes.
15 Because the difference, from Boeing's perspective, is the
16 difference between an inspection and a verification, inspections
17 are performed by quality inspectors. Verifications are performed
18 by manufacturing personnel.

19 And that's what VO was all about, converting quality
20 inspections to manufacturing verifications. And today, now those
21 two terms are no longer used. It's now a conformance decision,
22 which in Boeing's eyes, can be assigned to whoever they choose.

23 DR. WOODS: Mr. Silva, has Boeing ever taken the pulse or the
24 floor, so to speak to determine how these changes affect the
25 actual workers?

1 MR. SILVA: We do. I certainly understand where Mr. Catlin's
2 coming from in terms of -- one thing I should have mentioned
3 earlier is through our communications being more up front around
4 intent, and being more up front at the beginning of any
5 communication on why a change is, and spending more time not just
6 on the why, but then helping to explain.

7 But in terms of pulsing the floor, we do it through a number
8 of different ways. I think later we'll speak about some reporting
9 channels. But specific -- I'll use the removals example here.
10 Recently, we had a workshop in March, late February or early
11 March, and we included mechanics, inspectors, folks that use and
12 interact with these processes and procedures on a day to day
13 basis.

14 That's important, and that's been an element of most, if not
15 all of the processes that we're looking to change within the
16 comprehensive plan, is really getting out and getting feedback
17 from teammates.

18 I think Doug alluded to some of the changes that we're making
19 from an engineering perspective, even on changing insulation
20 plans. It's a requirement. It's necessary that we have to go get
21 the mechanic to get feedback, the inspector to get feedback. Is
22 this installation plan change adequate? Are there different
23 things we can do?

24 I think we can always continue to do more of it. I look
25 forward to continuing to do more of it. But that's -- those are

1 some of the mechanisms that we use, and we certainly welcome
2 feedback on how else we can improve that.

3 DR. WOODS: So to be clear, when you say feedback, there are
4 two types of feedback. There is active and passive. So active
5 feedback is you are going out there and asking for feedback right
6 now, versus passive feedback, where you are waiting and relying on
7 somebody to write a report, and then you get that feedback. So
8 which are you talking about?

9 MR. SILVA: I'm referring more to the former, around active.
10 We also have mechanisms for the latter, but my statements were
11 more around the active feedback.

12 DR. WOODS: So pivoting to Spirit, and I know, Mr. Greg, you
13 haven't been -- you've been there since April of this year. But
14 these iterative changes in Boeing's QMS, let's say over the last
15 10 years, how has that affected you as a major supplier?

16 MR. GREG BROWN: I actually think I should defer to Mr. Bill
17 Brown on that one.

18 MR. WILLIAM BROWN: Yeah. So I would say everything that
19 Boeing has done in their QMS, a lot of that has flowed down to us
20 through the open conversations that we have. I would also say
21 that the things that go well for Boeing that they share with us,
22 we'll adopt those. And the things that are going well for us,
23 Boeing will adopt.

24 But within our QMS over, let's just say the last five years,
25 we've made significant changes to the QMS. The QMS itself, the

1 main elements that are part of AS9100 and ISO9001, they're the
2 same. They're embedded in our documents. They're clear. We're
3 audited to those.

4 But the work we do within our QMS to improve our systems,
5 things like automated drilling improvements, the investment of MES
6 throughout our 737 system, investments into process product
7 verifications, which tell us are we building the product
8 correctly.

9 But more importantly is, when I first took over the role as
10 quality leader, we brought in all the inspectors for the Wichita
11 plant and asked them hey, what are the top issues you think we
12 need to go resolve? And we took a top five out of all those
13 meetings and started working on them.

14 And one of them was hey, the experience of our inspectors and
15 the experience of our mechanics isn't good enough. So we brought
16 in an outside auditor. We audited the training program. We
17 realized it's actually pretty good. So why isn't that
18 transferring onto the floor? So we developed what was called
19 employee proficiency verification.

20 We went out and spent about two to three months in critical
21 areas, and audited our employees on can they read the manuals, can
22 they get into the engineering, do they know how to use the tools,
23 and how quickly are they adopting standard processes?

24 And what we learned was when they first come out of school,
25 they're actually pretty good. They're developing quickly. And we

1 saw a very wide range of experience levels, all the way up to 15
2 years with the company, all the way down to six months. We use
3 that data to continue to modify our internal training.

4 We also use that information to help our inspectors in
5 critical process points that they were inspecting. So we gave
6 that feedback to them, and I would say finally, one of the things
7 they asked us was for a feedback loop, and we developed Quality
8 360, which anybody, anybody in this room can file a Quality 360
9 report at Spirit.

10 You just need a QR code, you go to your phone, and you can
11 fill it out. And you can do it anonymously, or you can give us
12 your name. If you give it anonymously, we'll give you a code so
13 you can always check up what we're doing and close that feedback
14 loop with you.

15 But we go out on the floor for every one of those and
16 investigate it. If you tell us who you are, we bring you into the
17 process so we can understand what those issues are and continue to
18 improve our QMS. I think that's what we've done beyond what
19 Boeing had shared with us to continue to get our employees engaged
20 in QMS.

21 DR. WOODS: So Spirit is in a unique situation to where you
22 have your own QMS, because you have other customers, not just
23 Boeing, that's internal, but then you're also subject to Boeing's
24 QMS. How do you manage that? Are there ever points where things
25 might conflict in how you want things to be managed within your

1 system? And if so, how does that resolve?

2 MR. GREG BROWN: I'm struggling, in just my short time there,
3 to think of an event where we disagreed on the root cause or a
4 corrective action. I think that with the open dialogue that we do
5 have, there's a lot of common ground, and we're able to arrive at
6 joint decisions pretty easily.

7 DR. WOODS: You said there was no example, so I guess -- I
8 was going to follow up was there any time that you can remember
9 where one trumps the other, and who would have that authority.

10 MR. WILLIAM BROWN: I could give you an example. Within our
11 QMS, there are certain customer requirements that Boeing has that
12 they ask us to abide to. And as an example, there may be a
13 fastener that was installed improperly, and we put a freeze plug
14 in. Which is, per our engineering, an okay. Boeing may come in
15 and say hey, we don't like that. Change this again.

16 So we'll get into those conversations, what's the right thing
17 to do for the airplane, but what does the customer want as well?
18 And when Boeing says change it, the customer wants that done,
19 we'll do that. But it's definitely a conversation within our QMS.
20 It's okay, but they still want us to change it.

21 DR. WOODS: Okay. And thank you for that, because we had
22 heard some from yesterday's panels to where there could be a
23 disagreement on how something should be approached, and I was
24 wondering a little bit more from a QMS point of view as to how
25 those issues might be resolved.

1 Sticking with Spirit, please, you talked a little bit about
2 some of your internal metrics and processes in place to maintain
3 quality control, and you alluded to, just a little while ago, that
4 if there's something that you have a process that you think is
5 benchmarkable, I would like to know more about that. If there's
6 something that you find that you would like to benchmark, how do
7 you push that information back to your customers, and most
8 specifically, Boeing?

9 MR. GREG BROWN: Could you get -- I'm struggling to remember
10 the benchmark comment.

11 DR. WOODS: I'm asking -- there was no specific comment.

12 MR. GREG BROWN: Okay.

13 DR. WOODS: I'm telling you, you were saying that there's --
14 sometimes that we have a process, that's great, and we share it
15 with Boeing, and maybe they change their QMS. That was a
16 discussion that just happened a little while ago.

17 So what I'm wondering is, say if you developed something, a
18 better way of doing something, a benchmark for doing something,
19 what kind of conversations happen with Boeing, and to ensure that
20 the QMS change is adopted?

21 MR. GREG BROWN: Okay. Yeah, I think it's the same
22 conversations that we're having when things are flowing our
23 direction from the Boeing Company as well. Between Doug and
24 myself, his direct reports onsite in Wichita, and our team, as
25 well as Mike Riney, a bit, who's stationed up at Renton, in

1 Boeing, the conversations, they happen very frequently.

2 And, you know, again, even back to the examples they gave a
3 few minutes ago, I'm thinking more of, you know, the larger root
4 cause, corrective action type items, not necessarily fasteners
5 that we may disagree on.

6 Just even the final product verification that we've
7 implemented at the Wichita facility to make sure that we're
8 delivering conforming product to Renton Boeing, we have
9 established shoulder to shoulder inspections. We have come up
10 with training that we believe gets us much greater alignment on
11 what a nonconformance actually looks like, ensuring that we are
12 always tracing back to the Boeing spec, and able to come to
13 agreement on those so that we can, again, ship conforming product
14 in a timely manner. So I think that that's one example of how
15 we're able to establish that and push that back into the Boeing
16 Company.

17 DR. WOODS: And do you find the Boeing Company amenable to
18 these sorts of suggestions?

19 MR. GREG BROWN: I have found them to be very strong working
20 partners on those, yes. If they have a disagreement, they have
21 stated that, and we have come to resolution on those in probably
22 much the way that Bill eloquently described it.

23 DR. WOODS: Mr. Silva, the Boeing QMS manual mentions
24 escapes, and it largely refers to those escapes as being, like,
25 defects in manufacturing and engineering. How does Boeing track

1 escapes, and what becomes of that information if the escapes
2 exceeds the threshold?

3 MR. SILVA: Sure. A few different ways, and some of this
4 actually might bleed a little bit into some of the discussion
5 we'll have from an SMS perspective. But a few years ago, as we
6 were maturing our SMS forums, we started tracking escapes across
7 our value stream.

8 And so to put a little bit more context around the definition
9 from the quality manual, and escape would be, say, something that
10 left an external supplier, like Spirit, left their system and got
11 introduced into our system, or even an internal supplier, like a
12 fabrication site within the Boeing production system. Escapes can
13 also be when they leave from the factory out to a flight line, or
14 predelivery, or even from predelivery out into one of our
15 customers.

16 And so through the joint SMS, QMS review of data, we would
17 track and monitor those escapes at an aggregate level across all
18 those different parts of the value stream. We would then set up
19 control limits to monitor generally how stable those amounts were.
20 And then once those control limits were exceeded, that would
21 warrant corrective action, or warrant us to do further
22 investigation and determine what else we could do to get those
23 escapes down.

24 In the case of supplier escapes, for example, and my --
25 probably Doub Ackerman can speak a lot to that at a very detailed

1 level, but those would be interventions or countermeasures that we
2 would put in there. And then internal escapes are things that
3 left from our factory to our flight line or from our flight line
4 to our customer. Very similar process, we would investigate for
5 corrective action. Paul, anything you want to add?

6 MR. WRIGHT: Yeah. I think just to clarify, in 2023, we were
7 tracking where escapes were happening in the value stream. And so
8 if we were seeing escapes in the field, that would tell us
9 something was getting past our factory processes. And we're doing
10 it by location in the value stream more.

11 And since the accident, we've relooked at that, and the KPIs
12 we feel are going to be more effective are types of escapes as
13 opposed to where in the value stream. So to just clarify when and
14 the before and after there.

15 DR. WOODS: That is a great segue into a question I have
16 about two questions from now. But before I get to that, we talked
17 a lot about essentially supplier escapes, supplier
18 nonconformances. What I want to know now is has the number of
19 internal escapes -- how has that fluctuated over the last five
20 years or so?

21 MR. SILVA: As Paul was referring to, so back in the 2021 --
22 or 2023 timeframe, where we saw a fluctuation of internal escapes
23 was really from our factory out to our flight line. We were
24 seeing, actually, some positive trends from a -- from the flight
25 line out to customers, so seeing a reduction in escapes out to

1 customers. And we're seeing less of internal to the factory
2 escapes, so say maybe from one major build position to another.

3 But where we saw the fluctuation go up was from the factory
4 to the flight line. And so that, from a value stream perspective,
5 got us involved in terms of corrective actions to -- what we call
6 pushing the defects back, but really go investigate what are the
7 sources of defects that are getting out to the flight lines, how
8 do we get teams to go take corrective action on them, and then to
9 help bring that back down.

10 DR. WOODS: How does Boeing classify quality control
11 deficiencies that are a result of human error?

12 MR. SILVA: Probably the closest way we currently have, and
13 this was during the accident, and even currently, now, that we
14 have to classify issues like those, would be within our
15 nonconformance system. Every single nonconformance gets a code
16 assigned to it to describe what the issue was and then what the
17 potential cause of the issue was.

18 And so those would typically get written up as what we label
19 internally, workmanship issues. But if you were really to unpack
20 those, that would probably get the closest umbrella that we have
21 towards human error or human factor type codes. It is an area
22 we're investigating further in terms of how we can approve the
23 coding we make, and how we can get better visibility on those
24 types of issues. But right now, that'd probably be the closest
25 way, and it's not the best.

1 DR. WOODS: And that's -- I guess how long has that been in
2 place? Is that since the accident or prior to?

3 MR. SILVA: Prior to and since, yes. I -- that -- everything
4 I just described has just been how we've operated in terms of how
5 our manufacturing system works for nonconformances.

6 DR. WOODS: So is refining that understanding of how human
7 error is introduced, is that going to be part of your
8 comprehensive quality and safety plan going forward?

9 MR. SILVA: Yes.

10 DR. WOODS: We're here because an accident happened. Right?
11 It took place. At what point should this escape have been caught
12 and contained? Taking your QMS system and how it's structured, at
13 what point should this escape have been caught?

14 MR. SILVA: And just to make sure, I'm clarifying. When you
15 say this escape, you mean the lack of removal documentation?

16 DR. WOODS: Yes.

17 MR. SILVA: Yes. I'd say the -- as we discussed yesterday
18 throughout Panels One and Two, and I don't have the -- we can
19 certainly pull up a timeline. But typically, that escape should
20 have been caught either within that time range for the removal to
21 be written, and to have that documentation, or at the absolute
22 latest, prior to the rollout of the airplane.

23 DR. WOODS: And the reason I ask, my point by that is that an
24 error was committed. Essentially, the error, we all know here, is
25 that bolts were not reinstalled. But one error, in a robust

1 system, should not be able to progress all the way to an accident.
2 So that's why I'm probing your system and trying to find out at
3 what point should the error have been caught. It's not about
4 whether or not the error should have happened in the first place.

5 MR. SILVA: Understood.

6 DR. WOODS: That's neither here nor there.

7 MR. SILVA: Right.

8 DR. WOODS: It's in your system, where should the error have
9 been stopped in its tracks?

10 Spirit, same, similar questions. How do you define escapes
11 within your quality management system?

12 MR. GREG BROWN: Escapes within our quality management system
13 are going to be nonconformances that are found or detected after
14 our last opportunity to find it ourselves in our -- within our
15 quality inspection processes. It may be something that is brought
16 to our attention, in most cases, directly from Boeing, after the
17 product's been delivered.

18 DR. WOODS: And how do you classify quality control
19 discrepancies that are a result of human error?

20 MR. GREG BROWN: We have a set number of categories, I think
21 much along the line of the answer that these gentlemen gave. You
22 know, often times I'll see a response, and this, again, in my
23 short time there, I'll see a response, such as failure to follow
24 procedure. That's the first why, it's not the last why that you
25 ask.

1 It could be -- we know it's a result of workmanship. We
2 often know that maybe it's a failure to follow procedure. Maybe
3 it's inexperience. Maybe it's ineffective training, whatever it
4 may be. But there are a number of different categories available
5 to -- after you drill down to exactly why it occurred.

6 DR. WOODS: So what are some of the mitigation strategies you
7 have? What are -- what do you do after the corrective action
8 process has run its course?

9 MR. GREG BROWN: Well, after the root cause analysis occurs,
10 and we understand exactly what we think drove it, it generally
11 leads to a number of different mitigations. Some of those may be
12 enhanced training. Some of those may be communication in the form
13 of quality alerts, crew meetings, quality standdowns, mistake-
14 proofing, developing engineering solutions so that the workmanship
15 problem is greatly reduced, if not eliminated altogether.

16 DR. WOODS: And for Boeing, my last couple questions about
17 QMS is essentially at what point does your QMS interface with your
18 SMS?

19 MR. SILVA: Sure. I think we have a slide that speaks a
20 little bit to that, maybe, if we could pull up Boeing
21 presentation, I believe it's slide 7. So I offered one specific
22 example earlier. But really, to take a step back, the QMS and SMS
23 within Boeing, they're highly complementary. Quality system --
24 the quality management system, very much focused on the quality of
25 products and services from compliance to our policies and

1 procedures, and then conformance to all our requirements, and then
2 the safety management system really focused around safety
3 performance of all of these processes.

4 And so the example I gave earlier of the escapes, we would
5 track that information within the build portion of what you see in
6 the middle of the screen, where we would look at conformance
7 information, like quality escapes, and then assess that against do
8 they present safety risks.

9 And so this was kind of the beginnings of the journey of how
10 we have both systems compliment each other. At the time of the
11 accident, this is how we would have operated. One of the things
12 we're doing now as part of our plan is then to obviously
13 strengthen that integration much tighter. But this would
14 generally give you the overview of how the two operated in that
15 timeframe. And Paul, anything you'd add?

16 MR. WRIGHT: We could talk for quite a while on this one, but
17 I'll just add a little. We do have, in this system -- it's a very
18 broad system that covers the SMS hazards that are part of the
19 triggers of the SMS standards. But it includes our continuous
20 operational safety program, our notification of escape program,
21 the thread of safety that travels through our design and supply
22 chain, through our build, and through our fleet.

23 So as we have QMS interactions with the SMS, there's
24 definitely safety risk management activity on things that hit the
25 triggers for the proactive side of SMS. But there's also the

1 event-based pieces, where we interact, and we have a board
2 structure that looks after that.

3 DR. WOODS: Apologies for going backwards for just a moment.
4 Going back to the identification of escapes, identification of
5 this error, for instance, under what system, or who is responsible
6 for walking the floor on a daily? Was there anyone out there that
7 should have noted that, for instance, in this specific incident,
8 that this plug was open, and then maybe looked around to see if
9 there's any paperwork associated with it?

10 MR. SILVA: I would say at a system level, in terms of how we
11 operate, and some of this alludes to the factory tiered structure,
12 throughout our entire production system, you know, you would have
13 mechanics, inspectors, managers, senior managers, whose obligation
14 is to really walk the floor. And I want to focus on, from a
15 management perspective, their responsibility to also be attuned to
16 what's going on within the system, and not just operating to
17 identify feedback from teammates, but just making sure the
18 system's operating as intended.

19 I can't speak to is there one particular person that should
20 have just been doing something. But I think collectively, we have
21 folks that live in our system and are attuned to making sure that
22 if things look off, or if things look like they need to be raised
23 for either a concern or an issue, that we have a quality
24 management system for those items to be addressed from a
25 conformance perspective.

1 DR. WOODS: So in the aftermath of this accident, is that
2 something that you, being over core quality, is that something
3 that your team is looking at?

4 MR. SILVA: I think as part of our comprehensive plan, we are
5 looking at how we -- one of the things that we did recently was at
6 a workshop around how we look to give a significant amount of time
7 back to our managers to make sure that they are much more embedded
8 within the production floor, at a manager and senior manager
9 level.

10 DR. WOODS: And then my last question, again, about that
11 intersection between QMS and SMS's, you just talked about, like,
12 even based triggers. Are there any specific triggers that
13 automatically start a conversation or a meeting or something
14 between the SMS leadership and the QMS leadership?

15 MR. WRIGHT: Absolutely. So when we -- an example of an
16 event-based trigger that automatically starts that process would
17 be the notification of escapement process that Doug could speak to
18 quite a bit. What -- part of that process is to determine if
19 there's a safety issue with that escapement, and to determine how
20 far into the production or fleet that even has occurred.

21 So the safety review board process that we have, it's part of
22 continued operational safety, but also part of our production
23 safety. We would have a team with the subject matter experts from
24 safety and engineering, and whatever disciplines are needed, to
25 determine if that escapement is a safety issue, and to determine

1 what type of compliance period would be recommended to rectify it.

2 DR. WOODS: Okay. Thank you. At this point, this concludes
3 my question on QMS.

4 CHAIR HOMENDY: Thank you, Dr. Woods. We're going to take a
5 15 minute break to 10:45, and I -- we will -- please be back here
6 promptly at 10:45 and in your seats.

7 (Off the record)

8 (On the record)

9 CHAIR HOMENDY: All right. I appreciate everybody coming
10 back. We're going to get started again, and I will turn it back
11 over to the technical panel.

12 MR. BRAZY: Thank you, Madam Chair. We will continue with
13 questioning from Dr. Woods.

14 DR. WOODS: Thank you, Mr. Brazy.

15 Moving into the subject of safety management systems, first,
16 Mr. Eick, welcome. If you would please just give us a high level
17 overview of what your roles and responsibilities are with the FAA.

18 DR. EICK: Hi. Good morning. I'm an aerospace engineer, and
19 my responsibilities are policy development for the implementation
20 of safety management systems and design and manufacturing
21 organizations. This includes -- included working on the
22 rulemaking team that recently published the amended part five
23 rule, developing guidance material for industry to comply with
24 part five, including the advisory circular for design and
25 manufacturing, and then developing FAA orders, work instructions,

1 data collection tools that will provide guidance for FAA personnel
2 that are providing oversight of design and manufacturing
3 organizations' safety management systems.

4 DR. WOODS: Okay. And with that, there are some that do not
5 know the history of SMS, where it started, how it came to be, and
6 most specifically to this case, how it now applies to aircraft
7 manufacturing, among others, in the new rule. Would you please
8 give us a comprehensive history of SMS, the development of the new
9 rule, and where we stand now?

10 DR. EICK: Yes. If you could pull up my presentation on
11 slide 2, please. One more slide. There you go. Thank you. It's
12 a little hard for me to read that, so I'm just looking at my own
13 sheet, here. So safety management system has been a phased
14 approach, both with the International Civil Aviation Organization,
15 ICAO, and with the FAA. It started out in the 2001 timeframe with
16 ICAO applying and requiring SMS for both air traffic management
17 organizations and airports. And then shortly after that, the FAA
18 began their implementation of SMS.

19 Around the 2006 timeframe, ICAO amended -- had some more
20 amendments requiring a member state to create an internal safety
21 program. Around the 2008 timeframe, a rulemaking project was
22 initiated. And that followed into an ARC, Aviation Rulemaking
23 Committee in the 2009 timeframe. And that ARC actually covered
24 all of the service providers. It started with part 21 design and
25 manufacturing, the operators, 121, 135s, maintenance

1 organizations, and so forth.

2 And an advanced notice of proposed rulemaking was put out
3 shortly after that, but then public law -- let's see. Well, I
4 forget the number, but there was a public law passed around 2010
5 timeframe that directed the FAA, implement SMS for part 121. And
6 so those other areas were dropped off from the rule, and then the
7 rulemaking went forward, with an NPRM published, to implement SMS
8 for part 121. And that was published 2010 timeframe.

9 Shortly after that, the airports SMS published an NPRM, and
10 then the air traffic organization actually had their SMS certified
11 a little after that. Now, around 2011 timeframe, the FAA
12 initiated a manufacture safety management system pilot program.
13 So this was the first working with the manufacturers in 2011. And
14 then in 2012 to 2014, there was the part 21 SMS ARC. Again,
15 that's with manufacturing, again, part 21.

16 And then ICAO, in 2013, they published annex 19. Annex 19,
17 specifically for design and manufacturing, that required SMS for
18 organizations that design or manufacture aircraft. That was the
19 first requirement in 2013. In 2015, the part 21 rule became
20 effective. In 2016, ICAO amended annex 19, and then they expanded
21 it to organizations that design and manufacture aircraft, engines,
22 and propellers. That was 2016.

23 Now, I've highlighted in bold some of the key part 21
24 activities for the -- now in 2017, the FAA initiated the design
25 and manufacturing voluntary SMS program. Rulemaking project was

1 kicked off in late 2020 to amend part 5, and that also came out
2 with the ACSA Act, that directed the FAA to implement SMS for
3 companies that hold both a type certificate and a production
4 certificate.

5 The NPRM was published in January of 2023. That -- the part
6 139 airports rule was published shortly after that. And then in
7 April of 2024, the amended part 5 was published. And I'm going to
8 skip -- I'll skip maybe two slides forward, and I can give you
9 some details on how SMS really rolls into design and manufacturing
10 going forward.

11 On this chart, we have the approval holders on the top and
12 the FAA on the bottom. And so the rule was effective on May 28th
13 of 2024, and that gave the company six months to submit an
14 implementation plan of how they're going to develop and implement
15 an SMS. The FAA will approve those implementation plans within 60
16 days of submittal. And so those, by January of 2025, we'll have
17 those approved. And then the companies have 30 more months to
18 fully implement their SMS. So by May 28th of 2027, they have to
19 be fully implemented.

20 Now, the FAA is going to conduct two compliance checks, and
21 these are all covered under order 8120.24, and including approving
22 the implementation plan. We're going to have two compliance
23 checks. The first one, there'll be -- there's a - and I should
24 say there's approximately 65 companies that will be required to
25 comply, both this rule and part 21.

1 And so the first compliance check is we go and complete an
2 SMS verification. And what we're doing there is we're looking to
3 make sure that the companies have developed all the necessary
4 policies, procedures, and processes that are required by the rule.
5 That's step one. And then we wanted to have a 12 month time
6 period before we do what we call an evaluation to see how the SMS
7 operates, and make sure it operates in compliance with the rule.

8 And we did this -- I know it looks like a long time there,
9 but we wanted to see how -- an SMS that's just a bunch of policies
10 and procedures, and doesn't actually operate properly, isn't an
11 effective SMS. And we wanted to see how the SMS really operated
12 in real world examples. And so we're waiting a year for the
13 companies to operate their SMS, then we're coming back in, and
14 we're doing another compliance check to make sure your SMS
15 operates in compliance with part 5.

16 Now, following that, we're working on another order right
17 now, which will be our continuing oversight order. And that is
18 still under development. And that'll be our -- what we're really
19 going to work on in that order is how the company's SMS is
20 performing. This gives you the timeline of how a part 21 SMS will
21 roll out.

22 DR. WOODS: Thank you. If you would go back two slides. I
23 just want to clear up a few things for clarity, because again, you
24 had a lot of acronyms in there. And so to ensure that everybody
25 understands, some of the key points I want to point out here is

1 first of all, what was the implementation year for part 121?

2 DR. EICK: Part 121 implementation is 2015.

3 DR. WOODS: Okay. And what is part 121?

4 DR. EICK: Those are the airlines -- major airline operators.

5 DR. WOODS: Thank you for that. And what is an NPRM?

6 DR. EICK: Notice of proposed rulemaking.

7 DR. WOODS: And when did that happen for part 5 for part 21?

8 DR. EICK: For part 21, we published that in January of 2023.

9 DR. WOODS: And what is part 5?

10 DR. EICK: Part 5 is safety management systems.

11 DR. WOODS: And lastly, what is part 21?

12 DR. EICK: Part 21 is procedures for design and manufacturing
13 organizations.

14 DR. WOODS: So to be clear, the voluntary SMS for part 21
15 came into effect what year?

16 DR. EICK: The voluntary came into effect in 2017.

17 DR. WOODS: And the new rule was announced when?

18 DR. EICK: It was published in April of '24 and is effective
19 in May of '24.

20 DR. WOODS: And this is now from -- moving from a voluntary
21 SMS to a regulatory one. Correct?

22 DR. EICK: For -- yes, for companies that fall under
23 requirements of the rule. There still will be some companies that
24 will stay in the voluntary program going forward. But the
25 companies that fall under the rule, companies that design or

1 manufacture aircraft, aircraft engines, or propellers.

2 DR. WOODS: And implementation for the regulatory SMS is
3 about -- full implementation is required by about what timeframe?

4 DR. EICK: Implementation is required -- for the required --
5 voluntary or mandatory?

6 DR. WOODS: Mandatory.

7 DR. EICK: For mandatory, it is required by May of 2027.

8 DR. WOODS: Okay. Thank you. So I apologize for that, but
9 again, for those of us that are familiar, we followed right along.
10 But I want to make sure that everybody understands where we are
11 stepping through the timeline. So out of all of this, where does
12 Boeing fall?

13 DR. EICK: Boeing, they're a holder of a type certificate and
14 a production certificate, design or -- and manufacture a product,
15 an aircraft, and so they would fall under the required rule.

16 DR. WOODS: Implementation due by May of 2027.

17 DR. EICK: May of 2027.

18 DR. WOODS: Okay. Thank you. Mr. Eick, where does the
19 supplier fall under this new rule, or do they?

20 DR. EICK: The new rule -- the SMS part 5 rule does not apply
21 directly to suppliers. This applies, as I mention, to the
22 manufacturers of aircraft engines and propellers. But there are
23 some provisions in the rule that will -- those companies that the
24 rule does apply to can fall down to their suppliers.

25 For example, in the safety assurance portion of the rule,

1 you're required to monitor the safety performance of your
2 organization, looking for hazards, looking for ineffective risk
3 controls, and so forth. And one of the areas that you're
4 monitoring is your management of your suppliers. And so you're
5 responsible for your suppliers, and so that's one of the areas
6 you're monitoring.

7 In addition, we put safety communication aspects into the
8 amended rule. We required that when you're conducting safety risk
9 management, you consider interfaces. And the interfaces for a
10 part 21 design and manufacturing company would primarily be your
11 suppliers.

12 We also put in a requirement that you have to notify -- prior
13 to notification of hazards to suppliers, to interfacing persons.
14 And that's a special requirement. We also put in a requirement
15 that you have to investigate hazard reports that have been
16 received from external sources, and those external sources could
17 be a supplier, could be an airline operator.

18 And so all those provisions are how a company would integrate
19 SMS with their suppliers. But the SMS rule does not require
20 entire flow down of the SMS requirements to suppliers.

21 DR. WOODS: For those of us that might be more familiar with
22 what an SMS looks like for a part 121 operation, what are some of
23 the key differences? It sounds like you just mentioned a few,
24 between what it would look like for 121 and what it would look
25 like for part 21.

1 DR. EICK: Right. I've got a slide. It is -- I'll just go
2 back to my presentation. And that would be slide 5, please. We
3 put in three specific requirements for part 21. This first one is
4 really important. We require that part 21, and only part 21
5 companies, to develop what we can an organizational system
6 description. This defines where SMS is to be applied in the
7 organization.

8 And in the advisory circular, we asked the companies to
9 define that in three subsystems, their design and certification
10 subsystem, their production system, and their continued
11 operational safety system. And we want them to describe, you
12 know, what are their aviation-related process, procedures,
13 activities? What's the function and purpose of the products they
14 provide, so forth, the operating environment? What are their
15 personal equipment facilities for operation?

16 But what this does is it serves as the basis of an
17 implementation plan. An SMS is only effective if it's implemented
18 across the organization. And the key point here at the bottom is
19 that it enables the organization to know where to do their safety
20 performance monitoring across these systems, and again, where to
21 perform safety risk management if they're making a revision to
22 assist, or developing a new system, or amending a procedure, so
23 forth.

24 In addition, as I mentioned before, the implementation plan,
25 that's required -- that's only required for part 21 companies.

1 And finally, there's an ACSAA requirement, Aircraft Certification
2 Safety Accountability Act. It requires companies to hold a type
3 certificate and a production certificate, to submit a summary of
4 confidential employee reports that they've received to the FAA
5 every six months.

6 DR. WOODS: Thank you.

7 For Spirit, I recognize, again, that as a supplier, with the
8 exception of the concessions that have been made in the customer,
9 Boeing's SMS system, that a supplier is not required to have their
10 own independent SMS. However, they can still have an SMS within
11 their own, or a voluntary SMS submitted to the FAA. Where does
12 your company currently stand on that process?

13 MR. GREG BROWN: Yes. Thank you for that. In September of
14 2023, and probably much earlier than that, Spirit actually began
15 their SMS journey by electing to implement a voluntary system.
16 The gap analysis, assembling all of the various industry
17 references and ICAO, FAA support, guidance and such, and even
18 cooperating -- coordinating with Boeing Company on their SMS
19 journey, they began putting together an implementation plan.

20 I arrived in March of this year. As you know, a lot was
21 going on in January, February, and March. I began looking through
22 the plan that had been developed at the time, began asking a lot
23 of our own questions to try to make sure that what we started
24 putting in place was going to work for Spirit AeroSystems.

25 As of right now, we are well through the gap analysis. We,

1 again, continue to partner with Boeing. I cochair an SMS
2 development counsel with a member from Boeing for a lot of their
3 suppliers that are seeking to develop voluntary systems as well.
4 We hope to have our implementation plan completed here in the --
5 by the end of the third quarter, with a -- and once we have that
6 in place, we'll know definitively when we expect to fully
7 implement the system.

8 DR. WOODS: Pivoting back to Boeing, Mr. Wright, we had a --
9 we talked to you a little bit under the QMS portion of this panel,
10 however I don't believe you had a chance to introduce yourself.
11 So if you would please just give us a high level overview of what
12 your roles and responsibilities are at Boeing.

13 MR. WRIGHT: Thank you, Dr. Woods. So my name is Paul
14 Wright, and I am responsible for the safety management system
15 implementation across Boeing Commercial Airplanes, including the
16 subsystems that Mr. Eick -- or Dr. Eick just described with the
17 design, the build, and the support area of the fleet.

18 DR. WOODS: And if you would please give us a high level
19 overview right now -- or I guess actually prior to the accident,
20 of what your voluntary SMS program looks like.

21 MR. WRIGHT: Sure. Maybe I'll use a couple of exhibits that
22 I think will help a little bit. The first one, if you could
23 please pull up the Boeing slide 9, just to give a feel for where
24 we are timeline-wise. Thank you.

25 The -- Boeing was approved under the voluntary program in

1 2020. And then in 2021, very similar to the timeline that was
2 just laid out, the operational approval was granted in 2021. So
3 from a maturity level, following the voluntary program
4 requirements, we've since -- and I'll describe a little further as
5 to what it really looks like -- been developing SMS deeper and
6 deeper into the organization, starting with the accountable
7 executive, which is the top risk acceptor at the company, and
8 working our way down through those design, build, and operate
9 systems.

10 And to give a feel at what that looks like, I'd ask if we
11 could go to the Boeing slide 8. So for those of you who don't see
12 safety management system in your regular world, this is a really
13 good way to look at it. And it starts off with the pillars and
14 having a safety policy and objectives clearly written. Safety
15 risk management is the mitigation of known hazards.

16 And safety assurance, what that term really means is your
17 hazard detection system. So that's the channels. That's your
18 employee reporting, your KPIs, your audits, your change management
19 processes. And then safety promotion, that fourth pillar, is
20 really key, because that is how you promote SMS throughout the
21 organization, through training, communication and participation.

22 And the three areas below are really critical, with the top
23 level commitment, that's the leadership commitment, through those
24 subsystems, the positive safety culture, which I'm sure we'll talk
25 about more, and the continuous improvement loop, I'm sure you'll

1 hear more of that as many of us speak, having a way to get
2 feedback as to how the SMS is working to continually make it
3 better.

4 And those two middle pillars, those are really the engine of
5 SMS, with hazard detection being where we understand where our
6 risks are, safety assurance, safety risk management, doing the
7 assessment and mitigation, and then back into safety assurance to
8 ensure that that mitigation worked.

9 So when we talk about where Boeing is in our SMS, we've
10 implemented, through our design, build, and operate systems, and
11 we operate those through seven SMS boards. We have three cross-
12 functional boards, one for build, one for operate, and one for
13 design. And then each program has a program-specific board that
14 are responsible for these elements.

15 DR. WOODS: Dr. Eick, two formal apologies. One, I apologize
16 for not using your title earlier properly. And the second is, I'm
17 going to go back a bit. You touched on the ACSAA rule and the
18 requirements that were imposed upon Boeing for the development of
19 their involuntary SMS. Can you go into just a little bit more
20 detail about the circumstances surrounding that and how that
21 process was initiated?

22 DR. EICK: I'm not sure I understand the question. If -- for
23 ACSAA?

24 DR. WOODS: Under ACSAA, there was a rule requiring, I
25 believe --

1 DR. EICK: Yeah.

2 DR. WOODS: -- and correct me if I'm wrong, for Boeing to
3 establish a voluntary SMS.

4 DR. EICK: Not under ACSAA --

5 DR. WOODS: Okay.

6 DR. EICK: -- that I'm aware of. There's -- maybe there's a
7 different provision of ACSAA that I'm just not aware of. The key
8 one that I was aware of was -- it required companies -- all
9 companies that hold the type certificate and a production
10 certificate for the same project to implement in SMS. That was
11 section 102, I believe.

12 DR. WOODS: Can you tell us a little bit more about what was
13 the reasoning for that? How did we get to that point?

14 DR. EICK: I don't have all the background, but it was likely
15 a cause from a prior accident in the 737 max, and then -- and
16 Congress then enacted this requirement to implement in SMS across
17 design and manufacturing.

18 DR. WOODS: Okay. Thank you. I just wanted that to be
19 established because I wanted to give a little bit of history as to
20 why this came to be and at this time.

21 Moving back to Mr. Wright. Ultimately, who's responsible for
22 managing your, at this point, voluntary SMS program, and ensuring
23 its success at Boeing?

24 MR. WRIGHT: The accountability for SMS is quite specific,
25 and we align to the ICAO standards there. So, you know, we could

1 talk about implementation organizationally. My organization, the
2 Chief Aerospace Safety Office, is responsible for the
3 implementation and the planning.

4 But when we talk about the execution, the -- we have an
5 accountable executive, the Chief Aerospace Safety Officer, and
6 then we have our series of risk acceptors throughout the
7 organization. And that really has a role for everybody at the
8 company in the SMS, which is critical.

9 So we rely on our employees to report hazards and participate
10 in risk mitigation for those hazards that are in their area. And
11 we also rely on many organizations that are part of the policy and
12 promotion. So when we talk about who's responsible, there's roles
13 for everybody, and there's different places where risk is
14 accepted.

15 DR. WOODS: Okay. We are going to step through the different
16 foundations of SMS in a little bit and talk about each of those in
17 greater detail. But right now, I just want to have an
18 understanding of how your voluntary SMS came to be.

19 So with that, I'm actually going to move to the FAA. I see
20 you guys back there. Mr. Slagle, if you would please just give us
21 a high level overview of what your job was and what your role was
22 in helping Boeing to develop their voluntary SMS.

23 MR. SLAGLE: Thank you. My involvement with the voluntary
24 SMS program started back in 2017. I was a national team lead for
25 the program, and Boeing was one of the companies that I was

1 assigned. My duties and responsibilities were to help Boeing
2 understand the program and help them as they worked through their
3 implementation process.

4 There is a slide, FAA slide number 8, if you could pull that
5 up, it shows the basic outline of what we did to get Boeing
6 through the process. If you look at that second bullet, the
7 steps, the applicant, Boeing, needed to show interest in the
8 program. They developed a system description, very rudimentary
9 compared to what we have today with the rule. They developed a
10 safety policy and a gap analysis. They provided that to the FAA.
11 The FAA reviewed it and basically okayed it.

12 From there, Boeing went on to develop processes and
13 procedures. We were involved with Boeing as they were working
14 through this process. So we were pretty aware with what was going
15 on at Boeing.

16 At the completion of that point, the FAA did what we called a
17 compliance assessment. That was basically looking at the
18 processes and procedures that were in place, and that they met the
19 requirements of either national aerospace standard 9927, and also
20 part 5 as it existed at that point in time.

21 From that point, Boeing went forth, they basically turned the
22 key, got the engine going of SMS, and we then -- the schedule was
23 to do it approximately six months later. I think we actually did
24 seven months later. So we accepted the Boeing SMS on the
25 compliance phase in December of 2020. And in July of 2021, we did

1 the performance assessment, which was basically looking at the
2 processes and procedures that Boeing had in place, and if they
3 were operating, and if they were successful.

4 So many of that -- many of those processes and procedures, in
5 the six month time frame, weren't fully implemented. So some of
6 the observations that we made were based on a desktop or a
7 simulation of the procedure working.

8 At the completion of the performance evaluation, another
9 acceptance was not given to Boeing. We just went with the
10 original acceptance from the December compliance evaluation. So
11 at that point, Boeing had an accepted SMS by us, meeting the
12 requirements of 9927 or part 5.

13 DR. WOODS: And after that point, is there any sort of
14 continued monitoring to ensure that improvements are made or that
15 it still meets, I guess, the voluntary SMS standards that were set
16 forth?

17 MR. SLAGLE: The way the voluntary program was set up is the
18 performance evaluation was the last evaluation that we did, and it
19 was incumbent on the oversight office to continue monitoring. But
20 it was nothing that was really documented at that time.

21 So I know that the -- at the time, it was the Certificate
22 Management Office, the CMO continued to do observations and
23 interactions with Boeing. I know that the CMO personnel
24 participated with Boeing in safety -- or safety risk management
25 activities. The CMO manager at the time was very passionate about

1 SMS, and oftentimes brought things up -- when an issue would arise
2 in the company, I know that he would ask what's your SMS say?
3 What does your SMS tell you to do?

4 So that was basically the oversight that took place. Nothing
5 extremely formal. But the routine interaction was monitored, and
6 the SMS principles and tenants were overseen.

7 DR. WOODS: And I am going to move to Mr. Knaup in a moment
8 to talk a little bit more about what monitoring looks like under a
9 voluntary program. But before I do that, if at any time during
10 this process, and even shortly thereafter, after that last
11 performance evaluation was made, if Boeing had questions, or
12 wanted to reach out, or needed more information about how to help
13 facilitate their program, who would be their direct line at the
14 FAA?

15 MR. SLAGLE: At that time, there was a wealth of information
16 in the manager of the CMO. And I know that Boeing could go to him
17 at any time and ask questions and get information about SMS. They
18 could also reach out to me and my organization and ask questions
19 if they had questions about anything that they were working on,
20 clarifying information about what later progressed in the
21 voluntary program to the data collection tools. So there was a
22 lot of interaction back and forth between the Boeing SMS folks and
23 us in the FAA.

24 DR. WOODS: And now Mr. Knaup, given that this is a voluntary
25 structure, first, welcome. I don't think we've had a chance to

1 talk to you yet. What is your role and responsibility at the FAA?

2 MR. KNAUP: Yeah. Good morning. My name's Brian Knaup. I'm
3 the manager of the System Operation and Oversight Branch that is
4 responsible for oversight of Boeing, GE, and Pratt & Whitney for
5 their production, ODA, and SMS.

6 DR. WOODS: So now going back to the fact that it is a
7 voluntary program, what does oversight look like for a voluntary
8 SMS?

9 MR. KNAUP: So for a voluntary SMS, there isn't any mandatory
10 oversight. We did meet regularly with the SMS leaders at Boeing.
11 As Steve had mentioned, the previous manager provided a
12 significant amount of insight due to his previous experience in
13 part 121, as they implemented SMS. But it was regular meetings,
14 and we participated in safety risk management activities that
15 Boeing had identified that were related to the parts of the
16 company that we, you know, do oversight of.

17 So that was the extent of our oversight, and certainly, you
18 know, providing guidance when there was questions, as we knew the
19 rule was coming, ensuring that they were ready, you know, to
20 satisfy those requirements.

21 DR. WOODS: So I've heard both of you mention a couple times
22 now that you had a person at the CMO who was very knowledgeable,
23 who was passionate about it, and who was very involved, which is
24 sounds like we got lucky. I guess what do you have in place if
25 that person isn't knowledgeable and passionate and ready to go?

1 MR. KNAUP: Right. Certainly, as SMS is now a formal rule,
2 there is training in place for all of our staff. And we've
3 identified a number of our staff to go to in-person training
4 around SMS and become familiar with each of our applicant's SMS --
5 the way they're organized, so that we are ready to implement the
6 rule and provide, you know, oversight of the now formal rule.

7 So --

8 DR. WOODS: Okay. So given that some of that formal training
9 hasn't come yet, understandably, ASIs, or aviation safety
10 inspectors, what would you say, in their day to day functions,
11 what percentage of that is dealing with specific issues to
12 Boeing's SMS, voluntary SMS?

13 MR. KNAUP: I'd say the majority of their time is spent on
14 the quality system at this point. So our involvement in, like I'd
15 mentioned before, in their SMS's, mostly are participation in
16 safety risk management exercises that Boeing is doing. We do have
17 a handful of folks that participate regularly in the biweekly
18 meetings to understand what risks Boeing is looking at.

19 And I think now, you know, is a good time. We do have a
20 triparty agreement with Boeing, IAM, and ourselves to implement an
21 ASAP. It is the first design and manufacture ASAP. And we're
22 working through that. And that is a process to review Speak Up
23 reports, which is also, you know, obviously a part of Boeing's
24 SMS. So --

25 DR. WOODS: Aside from the Speak Up reports, are there any

1 other reports or metrics that Boeing produces that the FAA also
2 reviews specifically to its voluntary SMS?

3 MR. KNAUP: We certainly review the risk register. It's not
4 something we make a decision on or are a part of their approval.
5 But we certainly review how Boeing is determining risks of the --
6 you know, how Boeing is determining risks of the assessments
7 they're making. But we don't formally, you know, provide input
8 into that.

9 DR. WOODS: Not to get ahead of myself, but do you see that
10 changing now with the mandatory rule?

11 MR. KNAUP: So I don't know -- I think we would have a bigger
12 role in how Boeing does -- you know, manages their risk register,
13 but I don't foresee us determining the risk level of SRMs per se.

14 DR. WOODS: Do you have an idea of what the FAA is going to
15 be looking for in that interaction between Boeing's QMS and their
16 SMS?

17 MR. KNAUP: We would certainly expect the QMS to provide
18 triggers to the SMS, right? So when there is an issue with the
19 QMS, that should trigger their SMS to do a safety risk management
20 exercise. And so we would be monitoring various metrics, some
21 that were mentioned yesterday, to ensure that if those control
22 limits were triggered, or potentially other ones, Boeing was
23 conducting an SRM for that.

24 Additionally, if they were making changes to their quality
25 system, they would do an SRM in advance to ensure that they

1 understood all the risks that were a part of the change they were
2 planning to make.

3 DR. WOODS: So far, under the voluntary system, what are some
4 of the things that the FAA has observed in Boeing's interface
5 between their QMS and their voluntary SMS, recognizing that ASIs
6 haven't been fully trained and it's not a requirement yet?

7 MR. KNAUP: So I -- we've certainly seen examples of -- where
8 risks that either we've identified, or Boeing has identified
9 themselves have driven SRMs. I mean, one of the examples is the
10 removals process that was in the factual report that Boeing, you
11 know, had identified as an issue and had a active safety risk
12 management activity started in, I believe, July of 2023, you know,
13 prior to the accident. So that's an example of them identifying
14 issues and starting a safety risk management. We've seen that in
15 -- certainly in other areas as well.

16 DR. WOODS: Thank you. So now, Mr. Wright, we are going to
17 walk through the different fundamentals of what makes up an SMS
18 program. And for those that are unaware, that's safety assurance,
19 safety risk assessment, safety policy, and safety promotion. So
20 we're going to start off with safety policy. Tell me about how
21 Boeing applies safety policy, and what that means under your
22 voluntary SMS?

23 MR. WRIGHT: Happy to. The safety policy is -- and just to
24 kind of give some context, as we developed our SMS, we relied a
25 lot on input from airlines who had been conducting SMS activities,

1 many for a decade, which is very helpful, and also across other
2 OEMs. And we found the most effective way to have a safety policy
3 was to put it on one page that everybody in the organization could
4 digest easily, as opposed to a deep document.

5 And in that safety policy, we walked through our commitments
6 around safety culture, safety risk mitigation, really across the
7 pillars of safety promotion, and also the foundational elements
8 around continuous improvement, leadership commitment, things like
9 that.

10 And that safety policy is signed by our top leadership at the
11 company. And I should note that that policy doesn't just apply to
12 commercial airplanes. We see great value in SMS, and are -- also
13 have SMS implementations in our defense and services businesses.

14 DR. WOODS: And if one wanted to know or read up on Boeing's
15 safety policies, where do they go?

16 MR. WRIGHT: One would go onto our front page website and
17 search under safety policy, and it would come up. There's also an
18 area of our front web link around the messages from top
19 leadership, and you can find it there.

20 In practice, we review the safety policy, we do safety policy
21 reflections during every review in our SMS. So at lower levels to
22 the highest levels, we will pull up the SMS and a leader will walk
23 through an element of that, and we'll have a discussion on what
24 that means to us. And that's part of our cultural setting.

25 DR. WOODS: When you say we, who are you talking about at

1 that time?

2 MR. WRIGHT: Sure. So just examples, in an SMS, you have an
3 accountable executive review, where we review risks. That would
4 be a place for that type of reflection. We have business unit
5 level safety reviews, and that's a business unit CEO and the
6 leadership team. We also do invite the FAA to be part of that.
7 So that leadership level. Our SMS boards, so our SMS boards for
8 design, build, operate, as well as the programs. So those are
9 VPGM level.

10 And I should note that when we say we, the required quorum to
11 make a risk acceptance decision at Boeing and at -- I believe this
12 follows the standards well, is we have engineering, design is a
13 critical area, so the chief project engineer, chief program
14 engineer on any program at Boeing is responsible for product
15 safety and integrity. They're definitely a member, what we call a
16 voting member. The VPGM of the program, and then there's a
17 independent safety officer, that's typically myself, on the
18 business unit for cross-model ones, and a manager in my
19 organization for the program level.

20 That's the core we, and then we include the leadership teams
21 for those specific areas when we're having those discussions.
22 Below that, there are working groups that feed. In an airline
23 environment, you might hear them called data analysis working
24 groups or safety action groups. We call them working groups.

25 Those are the functions that support. So for instance, the

1 functions that support our build area, our supply chain, our
2 fabrication, our quality, and our operations leaders. There's
3 working groups in those areas. And right now, we're right in the
4 midst of developing our data analysis working group structure. So
5 that's what we're in the midst of implementing right now. So when
6 I say we, that's what I'm trying to convey.

7 DR. WOODS: So with all those groups of people that you've
8 mentioned, is, at any point, the IAM invited in to help establish
9 and develop safety policy?

10 MR. WRIGHT: The safety policy is established under the
11 accountable executives, so I'd say no. We do welcome feedback.

12 DR. WOODS: So then I guess who is representing the touch
13 labor when you have these quorums discussing and developing safety
14 policy?

15 MR. WRIGHT: The management that touch labor reports to.

16 DR. WOODS: However, to be clear, the managers are typically
17 not part of the union. Is that correct?

18 MR. WRIGHT: That's correct.

19 DR. WOODS: Mr. Catlin, from your point of view, as a
20 representative of the IAM, where do you feel union representation
21 should be in the development of safety policy for Boeing?

22 MR. CATLIN: I think that it should be a integral part of the
23 development of this. We are the ones who are down there on the
24 airplane. We are the ones who are assembling the airplane. It's
25 our IAM members that continually run into these concerns,

1 especially, for example, during verification optimization, when
2 thousands of inspections were being removed.

3 You know, we were the ones who went to the company and raised
4 these concerns, and it fell on deaf ears. So we ended up having
5 to turn to the FAA. I believe, our union believes we have an
6 integral part in both the manufacture and the safety of these
7 aircraft after we've assembled them. We should be a part of the
8 voice being heard when these kinds of decisions are being made,
9 and especially when it comes to a safety management system.

10 DR. WOODS: So then what has the IAM done to have those
11 conversations to get an invitation to the table?

12 MR. CATLIN: Well, we did enter into a triparty agreement
13 with the Boeing company and the FAA. I believe that was in 2022.
14 We have had some struggles getting that up and going. There seems
15 to be a lot of disconnect between who handles what and what it is
16 that the IAM is allowed to see. It has been limited to our IAM
17 members here in the Puget Sound in Washington State.

18 But we are experiencing Speak Up reports that are being filed
19 by our IAM members in Everett, and these Speak Up reports are not
20 making it to our members on the triparty agreement. They're being
21 sent to South Carolina for review and closure.

22 So, you know, there's a lot of things that do need to be
23 worked through with the triparty agreement. It is a beginning,
24 but it does have -- it needs to mature.

25 DR. WOODS: Well, I would also argue that the voluntary SMS

1 is also -- what year, Mr. Wright?

2 MR. WRIGHT: 2020.

3 DR. WOODS: So immature, it is. Moving to safety assurance,
4 describe some of the indicators that you use to track your
5 performance.

6 MR. WRIGHT: Sure. So we've talked a little bit, just to be
7 clear, on timing. Prior to the accident, or after, or both?

8 DR. WOODS: Prior to the accident, and then I will give you
9 an opportunity to talk about what's going on lately.

10 MR. WRIGHT: Certainly. So prior to the accident, safety
11 assurance, when we look at the channels for safety assurance, the
12 standard channels that we've benchmarked are employee reporting,
13 audit reports, KPIs, change of management internal to our company,
14 and changes external to our company.

15 So when we talk through KPIs, they're one piece of the input
16 into the SMS. I just want to make sure that that part's coming
17 through. So we established KPIs in our areas of the company, and
18 for our QMS or our build processes, those were the escapes we
19 talked about in the different parts of the value screen.

20 And we looked at control limits in those areas, and when they
21 were out of a control limit, a safety risk management was required
22 to be conducted to determine if that process could be corrected
23 with what is called an SMS corrective action, which is bringing
24 something back into process, where that process is robust, or if
25 it needed that process to have safety risk management done to it

1 to adjust the controls, add, or clarify. So that's the type of
2 system the KPIs had before.

3 DR. WOODS: Please describe Boeing's hazard identification
4 process, and who's responsible for identifying hazards?

5 MR. WRIGHT: Absolutely. So hazard identification can come
6 through any of those channels. And the people who work within
7 those channels are the responsible areas. So everybody at the
8 company can use Speak Up as a hazard reporting area. Also,
9 hazards can be reported through management. And also, you have
10 things like seek, speak, and listens. We talked about stand
11 downs, things like that.

12 The -- everybody at the company has training and is obligated
13 to report hazards. It's part of our code of conduct, and it's
14 part of our annual training, and I personally use the system.

15 DR. WOODS: And I appreciate that. But if I'm coming in off
16 the street and I'm a new mechanic working for Boeing, how do I
17 know what a hazard is?

18 MR. WRIGHT: So during the foundational training, just for
19 instance -- and we've learned along the way how to describe what
20 hazards are. SMS can be made to be very simple, but it can also
21 appear quite complex. So from a mechanic's standpoint, a hazard
22 is really about any hazard that would impact their personal safety
23 or a hazard that could impact the quality of the airplane. Those
24 are the pieces we want our mechanics to report on.

25 And it could be something that was done incorrectly, it could

1 be something that they see that could be done incorrectly. So
2 it's really about personal safety and quality, and we do have
3 training that points to that.

4 DR. WOODS: Talking in timelines, from the point that a
5 hazard is identified, all the way up to -- I'm moving into safety
6 risk assessment. But until your SMS is activated, essentially,
7 what is the expectation?

8 MR. WRIGHT: It really depends on the hazard. And we've been
9 learning over time, and we've changed our training, around the
10 beginning of last year, to not only work your hazard with your
11 local management to contain it, but to also put it into the
12 system. Because what we might find is there's the same hazard
13 being worked locally across several crews. And if we can see it
14 at the system view, it's a lot easier to understand if we might
15 have a systemic issue.

16 But the timeline is that immediately, corrective action must
17 be taken to rectify anything that's happening on the floor. And
18 then depending on the type of hazard, it's either used corrective
19 action to correct, or if it's something that appears to be
20 systemic or high risk, that gets elevated into the SMS resolution
21 structure, which is through those boards I mentioned.

22 So when we think of the timeline, it's hazards reported, we
23 have a triage process to understand what it is, get it to the
24 right spot, and then immediate containment. And then depending
25 upon if further action is needed, that could go into the SRM

1 process.

2 DR. WOODS: Where do audits fall in your safety assurance
3 component of your SMS?

4 MR. WRIGHT: So audits are a key input, and the -- as we have
5 been looking at how to incorporate audit findings, what we had
6 been doing prior to the accident was looking at top finding areas,
7 kind of a Pareto approach, and applying safety risk management in
8 those areas.

9 And as we've, you know, really taken a hard look at our
10 system and ourselves, we've done some realignment since the
11 accident, and we've actually realigned the audit function that
12 used to report through quality, and now it reports through the
13 Chief Aerospace Safety Office as an independent body.

14 DR. WOODS: So you talked about systemic issues and those
15 being identified, and then what happens next. What are some of
16 the systemic issues, and I do believe some of them have already
17 been mentioned throughout these two days, what are some of the
18 systemic issues that you're finding?

19 MR. WRIGHT: What we find is that a lot of the systemic
20 issues are really well aligned to a lot of the feedback that we've
21 gotten through many channels. And if I give you some examples of
22 them, stamping, tool control, FOD, also things around some of our
23 supply chain elements, so when we have suppliers of concern with
24 high levels of defects, processes that can be complex and have
25 confusion, such as the removals process that we spent quite a bit

1 of time talking about. We started a safety risk management
2 activity on that from employee reports.

3 And I should correct the date. July has been used. It was
4 March of 2023 when that was identified through the safety
5 assurance channel of Speak Up.

6 DR. WOODS: So we've heard extensively from quality, and
7 we're going to hear more from the FAA on their audit and oversight
8 process later on this afternoon. But arguably, some of these
9 systemic issues have been around for a while. So the question is
10 then what is happening under your safety assurance component to
11 where resolution still has not been achieved in these things that
12 have been determined to exist year after year?

13 MR. WRIGHT: Part of it is the -- historically, we didn't
14 have an SMS to elevate through. And that puts a different level
15 of escalation and urgency on an item when it gets into the safety
16 system. The voluntary program has helped us with that.

17 So when we think about understanding something from a safety
18 risk level process, that's really the key element that drives the
19 speed. And we've had a lot of learning, even as we've conducted
20 safety risk assessments, as to how to scope them, and how to
21 understand what the -- what types of tools are the industry best
22 practices, things like that.

23 So with that learning, the speed's increasing. And I'm
24 really very much feeling good about the 90 day plan elements that
25 are -- have sped up some of our process elements. And we've made

1 some major process changes to get initial risks done more quickly,
2 to really help drive the urgency to the right place.

3 DR. WOODS: Well, we've already bled into safety risk
4 assessment. But to continue with that vein, how exactly does
5 Boeing go about conducting a safety risk assessment? So walk me
6 through, there's been trigger, it's been identified that an SRA
7 has to occur. What happens next?

8 MR. WRIGHT: You bet. So I'm going to walk you through kind
9 of an administrative element, but there's really -- it's the
10 assessment and the results that are the important part, so I don't
11 want it to sound overly administrative.

12 The hazard comes in. It is identified and recognized by my
13 organization, and we place it on the risk register. It's assigned
14 a number, and it's put into identification and disposition, which
15 follows the 9972 standard that was referenced earlier. There's
16 standard steps to safety risk management, and we follow those.

17 So identification and disposition occurs. A system
18 description is written. And one thing I will note that I feel is
19 very powerful with SMS is it's a system of record. And a hazard
20 or a risk cannot be lost or overcome by events. It -- once it's
21 there, it's on our books.

22 From there, we move into the risk assessment phase. So we
23 understand what the hazard is. We use an industry standard tool
24 called bow tie, and we conduct a bow tie analysis. And depending
25 on the complexity, that can take anywhere from a few weeks to

1 several months to identify the system in what they call a -- this
2 bow tie, which is the event in the middle you want to avoid, the
3 items in the front, for the pilots out there, it's threatened
4 error management, and then consequence is on the other side, and
5 we identify every control, preventative or recovery.

6 And during that assessment, each control is graded using
7 aerospace risk management system, ARMS criteria. that's an
8 industry standard criteria, for likelihood and consequence.

9 And from there, the consequence is just the things that can
10 happen on the right side of the bow tie. Those are the things
11 that happen if you, for instance, have a nonconformance with that
12 certain part, what could the consequence be? And if we take a
13 look at the likelihood, that's how strong those controls are.

14 So with the grading of those controls, we get likelihood and
15 consequence, and that gives us a risk level. That risk level goes
16 -- there's five categories, high to minimal. High risk, and
17 example of a high risk would be one where we would ground a fleet,
18 and that goes to our accountable executive immediately. A serious
19 risk is one where we would stop our production line to prevent a
20 hazard from -- or a risk from reaching the fleet. And when we get
21 into moderate, that's around regulatory action, things like that,
22 and it goes from there.

23 The next step, once that risk level is established and
24 understood, is to create a control plan to use as an action plan
25 to mitigate the hazards. And the power of this bow tie is when

1 you make an action plan, we've all done it, we think of the
2 actions that will be effective in mitigating the area. What it
3 does is it assesses how strong are those actions, and are they the
4 right actions?

5 It uses the hierarchy of controls. So this is remove the
6 hazard, substitute the hazard. Engineering controls, which are
7 hard controls, or administrative controls, we look at the strength
8 of those. And we also map the actions to every control in the
9 system. And if we have a control that's rated red, and we don't
10 have an action for it, that control plan won't be approved.

11 We also can find, through brainstorming, that we stack up
12 actions on one control and we leave other ones alone. This bow
13 tie has really helped us see the coverage of the actions and the
14 strength of the actions.

15 Another thing it helps us see is the complexity of the
16 system. If we look at the complexity, and we find that we have an
17 inordinate amount of controls that have been added over time, it
18 can call attention to what controls are ineffective and should be
19 removed so that the team is not spending time being stretched on
20 those, and what controls are strong and should be kept, so the
21 team can focus and be very good at those.

22 That's how we develop a control plan. With the control plan,
23 that gets approved through the SMS board, and we go into control
24 plan execution. We execute the actions with urgency that is
25 aligned to the risk.

1 When those are complete, it goes into targeted monitoring,
2 and either a KPI or a series of events are chosen to judge whether
3 or not those actions were effective. If those actions were not
4 effective, then we go back and do the analysis phase and
5 understand where did our analysis have a gap. If we see the
6 actions were effective, we usually pick three to six months to
7 check that.

8 Then we take the risk on the risk register, the SRM, it goes
9 into phase 5, which is it becomes inactive. It's still on our
10 risk register, but it's no longer active. And if that event or
11 hazard comes up again, we reopen.

12 And one thing that's been very helpful if we do have an
13 escape in the future with this type of system, you don't have to,
14 from scratch, create a whole root cause corrective action. You
15 can rapidly figure out which control, preventative or recovery,
16 failed, and focus right in on that. And it helps speed the
17 mitigations going forward. That's kind of the end to end on a
18 safety risk management.

19 DR. WOODS: Mr. Wright, was there ever an SRA done on the
20 experience gap, if you will, that Boeing has seen with employees
21 that existed, essentially, prior to 2020, and those that have been
22 hired since?

23 MR. WRIGHT: In 2020 -- I'll kind of walk the timeframe here.
24 There -- we did see the high amount of employee turnover,
25 especially in manufacturing. And during that time, that was one

1 of our early SMS triggers that we noted. So we did do an SRM on
2 employee onboarding, and we looked at our training systems, we
3 look at the throughput, and we did find gaps where the quantity of
4 folks that needed to go through training didn't match our
5 capability. And we changed the training plan and the speed of
6 hiring to make sure that we had people go through that area. That
7 was in around 2020, and that was an ongoing plan that had a
8 feedback loop with improvement.

9 If we look at post-accident, that's where we took a much
10 fresher look at that and went to the proficiency-based model. And
11 so now, we have a safety risk management project on the employee
12 efficiency plan that we have, but it's really an SRM that's
13 defining that plan.

14 DR. WOODS: And moving back for a moment to Mr. Knaup, I
15 believe you said earlier that the FAA is not currently involved in
16 Boeing's SRM panel or safety risk assessment process. Is that
17 accurate?

18 MR. KNAUP: So we are -- we do participate in some of the
19 Boeing SRMs to provide input on the controls and stuff that Paul
20 talked about. So there are some SRMs that we are involved in. We
21 are not involved in determining what makes it to the risk register
22 for Boeing, though our findings during our auditing activity is
23 certainly an input that they use that could drive something to
24 their risk register.

25 DR. WOODS: And do you foresee that role expanding at all

1 with the regulatory SMS coming on board?

2 MR. KNAUP: Yes.

3 DR. WOODS: Could you go into a little bit more detail?

4 MR. KNAUP: Sure. So certainly, as the new rule comes on
5 board, you know, online, and they're required to meet it, there
6 will be additional input that they would take from us as we ensure
7 that they are managing that system. And we will get more output
8 from them as well to ensure that they are doing all the things
9 that the rule says and that their policy says. So yes, we'll have
10 more input.

11 DR. WOODS: Moving to the last component of the voluntary SMS
12 and future regulatory SMS, Mr. Wright, please describe how Boeing
13 applies safety -- the safety promotion foundation.

14 MR. WRIGHT: Absolutely. I think a slide would help on this
15 one, if we could please pull up Boeing slide 10. Thank you. So
16 we think about safety promotion. We, through our benchmarking,
17 have categorized it into training for SMS, and then promotion of
18 it. And there's different communication channels that we use for
19 those.

20 And from a training standpoint, you can see -- is my mic
21 working okay? It seems a little quiet on my end. I don't think I
22 can get closer. I'll keep going. Thank you kindly.

23 So you can see that there's role-based training. That's
24 listed on the slide for managers, for employees, around reporting.
25 There's leaders teaching leaders is where -- deploying just

1 culture, things of that nature. And then we have an all employee
2 training that's brand new around positive safety culture.

3 From a promotion standpoint, there are various channels,
4 things you would expect, company newsletters, different stories,
5 things like that. But I also want to point out something that was
6 mentioned yesterday, employee engagement teams and employee
7 involvement teams. So these are teams of employees that meet
8 weekly to -- all teams, to talk about safety items in their area
9 or hazards and talk about things that need to be elevated or
10 handled locally.

11 We also have a program called a safety champions program, and
12 we've had several hundred people through that now, which is a week
13 long program that has people from all aspects of Boeing. We have
14 union members, we have different folks from engineering, we have
15 finance, HR, what have you. And that program is open to people
16 who have an interest in becoming part of SMS in their local area.
17 So that's called the SMS champions program, and that's a powerful
18 spot, where we'll developing people with the capability to lead
19 safety risk management activities and further promote locally.

20 DR. WOODS: So how do you know all of that's working?

21 MR. WRIGHT: Very good. Is it too close? All right. I was
22 taking the previous coaching too literally. Sorry.

23 So a few ways to know it's working. Culture's a challenging
24 spot to measure. There's a lot of schools of thought on it. But
25 one element is we look at hazard reporting, through our different

1 systems for employee safety, personal safety, that's OSHA type,
2 and also through our Speak Up process.

3 We also do surveys with employees. So we've conducting pulse
4 surveys since 2021 across tens of thousands of employees at this
5 point to understand, with very specific questions around quality
6 and safety, and things like schedule pressure, things of that
7 nature. So retaliation's part of those surveys.

8 So part of the feedback loop to know if it's working, the
9 employee reporting for Speak Up, I look for year over year
10 increases in the quantity of Speak Ups. And we're definitely
11 seeing that, year over year. You know, if we look at the
12 trendline through it, it's anywhere from twice as many from the
13 previous year to several times as many from the previous year.
14 Right now, we're well over 2,000 year to date through Speak Up.

15 The element s of the OSHA type employee reporting, that's a
16 more mature initiative that I used to lead, prior to this role.
17 But that reporting is higher. And -- but I look for year over
18 year improvement in reporting as a key measure. And then -- from
19 a promotion standpoint. That's people understanding they need to
20 report hazards. There's evidence there.

21 And then the survey feedback is really key, I think. And,
22 you know, part of that feedback, we actually changed and updated
23 our antiretaliation policy through some of that survey feedback as
24 we've gone along our journey. So those are the two main levers I
25 look for.

1 DR. WOODS: We will talk a little bit more about feedback in
2 a moment. But before we get to that, how does Boeing define
3 positive safety culture?

4 MR. WRIGHT: Happy to talk to that. The -- we follow the
5 positive safety culture methodology, that's an industry standard
6 through James Reason's work. Some of you may know of his work.
7 He's a decorated aviation safety professional. And it has five
8 elements. The -- it's a reporting culture, a flexible culture, a
9 learning culture, an informed culture, and a just culture. And we
10 need to have all of those.

11 And I've learned a lot benchmarking airline ASAPs. I've had
12 the very good fortune to sit in on a few ASAPs at airlines and
13 understand what that looks like. And those are the five elements
14 that we have for our program.

15 DR. WOODS: So what are some examples of positive safety
16 culture or positive safety culture behavior that you would expect
17 from touch labor?

18 MR. WRIGHT: I would expect touch labor to report hazards,
19 and what we want to see -- and expect is the wrong word, because
20 you can't expect somebody to feel a way. But what we want to see
21 is employees reporting good faith mistakes without fear of
22 reprisal. And in that way, that unlocks the rest of that whole
23 positive safety culture system, because that allows the learning,
24 the informed part. Flexible is about change. And it all comes
25 down to employees feeling safe to report.

1 DR. WOODS: Same question, but let's say for tier one
2 managers. What examples of positive safety culture behavior would
3 you expect from them?

4 MR. WRIGHT: This is part of our implementation. In a just
5 culture, we need first line managers to think differently when
6 they're seeing behavior that is not aligned with our policies and
7 procedures.

8 And there's a model that James Reason, we follow that model,
9 too, has, and it's part of our safety culture guiding principles
10 that we're deploying to our managers, to help them understand, is
11 this a -- you know, it gets through things like is this a
12 malicious act? Is this a reckless act? Would other people in the
13 group do the same act? What's the motivations? Was it for
14 personal gain, for organizational gain?

15 And it helps you walk through, and this is what I would
16 expect our first line managers to do in our just culture program,
17 to make sure that we don't have employees go into a proactive --
18 corrective action, a punitive part of our processes, unless it was
19 part of that early on -- part of the rules that we've learned from
20 the airlines, you know, reckless behavior, things like that, or
21 malicious behavior.

22 And there's very set rules for that. And what that does is
23 it starts to build that trust that employees can come forth. And
24 one of the ways that I think we'll know we're getting there is
25 when employees report their own mistakes.

1 DR. WOODS: As the manager overall, or the vice president for
2 the program, how confident are you that Boeing's touch labor
3 employees recognize what a positive safety culture is and can
4 adhere to these behaviors?

5 MR. WRIGHT: This is a new space for us. I think what it's
6 going to take is employees seeing repetition. You know, we talk
7 about the triparty agreement with the event review committee.
8 That's quite new in our space, and we're just starting to get some
9 repetition there. So I think we're at the beginning of that
10 journey.

11 DR. WOODS: Given that safety promotion as a whole is a
12 process used to communicate, develop, and sustain safety within an
13 organization, how would you rate the overall effectiveness of this
14 foundation of your SMS at this point in the voluntary SMS?

15 MR. WRIGHT: Sure. I would say that our improvements are on
16 the right track from a trajectory, but the magnitude clearly needs
17 to move faster. So what I mean by that is, like, Speak Up
18 reporting year over year, that needs to increase much more
19 quickly. And our 90 day plan is all about accelerating that,
20 feeling like these are the right actions we need to take to
21 accelerate. But my short answer to the question is these are the
22 right things to implement, we need to implement more quickly.

23 DR. WOODS: My next question is for Mr. Catlin. How would
24 the IAM describe the safety culture for its members currently on
25 the production floor?

1 MR. CATLIN: I guess one of the things that, from my
2 perspective, and from the IAM perspective, is that Boeing's been
3 around for over 100 years. These should be things that have been
4 part of our Boeing culture for the last 100 years.

5 Prior to the McDonald Douglas Boeing merger, this was a
6 family. Boeing, the IAM, machinists, we built airplanes to the
7 highest standards ever seen. We built safe airplanes. There was
8 a safety culture. There was a culture of people working together
9 to accomplish a common goal.

10 Since the merger of McDonald Douglas and the Boeing Company,
11 all of this that we're talking about is basics. If we see
12 something, we say something. That has not been my experience at
13 the Boeing Company. I've heard this term, just culture, being
14 thrown around at the Boeing Company for the last several years.

15 This safety management system, and Speak Up, going back to
16 2020, I have a FOIA request that I received from the FAA, and they
17 say -- it states, based on FAA interviews with the complainant and
18 the Boeing personnel, and review of Boeing's PP&P, including the
19 BCA SMS manual, and ASRs, the FAA did not find any requirements
20 related to how the issue identified in an ASR are to be addressed
21 or defined -- defining what constitutes an adequate response to an
22 ASR.

23 And I realize this is from 2020, but an adequate response to
24 an employee safety concern at the Boeing Company should be to
25 address the safety concern. An awful lot of what I had brought to

1 the Boeing Company through Speak Up, that I ended up having to
2 take to the FAA through hotlines, should have been addressed by
3 the Boeing Company, and they were not until the FAA ruled that
4 there was a violation. This is something that has puzzled me for
5 a long time, as to why we have to have this contentious
6 relationship instead of just doing the right thing.

7 So I have -- it all sounds very good. It sounds really
8 great. In action on the factory floor, it is not what it appears
9 to be here in this meeting.

10 DR. WOODS: So to be clear, Mr. Catlin, I'm asking about how
11 does the IAM perceive the behaviors of touch labor in accordance
12 with a positive safety culture on the factory floor?

13 MR. CATLIN: Well, I think that again, as we spoke about
14 yesterday, we have a very large majority of new hires at the
15 Boeing Company that have -- you know, one of the things that was
16 just spoken about is that back in 2020, there was an
17 acknowledgement of the throughput through Boeing's training.

18 For the last several years, we've been seeing 150 to 200 new
19 hires coming in a week. Boeing's training, in foundational
20 training, has been working with upwards of 800 people working
21 their way foundational training at a time. The people who have
22 been going through foundational training, right up until the
23 January 5th event, were being cut loose to the floor with very
24 substandard training.

25 I don't know that our manufacturing and quality personnel,

1 our touch labor on the floor, truly have an understanding of
2 Boeing's SMS and the safety culture and everything else, because I
3 don't believe the training was provided to them when they came in.

4 DR. WOODS: So independent of Boeing, what is the union doing
5 to get involved in promoting safety culture amongst your union
6 members on the factory floor?

7 MR. CATLIN: We are continually out there having
8 conversations with our members. I personally am on the factory
9 floor on a regular basis, having shop floor meetings and
10 conversations with our members. The problem is we -- again, we
11 don't have a seat at the table.

12 DR. WOODS: Do you feel that just because you do not have a
13 seat at the table, you are unable to influence your members?

14 MR. CATLIN: It's not a matter of we're not able to influence
15 our members. We do hold our monthly union meetings. We do have
16 our Aeromechanic Newspaper, where we do run informational stuff in
17 those. But to call our membership together, we're talking 32,500
18 members. We would have to hold our union meetings in T-Mobile
19 Park, like we just did for our strike sanctions event.

20 DR. WOODS: But you do have meetings, and you do have a
21 newsletter. So again, what types of issues do you discuss in
22 those limited forums that you do have that help to encourage a
23 positive safety culture?

24 MR. CATLIN: We run a lot of articles in our Aeromechanic
25 that talk about things that deal with safety, things where we have

1 had an impact on safety around the workplace. And we -- to add to
2 it, we also worked through to get this triparty agreement that
3 gets us a seat at the table, so that our members, when they do
4 file Speak Up reports and have concerns, we have IAM members who
5 are reviewing those concerns.

6 DR. WOODS: There are a lot of different companies and a lot
7 of different elements that go into a piece of sheet metal becoming
8 an airplane. There's a lot of different hands that touch that
9 process. Who ultimately should be involved, not responsible for,
10 but should be involved in creating a positive safety culture,
11 according to the union?

12 MR. CATLIN: Everybody.

13 DR. WOODS: Okay. Thank you.

14 Mr. Wright, we have talked a lot, extensively, actually,
15 about Boeing's Speak Up plan -- program, sorry. And I don't want
16 to go into all of those details again, because I do feel like a
17 lot of it has been discussed. Some of the points I want to make
18 -- I won't have you describe the process again, I feel like that's
19 been done adequately. But who ultimately has oversight for that
20 process?

21 MR. WRIGHT: Oversight fits in two pieces. One is the
22 facilitation of the process, to make sure that the Speak Ups enter
23 into the process, and get assigned, and move through the system at
24 the right rate, depending on the Speak Ups. There's an oversight
25 body. And then there's the different organizations around the

1 company that are responsible for addressing the Speak Ups, which
2 tend to be local groups. They're varied.

3 So the Safety Office provides the oversight of the process,
4 and then we do raise up any Speak Ups that are out of process, if
5 they're not meeting timeline, or not having adequate closure. And
6 this has been in place for probably about 14 months, just to get
7 the timeline. We bring those to the CEO of the business unit, and
8 that's done on a every week basis, and it goes through -- no, it's
9 every other week, sorry. We had a cadence change.

10 And the leaders for those areas, the senior leaders, have to
11 describe what's being done to make sure that any Speak Up that's
12 not being addressed at the right speed or adequately, what's being
13 done to address that.

14 DR. WOODS: Again, we've talked a lot about the process, and
15 I've read through your BPI on Speak Ups, and I feel like I have a
16 good understanding of what happens after it's submitted. But I
17 want to talk a little bit more about the tactical level of how do
18 you -- how does a mechanic actually submit. Walk me through that
19 process, please.

20 MR. WRIGHT: Sure. The mechanic goes to the shared
21 workstation, pulls up, you know the Boeing front page, comes up on
22 everybody's workstation. You might have to click on the Boeing
23 home button. And then Speak Up is an icon right on the front
24 page. You click on your Speak Up. And then -- and I'll tell you
25 from personal experience, I use the system -- you go ahead and

1 type out what element you're concerned about. You know, for me,
2 maybe I'm writing a process hazard.

3 And then I have the option to pick anonymous or confidential.
4 If I pick anonymous -- or sorry, if I pick confidential, my
5 employee number, they call it a BEMS ID, goes into the system so
6 that a trained person can talk to me and ask me if I want to be
7 part of the solution or if I want to just remain confidential. If
8 I click anonymous, a zero goes into the field where the employee
9 number would be. You can't see that, but that's what happens in
10 the system, for anonymity.

11 And then you hit send, and it heads off. We -- now, we --
12 that is prior to the accident. Post-accident, we're adding a
13 couple fields in there to help make sure that we get hazards
14 addressed more quickly. So it gets into the what type of hazard
15 and some location information to help us triangulate the resources
16 better. Employees don't have to fill it out, but it's helpful if
17 they do. There, it gets into the process that I think you've
18 looked through.

19 DR. WOODS: So we heard from Spirit earlier, and they have a
20 similar process. I think they called it 360.

21 MR. GREG BROWN: Yes, Quality 360.

22 DR. WOODS: Quality 360. Thank you for that.

23 MR. GREG BROWN: Yes.

24 DR. WOODS: But it sounds like unlike theirs, which is
25 accessible from anywhere -- is that accurate? And by anyone?

1 MR. GREG BROWN: Yes. That's correct.

2 DR. WOODS: Does Boeing have that same level of
3 accessibility, to access their Speak Up program?

4 MR. WRIGHT: We do have a QR code, but it needs to be a
5 device inside the system.

6 DR. WOODS: Do you have any concerns at all in trying to
7 maintain anonymity, or anybody who would want to do so, about
8 having a feedback process that's only contained within the
9 internal system?

10 MR. WRIGHT: Always willing to consider new ideas for sure.
11 But I -- where I see the trust really being built is through our
12 actions and through repetition. If we tell people they're
13 anonymous, and through repetition, we have thousands and thousands
14 and thousands of Speak Ups, nobody's anonymity is compromised, I
15 think that's how we build trust with the floor, is through action.
16 I -- we can tell them that it's anonymous because it's outside the
17 firewall. I don't know if that builds trust as much as actions.
18 But I still am open to ideas.

19 MR. SILVA: And Paul, if I may, Dr. Woods, based on some of
20 the feedback that we had received post-accident in the last few
21 months, one of the sub elements of our plan is to look at the
22 reporting system that we use for Speak Up and see if we can make
23 other technology enhancements to address some of the things you're
24 bringing up as far as how to help make it more accessible, like
25 Spirit has discussed, but also help increase that level of

1 anonymity.

2 DR. WOODS: So if a change is made as a result of a
3 submission, let's say it's anonymous, and not somebody who's put
4 in their information so that they're talked to, how is that change
5 communicated back to the factory as a whole?

6 MR. WRIGHT: That's a good one. The way that we approach
7 that -- and I should say that even an anonymous employee gets a
8 URL that they can click on, or have their -- have anybody click on
9 to see the status of that Speak Up. It's a one way look.

10 But the way that we found the best is to -- either through a
11 broad enough set of crew meetings, because we don't want to have a
12 conversation that would imply that we know who that person is. So
13 if you have just a single crew and say, you know, hey, we're
14 making this change, that might make somebody nervous. So we do it
15 a little more broadly.

16 And also through organizational newsletters and bulletins and
17 things like that, we communicate changes from Speak Up through
18 those. And those are in a way that gives the person more security
19 that their anonymity has been protected.

20 DR. WOODS: Going back to you, Mr. Catlin, what role does the
21 union play in aiding their members through the feedback process?

22 MR. CATLIN: I'm not sure I understand the question, aiding
23 our members through Boeing's feedback process?

24 DR. WOODS: Yes. So if somebody has a question, let's say
25 you have a member who comes to their union representative and says

1 I have this problem, I don't know what to do with it next. I
2 would like to provide feedback. Go.

3 MR. CATLIN: So me personally, I get contacted on a regular
4 basis by our members who have issues. And I usually always direct
5 them to the Speak Up process first. And I walk them through the
6 process. We have a lot of members that don't even know what Speak
7 Up is. They've -- I'm sure that there's been stuff put out. I'm
8 sure that they have seen it. But they don't understand the
9 process.

10 So I help them get into the system, file the Speak Up, tell
11 them to keep their URL number so they can gain access to it. But
12 beyond that, we don't really have a role in the feedback loop with
13 the Boeing Company.

14 DR. WOODS: I recognize that. But you have a better
15 understanding of what to do than maybe that mechanic that's on the
16 floor. So again, as you put, you would help the person through
17 the process. How confident are you that all of your union reps
18 out there are doing the same, should they be asked from one of
19 your members?

20 MR. CATLIN: Not confident. I mean, we have many of our
21 business reps, who were business reps before Speak Up rolled out.
22 So to them, they would not have the knowledge.

23 DR. WOODS: Going back to Boeing, Mr. Wright, what role do
24 the touch labor technicians, the mechanics on the factory floor,
25 have in ensuring a successful SMS?

1 MR. WRIGHT: Really, several places has reporting like we've
2 noted. That best source of information at -- I think arguably in
3 our whole safety assurance system is the employees. They see
4 hazards before anybody.

5 Hazard resolution is also a key part of it. We do find when
6 the employees are part of the solution, so like in a Speak Up,
7 where it's confidential, and the employee agrees to be part of the
8 solution.

9 And I should be clear, I have a lot of Speak Ups that start
10 with my name is, and I want to be part of this. It's definitely
11 -- it goes in many places. Those are when we have the best
12 solutions, is with the employee involved, making sure that the
13 solution makes sense, and it's not something that is developed
14 with some side team, and tries to solve a problem without having
15 constant feedback on it.

16 And that's definitely an element of it, is the reporting, but
17 also part of the solution in this -- work safety risk assessment
18 process that was mentioned. When we go to the airplane and talk
19 directly with the mechanic and ask the human factors questions
20 around is the tools or equipment there, can we keep the employees
21 safe, can we keep the airplane safe, and talk about things like
22 access, and how many people, and is there going to be overbuild,
23 is this your fourth consecutive weekend of overtime, things like
24 that. We get a much better answer with that direct teaming.

25 DR. WOODS: My last set of questions is the transition that

1 you're about to undertake. Can you please explain the process for
2 how Boeing intends to transition from a voluntary to a regulatory
3 SMS program?

4 MR. WRIGHT: Certainly. The -- maybe just to help me with
5 this, we'll pull up slide -- or Boeing slide 7, please. But I
6 don't have to wait for the chart too long. We're evaluating the
7 rule right now. So we certainly have a team that's in my
8 organization evaluating the rule and looking for gaps to our
9 voluntary program, between the voluntary and the regular --
10 regulated.

11 And as we see those gaps, we're putting our plan together
12 that's due, as Dr. Eick mentioned. The primary example of a gap
13 that I've seen so far, really the main gap, is the reporting
14 hazards to interfacing organizations that Dr. Eick also mentioned.
15 This makes a lot of sense.

16 And when we think about that, we already have a way to report
17 hazards that are even-based. I talked about that with
18 notification of escapement. What's being added is the proactive
19 part of the SMS, the change management part. Things are changing,
20 we want to see these things, and how do we get our hazards
21 understood?

22 So we are part of an OEM working group, and that group is
23 tasked with making standards so that those hazards can be
24 communicated effectively and efficiently. But there's work to be
25 done, and I think that's the biggest gap, but I think it's one of

1 the most important ones that we have, is that having hazards up
2 and down the value stream understood, that's where SMS really
3 comes together for me.

4 Because as you know, supply chain comes to Boeing, that could
5 be an issue, Boeing to an operator or an airline, that could be an
6 issue, airlines to passengers, that could be an issue. And we all
7 have to have a flow of hazard knowledge to respond to this in the
8 best way.

9 DR. WOODS: Will the personnel that are currently responsible
10 and have the most knowledge about your voluntary SMS change during
11 this transition time?

12 MR. WRIGHT: No. My organization is going to be
13 transitioning from an implementation organization to more of an
14 oversight organization. But we will be including others more
15 broadly, because managing the full set of risks takes many hands.

16 DR. WOODS: And this might have already been asked --
17 answered when we discussed safety policy earlier, but how does
18 Boeing intend to assure that all levels, all the way down to the
19 touch labor, are going to understand their roles in the regulatory
20 SMS?

21 MR. WRIGHT: I see this through a few areas, and I might see
22 if you could help me a little here, Hector, too, as we go, but
23 certainly training and promotion. But as we think about that
24 regular interaction with the production floor, that close coupled
25 nature with the quality management system. That's how they get

1 information today. And we don't want to confuse people with lots
2 of different channels of information, so we try to line up on
3 using our existing systems and embedding SMS into how they work.

4 So they'll be training, but I think it's also going to be
5 part of our regular quality management system, engagement with
6 employees. Anything to add?

7 MR. SILVA: Well certainly, the two compliment each other.
8 I'll add specifically, we launched a new SMS and positive safety
9 culture training course in our foundational training. So far,
10 we've had about 400 folks go through it. We've gotten really
11 positive feedback so far. That's something we want to scale. But
12 that's an opportunity to catch folks not just at the beginning of
13 their Boeing careers, but we also need to look at how we implement
14 recurrent training, and then make sure we catch folks that have
15 all come onboarded here recently as well.

16 DR. WOODS: This question is for the FAA essentially, and I'm
17 going to actually start back to you, Mr. Slagle, because I had
18 asked you -- previously when we had met, I had asked you this
19 question. At that time, when you were helping aid Boeing through
20 their transition to a voluntary SMS, did you feel that they were
21 poised and ready to transition to what would eventually become the
22 regulatory SMS?

23 MR. SLAGLE: Yes. At that time, they -- I felt they were
24 ready to transition. They had all the elements in place. Maybe
25 not fully mature and fully permeated through the entire

1 organization, but they had the basic foundation. So the
2 transition to a regulatory SMS, adding a few of the things that
3 they need to complete the organizational system description, and
4 then also putting together how they're going to complete their
5 confidential employer report summary, although there's a couple
6 things to be added, I think they're well suited to move forward.

7 DR. WOODS: And now to you, Mr. Knaup. Present day state,
8 how -- or I guess where does the FAA, right now, interact with
9 Boeing's transition to a regulatory SMS? Is there a level of
10 involvement there, or is it essentially when you're ready to
11 present to us what you have, we'll look at what you have?

12 MR. KNAUP: So we still participate, and how I previously
13 talked about, in their voluntary SMS. We are awaiting Boeing's
14 implementation plan that's mandated by the rule, and certainly
15 will review that, obviously, when it comes in, and go from there,
16 from meeting the specifics of the rule. We certainly provide
17 advice, as we always had done, since they've been in the voluntary
18 system. But for the regulated part of their SMS, we're awaiting
19 the implementation plan.

20 And then the last question I have, also for the FAA, is that
21 you have the ASIs that you have currently. They did not have that
22 responsibility. That responsibility is coming, and with that, I'm
23 sure new training. But do you anticipate a change in manpower at
24 all for your staffing levels, to provide that additional oversight
25 that a regulatory SMS might require?

1 MR. KNAUP: Yes. We certainly are increasing staffing within
2 our branch and other areas for many reasons, and one of those is
3 to ensure that we can do proper oversight of SMS.

4 DR. WOODS: Okay. Thank you. With that, Mr. Brazy, that's
5 all the questions that I have.

6 MR. BRAZY: Madam Chair.

7 CHAIR HOMENDY: Thank you very much to the technical panel.
8 Great questions. We're going to take a 10 minute break, but I
9 mean 10 minutes. So be back here at 12:40, because I'm starting
10 without you.

11 (Off the record)

12 (On the record)

13 CHAIR HOMENDY: I encourage to get back in your seats. I'm
14 serious. We're starting. And we are starting with the technical
15 panel. And let's see. I mean, I'm sorry, not the technical
16 panel, the parties. I think the technical panel is done for right
17 now. We will start with the Airline Pilots -- I'm trying to talk
18 slower so people can get in their seats, so it wasn't working.
19 Airline Pilots Association.

20 CAPT JANGELIS: Thank you, Madam Chair.

21 First question is for Boeing, Mr. Wright. Based on your
22 described responsibilities in aircraft design, we see the majority
23 of this accident is focusing on the mid exit door. We're also
24 trying to find out what worked during this accident event. From
25 an SMS perspective, how important was having two pilots on the

1 flight deck to ensure the eventual safe outcome of this flight?

2 MR. WRIGHT: I don't know that I have enough information on
3 the details of the investigation to have a real informed opinion
4 on that.

5 CAPT JANGELIS: You would agree that the two pilots did a
6 good job that day?

7 MR. WRIGHT: I think the flight crew and cabin crew performed
8 flawlessly.

9 CAPT JANGELIS: Excellent. Thank you. Post-accident, did
10 Boeing and Spirit perform a safety risk analysis on production
11 process escapes and inspections?

12 MR. ACKERMAN: Sorry. I'll start with that. We actually
13 started working through, as I mentioned in previous testimony,
14 risk analysis and actions prior to the accident.

15 CAPT JANGELIS: Okay. So it was found that post-accident,
16 that the right mid exit door, not the door in question, wasn't up
17 to perfect standards. How and where did the inspection process
18 break down, and why didn't QMS catch the deficiencies?

19 MR. ACKERMAN: I'll start for Boeing, and then I'd like
20 Spirit to add to that. We did find, on the righthand door, and
21 other airplanes in service, deficiencies that were covered in
22 testimony yesterday. I will say that is one of the driving
23 factors to us driving additional inspections, specifically of the
24 mid exit door, all other doors, and then finally the full up
25 inspection process we have in place in Wichita today.

1 CAPT JANGELIS: So is this a systemic problem that we should
2 be considering other aircraft that are in flight in service today?

3 MR. ACKERMAN: Was that question specific to the mid exit
4 door? Because the -- as a result of the accident, the mid exit
5 doors on all the Max airplanes were inspected.

6 CAPT JANGELIS: So they are safe to fly, with all of the mid
7 exit doors on both the 900 and also the Max aircraft?

8 MR. ACKERMAN: Yes.

9 CAPT JANGELIS: Okay. Thank you. What's the progress --
10 this is again for Mr. Wright. What is the progress of today's SMS
11 program with the goal of complete implementation by May of 2027?
12 Is it on pace? Do you need more time for an implementation? Is
13 it going to take right up to the deadline?

14 MR. WRIGHT: All elements are on pace, and we've since
15 applied additional resources in this space as part of that in the
16 90 day plan, which is, I think, going to bring us beyond
17 compliance. The one element around the standards being needed for
18 the alerting of interfacing organizations, I think that's the
19 pacing item.

20 CAPT JANGELIS: Okay. Thank you. And Mr. Wright, you also
21 said earlier -- you spoke about a lot of controls. Controls can
22 be as much of a problem as an air etching wall. Is including IAM
23 in the control development?

24 MR. WRIGHT: I feel strongly that anybody who uses those
25 controls -- and when we talk about controls, it's like an

1 activity, like an inspection or a piece of tooling or something
2 like that could be a control. Having direct feedback from the
3 person doing the job and the users is critical.

4 CAPT JANGELIS: Okay. So my -- I follow up with that
5 question to Mr. Catlin. Is the IAM involved in control
6 development with the Boeing Corporation?

7 MR. CATLIN: When you ask the question of the IAM, are you
8 talking about the individual members or are you talking about the
9 leadership of the IAM?

10 CAPT JANGELIS: The safety leadership, the safety subject
11 matter experts, are they involved?

12 MR. CATLIN: No. No. So in my experience, decisions are
13 made at a much higher level amongst Boeing management, and they
14 are in some way implemented and maybe communicated. But no, we
15 don't have a say in those decisions.

16 CAPT JANGELIS: So I think my next question is to Mr. Catlin
17 again. What should Boeing do to build trust in the anonymity and
18 effectiveness of voluntary reporting systems and other reporting
19 systems scattered around the corporation?

20 MR. CATLIN: Well, it's -- from my opinion, it's a cultural
21 issue. Number one, they've got to build trust with their IAM
22 machinists. What we have experienced, what I've personally
23 experienced, and many other IAM members have experienced, is that
24 they have filed Speak Up reports, and they were not at all
25 satisfied with the result of the Speak Up report, and it doesn't

1 go anywhere.

2 And so a lot of people that speak with me tell me what's the
3 point? And that's when I usually direct them, if you believe that
4 you have a concern that violates the Code of Federal Regulations,
5 file the hotline report with the FAA.

6 CAPT JANGELIS: What's concerning to us as pilots,
7 Mr. Catlin, is the fact that yesterday, you said that there isn't
8 a lot of confidence that you're being heard. And meanwhile, the
9 executives are telling us everything is on pace and everything is
10 moving forward. Any further comment on that, and should we be
11 concerned with development of aircraft today at this moment?

12 MR. CATLIN: Yeah. Absolutely. For example, there -- you
13 know, I keep coming back to verification optimization. Because it
14 was a very big event that appeared to be downplayed in yesterday's
15 hearings. But beginning back in 2017, there was a lot of
16 inspections removed from the build process without any input from
17 the IAM, either the mechanics on the floor, the quality
18 inspectors, or the leadership of the union.

19 It wasn't announced until January of 2019 that this quality
20 transformation plan was being -- was identified in the Seattle
21 Times. It was at that point that the IAM was able to engage in a
22 conversation, and was able to implement an agreement, the
23 Verification Optimization Committee, where eight members of the
24 IAM were allowed the opportunity to look into what Boeing was
25 doing.

1 And we had tons of problems. There was red warnings going
2 off everywhere. We reached out to the Boeing management. We
3 engaged in in depth conversations. When they went nowhere, we
4 wrote emails to David Calhoun. We got emails back from Ernesto
5 Gonzalez-Beltran. It did not matter. They continued to drive on.
6 They continued to remove tens of thousands of inspections until we
7 began activity by filing hotline reports with the FAA. The
8 inspections were put back on, but there was nothing done to
9 address the airplanes that were built without the inspections.

10 Now, today, there was some conversation yesterday, are we
11 going to see this happen again? It's in the process right now.
12 BPI2573 has been revised twice this year to add a note in the
13 section 3.3 that authorizes manufacturing personnel to perform
14 inspections and convey data to the quality inspector to buy off
15 the products and articles. That has been rejected at least four
16 times by the FAA, three in November of 2017, and one on May 18th
17 of 2021. But yet here we are, doing it again. And so no, I don't
18 believe that we're being heard.

19 CAPT JANGELIS: Thank you.

20 My next question is for Boeing and Spirit. Are there any
21 abnormal situations that require a mandatory irregularity report.
22 Example, like a failed inspection, something that would be
23 mandatory reported, into the management or in to the system?

24 MR. GREG BROWN: Yes. Certainly contractually, but even
25 within our own QMS. If we identify a nonconformance ourself that

1 has escaped the Spirit production system, we are obligated to
2 notify Boeing directly.

3 MR. ACKERMAN: I would concur with that answer. There is a
4 contractual requirement to notify.

5 CAPT JANGELIS: Again, another question for Boeing and
6 Spirit. When hazards are identified within your operation that
7 may impact another external organization, what is your process to
8 share the hazards and any supporting data, such as suppliers?

9 MR. ACKERMAN: I'll start with that one. If we receive --
10 and this is not unique to Spirit. If we receive information that
11 would indicate that there is a risk that is broader than a
12 specific supplier, we will take a couple different actions,
13 depending on what it is.

14 We may issue an alert that goes out to all suppliers, asking
15 them for -- just for awareness. If it's something where we need
16 definitive feedback, that we need a closed loop, we will send an
17 action that requires a closed loop information feedback, we call
18 it a compass action.

19 And then again, depending on what it is, we may reach out and
20 set up individual engagements with different suppliers, you know,
21 depending on the severity and the scope of the risk that we've
22 identified. And again, that's not unique to our interactions with
23 Spirit. That's any supplier we have.

24 DR. WOODS: And one final question, both, again, for Boeing
25 and Spirit. We're confused a little bit on what's the difference

1 between Speak Up and SHEAR, and why are there two different
2 programs that seem to be doing the same thing?

3 MR. WRIGHT: I can help with that one. Paul Wright here.
4 The SHEAR process predates Speak Up, and it's a process that is --
5 it's really a little bit like an event review committee, where you
6 have multiple entities coming together to raise up issues in the
7 safety process.

8 And as we look at the SHEAR, it's focused on OSHA type
9 issues, workplace safety. And the Speak Up process is focused on
10 airplane safety, flying public type issues. So that's why they
11 are two different processes. But employees who report into Speak
12 Up, if they have a workplace safety item, we'll get it into the
13 right spot, and vice versa.

14 CAPT JANGELIS: Okay. Thank you. No further questions,
15 Madam Chair.

16 CHAIR HOMENDY: Thank you. Alaska Airlines.

17 MR. TIDWELL: Thank you, Chair Homendy. Let's see. Got a
18 few questions, here. First, Dr. Woods, great job going through
19 that. That was a lot of detailed information, so of course it
20 changed my questions significantly, but I do appreciate that.

21 First question for Boeing, Mr. Wright. So what process does
22 Boeing have to aggregate nonconformance data, as in quality
23 control, quality assurance, airplane findings, what you're finding
24 out of your QMS, FAA findings, supplier findings to develop
25 predictive risk?

1 MR. WRIGHT: We are in, I would say, early to middle stages,
2 depending on which of those elements that you mentioned. The QMS,
3 we definitely have a lot more availability of that data to look at
4 the -- start to look at the predictive pieces of it, that type of
5 data analytics.

6 But I would say in some of the other elements we're looking
7 at, the -- when we look at things in the fleet, elements like
8 that, the event-based data, we have a very good look at trends,
9 you know, if we look at unstable approaches, things like that.

10 But it's the proactive parts where there's changes in the
11 system that those have been harder to foresee, things like GPS
12 jamming and spoofing, just as an example. That's the part where I
13 think we have some work to do. Now, from a QMS perspective,
14 Hector, would you mind commenting on that part, that interface
15 with Predictive?

16 MR. SILVA: No. Sure thing. And that was a good overview of
17 -- those are data elements that we currently track today that we
18 do aggregate up. We see them in our quality leadership reviews,
19 in our quality management reviews.

20 To the point of Predictive, we've partnered with a few sets
21 of internal resources from our IT and data analytics department,
22 as well as some external parties, around how to co-link some of
23 that data with other elements, so things like staffing, things
24 like proficiency, other parts of our system, so that we can then
25 start to do more predictive type analytics. So we're in the

1 relatively earlier stages of that, but that is something that we
2 have as part of our go forward plan.

3 MR. TIDWELL: Okay. Very good. Thank you. So according to
4 testimony, we'll stay with Boeing here for a little bit on the SRA
5 process, the undocumented maintenance SRA was initiated in March
6 of '23. Is that accurate?

7 MR. WRIGHT: Yes. That's when we first placed it on the risk
8 register.

9 MR. TIDWELL: Okay. Yet undocumented maintenance continues
10 to occur in the production of aircraft. So here's a few
11 questions. I'll just go through them singularly. What was the
12 initial risk assessment level identified in the SRA?

13 MR. WRIGHT: And just to make sure I'm understanding the
14 question, we're talking about the part removals --

15 MR. TIDWELL: Yes.

16 MR. WRIGHT: -- SRA?

17 MR. TIDWELL: Yes.

18 MR. WRIGHT: Thank you. We think of that as more production.
19 The theme that put that together, through that detailed process I
20 described, when they had been looking at that risk, that risk
21 hadn't reached a maturity level to get to leadership until
22 February of 2024. So the initial risk that leadership saw was
23 serious, and the team was working through various risk levels as
24 they did their analysis prior to that.

25 MR. TIDWELL: Okay. So at that point, there were no further

1 mitigations put in place, there was no acceptance of the risk
2 level, there was no process continuation, other than we have a
3 hazard. Is that accurate?

4 MR. WRIGHT: Yeah. That -- this really precipitated at --
5 major changes in our process, the learnings that we've had after
6 the accident. One is that the initial risk, having that full
7 analysis done for the initial risk is too long. So we've changed
8 our process, and as of March this year, and we've been doing it
9 ever since, the initial risk has to be placed within seven days of
10 the risk hitting the risk register. And so we have a dedicated
11 team overseen by myself that does those initial placements.

12 MR. TIDWELL: Okay. Thanks. That provides some clarity. I
13 appreciate that. Mr. Silva, you mentioned an increase in ability
14 to monitor quality escapes from the factory to the flight line and
15 to the front line from the factory flight line to the customer.
16 Have you established a forum to communicate, or some sort of
17 strategy to inform the customers of any common faults that you're
18 finding through the quality process post-delivery?

19 MR. SILVA: We do. I think one of the things I can point to
20 today, and this is really around how our current customers onsite
21 have all customer meetings. And so we would review overall
22 quality metrics and talk about in service findings and
23 investigations.

24 Most of the -- well, most, if not all of the issues, it's
25 really just the information that we get back from customers. So

1 if it's reported through our fleet service support, down into our
2 system, we can then look for those potential manufacturing or
3 production related issues.

4 I know that our fleet chiefs also work in sharing some of
5 that information. But certainly happy to grab any more feedback
6 on how else we can help share common findings and common
7 corrective actions.

8 MR. TIDWELL: We would like to work with you on that. Let's
9 see. Mr. Wright, do you have a safety team specifically assigned
10 with you to drive change based on employee reporting and what
11 you're seeing in your data and trends?

12 MR. WRIGHT: Yes. The -- there is a team that is my
13 organization that's the team that oversees the safety risk
14 management part. There is a dedicated team that has the -- has
15 reporting from employees process. But I would think of it as
16 beyond that. Because as hazards are mitigated, that's really done
17 by the employees of Boeing in those respective areas.

18 MR. TIDWELL: Okay. Very good. Thank you. Do you have a
19 simple example of maybe a report that you got on the production
20 line where you implemented change, and how that process worked,
21 and how it was given back to the front line as a thank you? Any
22 sort of recognition?

23 MR. WRIGHT: It's definitely part of our process to have a
24 thank you that comes in. I think with recognition, there's always
25 more recognition that I think all of us should do every day.

1 The -- an example I have is one where we were going to do
2 some engine work on an aircraft, and the crew wasn't available,
3 and the airplane was scheduled to be moved, and a Speak Up was
4 written about crew availability, and it's a specific crew. And
5 with that information, because that wasn't fully known or
6 understood, the airplane was held and -- until that crew was back
7 in order.

8 And it was helpful to have the Speak Up to know what was
9 happening with the crew. And that was one where it -- the Speak
10 Up system brought it into the safety space quickly.

11 MR. TIDWELL: Okay. That's it for this round. Thank you.

12 CHAIR HOMENDY: Thank you very much. Association of Flight
13 Attendants.

14 MR. HEIPLE: Thank you, Chair. AFA has experience with
15 safety programs that support SMS at the carrier level, ASAP, or
16 Aviation Safety Action Programs, are in place at many AFA
17 carriers, which provide flight attendants the opportunity to
18 report safety concerns and events, including unintentional
19 regulatory and policy violations. They can do that confidentially
20 and without discipline.

21 These voluntary self-reporting programs, as well as peer-to-
22 peer audit programs, like LOSA, Line Operation Safety Audits,
23 provide essential SMS inputs that are -- that contribute to
24 numerous safety improvements. Just one example, as a result of an
25 ASAP report, one AFA carrier was able to correct the inflation

1 lanyard packing on emergency rafts, which could have led to the
2 raft inflating inside the aircraft.

3 The Speak Up program has been well covered in questioning.
4 Thank you, Dr. Woods. However, we would like to hear a bit more
5 from Mr. Catlin about Speak Up reports, which appear to have many
6 of the attributes of our ASAP programs.

7 Mr. Catlin, does the Speak Up reporting program include
8 stakeholders from labor, the FAA, and the company, who meet
9 collectively to reach a consensus on reports and collective action
10 recommendations?

11 MR. CATLIN: Well, that is the design of the triparty
12 agreement. So the triparty agreement came into play because we
13 were having issues with Speak Ups. And we were able to get the
14 triparty agreement signed by both the -- or all three, the union,
15 the company, and the FAA, that all three would have an opportunity
16 to review Speak Ups, and they would all agree on the closure of
17 those Speak Ups.

18 The problem that we are running into is that only a portion
19 of Speak Ups are making it to our two representatives. We have
20 two people, two IAM members who are on the Event Review Committee.
21 And when a Speak Up is filed, it goes to Boeing, and Boeing
22 triages it, and they make a determination on which Speak Ups will
23 go to the ERC, or the Event Review Committee.

24 So a portion, I don't know what that portion is, of all Speak
25 Ups that are filed actually make it to our people to review. And

1 of course when we get them, they are redacted, sometimes very
2 heavily redacted. So it's not an even participation in the Event
3 Review Committee, no.

4 MR. HEIPLE: Well, given that response, I'm going to assume
5 that you're not -- you don't have a direct access to the reports
6 and the reporting system. You can't just log in and look at the
7 reports as --

8 MR. CATLIN: No.

9 MR. HEIPLE: Okay. Do IAM members feel comfortable utilizing
10 the program because they are confident that doing so will not
11 subject them to discipline or retaliation? I know that's
12 subjective, a bit.

13 MR. CATLIN: It's very subjective. I can't speak to what our
14 32,000 IAM members feel or believe. I know that from some of the
15 feedback that I have received, we have members who will not use it
16 because they don't believe anything within a Boeing system is
17 confidential. And so, you know, we do have a portion that just
18 won't use it. But we do have a portion that are using it.

19 And we are seeing some positive changes through some of those
20 Speak Ups. I know of several that our -- one of my quality
21 inspectors are processing. I don't know that I agree with the
22 channel that, you know, that it went through. But he is seeing
23 positive change.

24 So, you know, without seeing all the data, without seeing how
25 many Speak Ups are being filed versus how many are being sent to

1 our Event Review Committee, it's -- everything is subjective.

2 MR. HEIPLE: Thank you. We've found that complete
3 transparency is an essential part of these types of programs and
4 our SMS. Can you tell me, does the Event Review Committee, are
5 they empowered to investigate events, with the company and with
6 the FAA, and recommend corrective actions? And do you believe
7 those corrective actions are given appropriate consideration for
8 implementation by Boeing?

9 MR. CATLIN: Is that to me?

10 MR. HEIPLE: It is.

11 MR. CATLIN: No, they're not. You know, they -- when they
12 get the report, the names of the person who filed it have been
13 redacted out, so they don't have the opportunity to go and meet
14 with the person who filed the complaint or the concern, to have
15 the conversation to find out what their concern genuinely is.

16 I do know that from my own experience of Speak Up, because I
17 personally have filed numerous Speak Up reports, I will receive a
18 notification that my Speak Up was received. I will then receive a
19 phone call from somebody within the Speak Up program, and I will
20 meet with them, whether it be by phone or in person. We will have
21 a discussion about what my concern is, where I can explain all the
22 ins and outs of my concern.

23 And then at some point down the road, I will get notification
24 that it was -- I might get notification that it was closed. It
25 might just be closed without notification to me.

1 Again, it's been a while since I have filed one, and the
2 process is maturing. But I do know that if you don't keep track
3 of the URL number that you receive when you file the Speak Up
4 report, there's no way to gain access back to it, or at least
5 there wasn't. That may have changed now. But there was no way to
6 gain access to the investigation to determine what the status is
7 of your concern, whether it was open, still under investigation,
8 or it had been closed.

9 MR. HEIPLE: Thank you. And I know that this isn't supposed
10 to be personal, but I am finding it a little personal this
11 afternoon and this morning. One of my friends was one of the
12 flight attendants on the aircraft. The next morning, when I
13 arrived at the aircraft for the investigation, I looked at the
14 tail number and discovered it was the last aircraft that I worked
15 as a flight attendant with one of my best friends. And I just
16 know that had this happened at a different altitude, it could have
17 been very different for many of us.

18 I'll continue to my next question. On Panel Two yesterday,
19 it was highlighted that the time pressure Spirit Employees felt to
20 get things done quickly, and potentially work overtime to
21 accomplish tasks so that they could get Boeing -- out of Boeing's
22 way, in our experience as operators, this can lead to errors
23 caused by rushing and by fatigue.

24 During this hearing, we heard from leaders at Spirit tell us
25 how easy it is to release contract employees from their

1 employment. We also heard how readily discipline was brought up
2 as a corrective action when things didn't go right. Because this
3 is a public hearing, these statements aren't just indicative of
4 the work environment. They actually are now part of the work
5 environment that you've created for these employees.

6 Are your employees reporting safety concerns at a rate
7 similar to that of Boeing employees in similar roles? And if you
8 could explain your efforts to implement just culture for Spirit
9 contractors working at Boeing facilities, it would be appreciated.

10 MR. GREG BROWN: Yes. I don't know the numbers of exactly
11 who at Boeing reports these safety reports. I do know that since
12 2023, I think it was in the second quarter, when we implemented
13 Quality 360, we have seen a consistent, quarter by quarter growth
14 of reports, which is exactly what we'd be looking for. In
15 addition to that, the amount, or the percentage of deidentified
16 reports, or people who are choosing not to remain anonymous,
17 continues to increase as well, which to me, is good.

18 From a just culture perspective, there's a lot to unpackage
19 with just culture. I do believe very strongly that as we move
20 forward into our SMS, a key part of the trust related to this is
21 that discipline has to be something that's absolutely reserved for
22 intentional acts, reckless behavior, for example, willful
23 disregard. But there's a lot to learn from employees involved in
24 making mistakes, and we need to be using them as part of the
25 investigation to learn from it.

1 MR. HEIPLE: Okay. I'm going to yield the 45 seconds I have,
2 and hopefully there's another round.

3 CHAIR HOMENDY: Yes. Next -- oh. I -- Federal Aviation
4 Administration, you are next.

5 MR. GERLACH: Thank you, Madam Chair.

6 For Boeing, can you describe the type of Speak Up reports
7 that are not approved for the triparty review?

8 MR. WRIGHT: Yeah, I can. They type of Speak Up reports are
9 typically process improvement type reports, where it's not really
10 -- there's not a behavior to evaluate in that. So those are the
11 type. We keep it to ones where there is some type of mistake or
12 something like that that has to be evaluated. We try to model it
13 on the self-reporting ASAP.

14 MR. GERLACH: Okay. Thank you. And again, a couple more
15 Boeing questions. Regarding command media changes, has Boeing
16 considered process, procedures, workplace coaching, or other in-
17 person formal activity prior to revised rollout?

18 MR. SILVA: Yes. Yes, we have. And as a matter of fact,
19 with some of the changes that we're embarking upon through the
20 comprehensive plan, we've also established an advisory board that
21 includes the FAA as well. We need to get as much feedback on
22 changes before we go implement.

23 MR. GERLACH: Thank you. Can you describe BPSM?

24 MR. SILVA: Yes, I can. BPSM stands for the Boeing Problem
25 Solving Model. At a high level, it is basically a structured way

1 of going through identifying a problem, putting in containment,
2 using information to go conduct an investigation and determine
3 root cause, so root cause analysis. Based on that root cause,
4 evaluating different countermeasures, and then selecting a
5 countermeasure. And then once that countermeasure is selected,
6 implementing the countermeasure to in fact establish that it
7 addresses the root cause of the problem, and then what we call
8 sustain the gains, which is ongoing monitoring to ensure the
9 problem is resolved.

10 MR. GERLACH: And thank you for that. Is BPSM, is that a
11 component of SMS, QMS, or BSMS?

12 MR. SILVA: It's a component of our quality management
13 system, yes.

14 MR. GERLACH: And in that process, is the FAA a component to
15 BPMS?

16 MR. SILVA: It can be. It can be. Certainly, if there are
17 issues that are identified by the FAA during, say, an audit, we
18 would respond with a BPSM to, in a very structured way, go through
19 our problem solving process. It could also be instances where
20 we're trying to do an internal item, and we could voluntarily
21 disclose that or let the FAA know of a change based on a BPSM.

22 MR. GERLACH: Thank you. And SRAs, does that fit into the
23 BPSM process as well?

24 MR. WRIGHT: We will often, if we see repeat BPSMs for the
25 same issue, that's when the safety risk assessment gets activated.

1 And we do pull the data that the team did just to, you know, not
2 start from complete scratch. But it's for repeats, is when it
3 triggers into the SMS SRA.

4 MR. GERLACH: Thank you. And you all mentioned the
5 accountable executive at Boeing. Who is that?

6 MR. WRIGHT: Today it's Dave Calhoun.

7 MR. GERLACH: Okay. Thank you. And this -- the next two
8 questions, these are really Boeing and Spirit questions. You
9 talked about the internal audit data. Does the FAA have access to
10 the internal audit data?

11 MR. ACKERMAN: Are you asking about the -- where we have
12 people onsite in Spirit's QMS, auditing Spirit?

13 MR. GERLACH: Correct.

14 MR. ACKERMAN: I would have to validate that. Believe we've
15 shared in the past. In terms of access to a system, I don't
16 believe so. In terms of have visibility of the data, yes, I
17 believe so.

18 MR. GERLACH: Okay. Thank you. With regard to metrics,
19 inputs, corrective actions, what actions are Boeing and Spirit
20 taking to improve corrective action and sustain them?

21 MR. ACKERMAN: So we have an onsite team at Spirit, and as
22 I've mentioned in previous testimony, we've expanded that team
23 pretty substantially. There's certainly an inspection component
24 of that onsite team, but there's also a team working more on
25 quality management system, part of the team that does the audits.

1 But part of that team also does work directly with Spirit, as Greg
2 Brown discussed before, to develop and implement root cause
3 corrective action, and then monitor that root cause corrective
4 action, both with formal audits and with floor walks and direct
5 engagement with the teams implementing that corrective action.

6 MR. GERLACH: Thank you.

7 MR. GREG BROWN: Yeah. And if I could add --

8 MR. GERLACH: Sure.

9 MR. GREG BROWN: -- just from the Spirit side of this, I
10 think ensuring that we're not accepting corrective actions in the
11 form of simply communication or crew briefings and such, making
12 sure that we're actually incorporating fixes, either into the
13 engineering documentation, the planning, policies and procedures,
14 training, just something so it doesn't exist for just a moment in
15 time, and then frequently review those corrective actions at the
16 senior leadership level for -- you know, until we feel like the
17 matter is fully closed.

18 MR. GERLACH: With regard to the Speak Up program, and I
19 think you may have said this, but it sounds like it's a very
20 internal program. Can Spirit participate in the Speak Up? Do
21 they have the ability to access it and write a Speak Up?

22 MR. WRIGHT: Not at this time.

23 MR. GERLACH: Okay. Thank you. And then I wanted to kind of
24 set the record straight. We -- Dr. Eick mentioned that there was
25 a public law, that he couldn't remember specifically what the law

1 was.

2 Dr. Eick, this was the Airline Safety and FAA Extension Act
3 of 2010. Do you recall what the public law was?

4 DR. EICK: That's public law 111-216.

5 MR. GERLACH: Okay. Great. Thank you very much.

6 And then one question for my colleagues with the FAA. Has
7 the FAA observed an increase in whistleblower or hotline
8 complaints?

9 MR. KNAUP: Yes. We've received -- we've had an increase in
10 hotline and whistleblower complaints since the accident.

11 MR. GERLACH: Thank you.

12 And one more question for Boeing. Now that the SMS is
13 mandatory, what gaps have you identified in your voluntary SMS,
14 and how will your SMS be different going forward?

15 MR. WRIGHT: I'll refer to the previous gap. I won't go into
16 details. But the -- alerting interfacing organizations to hazards
17 is the primary gap. An additional element that I can add is we
18 will be under formal audit, now.

19 MR. GERLACH: Okay. Thank you. And again for Boeing, how
20 would you describe the working relationship between Boeing and the
21 IAM, and are you looking to try to strengthen that relationship
22 regarding QMS, SMS, and safety culture?

23 MR. SILVA: Yes. We're always looking to try to strengthen
24 that from a QMS, SMS, and overall culture perspective.

25 MR. WRIGHT: I definitely agree. I think things like the

1 triparty agreement are good steps in that direction.

2 MR. GERLACH: Thank you. Do you believe your workforce,
3 engineers, technicians, your quality folks, management, do they
4 understand their role and responsibility within the quality
5 management?

6 MR. SILVA: Back in 2022, we sent out a QMS 001, or a
7 fundamentals QMS training to help address just that. We had
8 received some feedback from surveys back during that time that
9 some folks had a harder time articulating their role. And so we
10 sent that out, we used surveys to monitor and get feedback, and
11 that's a continuing part of our QMS promotion as well, is making
12 sure that folks understand.

13 And I didn't do a very good job at the beginning highlighting
14 those four elements of say what you do, do what you say, prove it,
15 and improve it.

16 MR. GERLACH: Thank you.

17 And the same question for Spirit. Do you believe your
18 workforce really understands their role in quality management?

19 MR. GREG BROWN: I believe that they do. I believe that
20 they're trained in such. I mean, at the end of the day, a
21 mechanics responsibility is to follow the instructions as written.
22 When you're not able to do that for any reason, you're to raise
23 your hand. If that doesn't work, you have Quality 360. And if
24 you feel like that's not working, we have an ethics complaint
25 hotline. That's -- primarily, that is the responsibility of the

1 front line mechanic.

2 MR. GERLACH: Do they get any special training for QMS?

3 MR. GREG BROWN: I believe that they do get trained
4 specifically on the tools that I just now mentioned, such as
5 Quality 360 and such. As far as the extent of the holistic
6 quality management system, I'd have to get back with you on that.

7 MR. GERLACH: Does it vary with experience, or is it just the
8 same cookbook all the way through for everybody?

9 MR. GREG BROWN: I'd have to get you an answer on that one.

10 MR. GERLACH: Thank you. And I'm out of time here. Thank
11 you.

12 CHAIR HOMENDY: Machinists Union.

13 MR. HOLDEN: Thank you, Madam Chair. Since we're on the
14 topic of ASAP, I'd like to dive a little bit into that for the
15 parties.

16 Mr. Wright, you were involved in some of our early
17 discussions around the triparty agreement. Is that true?

18 MR. WRIGHT: Yes, sir.

19 MR. HOLDEN: Thank you. So you had just mentioned that it's
20 meant to address more of a reactive event, not a process
21 improvement. When we worked through the negotiations on the
22 triparty, we had a lot of discussion, and including proactive
23 reports. Do you recall that?

24 MR. WRIGHT: That might have been after my time, or maybe my
25 recollection missed it.

1 MR. HOLDEN: Okay. I would ask Brian Knaup if he has an
2 understanding of our discussions around proactive reporting within
3 the triparty agreement.

4 MR. KNAUP: Yes. So proactive reports are a part of the
5 triparty agreement. They should be addressed. There is also a
6 path to get IAM more involved in SMS, where proactive reports are
7 additionally addressed.

8 MR. HOLDEN: Thank you. Specifically, those proactive
9 reports were, and you heard today from Mr. Catlin, was our effort
10 to address the redefinition of inspection to verification, or
11 product conformance by a mechanic only.

12 I want to ask Mr. Wright, how does -- or Mr. Silva, how would
13 our effort to address proactive reporting around process
14 improvements, addressing changes to BPIs that effectively transfer
15 quality inspections by an inspector to a mechanic for conformance
16 decisions.

17 MR. SILVA: So at a high level, and I also want to take a
18 moment to thank Mr. Catlin, as well, for his feedback, at a high
19 level, just with all our Speak Ups, every single Speak Up that we
20 get, per process, has to be investigated, has to be thoroughly
21 assigned some resources.

22 In the case of some of the ones you're talking about, I do
23 believe we were able to come to some sort of resolution on some.
24 But in others, I understand that we were not. And so ultimately,
25 our commitment is to make sure that on all our Speak Ups, we take

1 that information, we get the right folks assigned to help
2 understand from a technical perspective, or from a subject matter
3 expertise perspective, what the right corrective actions are, and
4 go from there.

5 MR. HOLDEN: Thank you. So you would agree that our triparty
6 agreement should include proactive as well as reactive reporting?

7 MR. SILVA: Based on what Mr. Knaup said, and I apologize,
8 I'm not -- I have not been as involved in the triparty agreement,
9 it would make sense to me.

10 MR. HOLDEN: Thank you. I understand that you, Boeing, is
11 working on an ASAP or Speak Up process with SPEEA. And
12 Mr. Wright, can you report on how that's coming along? SPEEA is
13 the union that represents the engineers.

14 MR. WRIGHT: I don't have a current update on that with me.

15 MR. HOLDEN: Okay. Thank you. So in our triparty agreement,
16 it's defined that we will work to reach consensus, and then work
17 to reach a resolution. We later found that that would become a
18 recommendation to an SMS panel, who would then choose to implement
19 or not. Who makes up the SMS panels for Boeing?

20 MR. WRIGHT: I can speak to that. The forum membership of
21 the SMS boards is the language we use in the working groups, is
22 the -- for the build area of the company, it's the functional
23 leader and -- functional leaders, I should say of quality
24 manufacturing, supply chain and fabrication, and the independent
25 safety manager.

1 MR. HOLDEN: Do IAM members or the event review committee
2 have access to the SMS panels?

3 MR. WRIGHT: I don't know that I've seen that, but I don't
4 know that we've had a chance to discuss it.

5 MR. HOLDEN: If not, and my understanding is they don't,
6 wouldn't that effectively limit the triparty agreement both for
7 the IAM and for the FAA?

8 MR. WRIGHT: I'd have to get closer to that to understand.

9 MR. HOLDEN: Thank you. I would like to change up a little
10 bit and look at -- review Exhibit 11S. Yesterday, there was
11 discussion around the blanket installation, the okay to install.
12 There's two Ips that are associated. We believe that it's
13 important not to associate this discussion with blame, but to get
14 clarity on what operations were stamped and when, and what that
15 should have led to in regards to BPIs that should have invalidated
16 the okay to install, and I think it's important for us to look at
17 that to show that it's a systemic issue that we want to solve, we
18 all want to solve.

19 So -- and I guess I would ask my questions to Mr. Catlin on
20 this first. Well, with redaction, it's hard to see which
21 installation plan this is. There's an installation plan on okay
22 to install, and there's an installation plan to install the
23 blankets.

24 MR. CATLIN: This is the install, Jon.

25 MR. HOLDEN: Okay. Can you direct the person moving this to

1 the areas where --

2 MR. CATLIN: Sure.

3 MR. HOLDEN: -- the stamp to complete the work is performed?

4 MR. CATLIN: The first thing I find important on this page is
5 in the notes section. Down there, you will see a note that says
6 process operator verification and acceptance has been applied to
7 this job. Any changes to the quality criteria or process
8 performed must be approved by the site quality engineering group,
9 standard text note MZQSD.

10 Then if we scroll down to operation 6-1, it should be right
11 there, 6-1 states that manufacturing conformed. Notice, this IP
12 has conformance operations assigned. When stamping this IP
13 complete, manufacturing is conforming the airplane to the approved
14 design.

15 Then we scroll down to -- which will be the 999 note, which
16 will -- should be the last operation on the job. And there we --
17 right there. So we have a manufacturing final inspection. As you
18 can see in the QA column that's X'd out, there was no quality
19 involvement in the installation of the insulation blankets on line
20 8789.

21 So at 11:30 a.m., a final acceptance was applied to this job,
22 which tells us that manufacturing installed every blanket that was
23 listed in the bill of materials, including the blanket that was
24 installed over the door plug.

25 MR. HOLDEN: And what day was that on?

1 MR. CATLIN: That would have been on September 1st, 2023, at
2 11:30 a.m.

3 MR. HOLDEN: So we later know that we saw rework on the five
4 fasteners on the left MED plug.

5 MR. CATLIN: Correct.

6 MR. HOLDEN: So what BPI would invalidate these stamps and
7 require a reinspection of that area?

8 MR. CATLIN: So the thing to keep in mind is that there is
9 also an installation plan that gives the okay to install. There
10 is an operation in that installation plan for quality to give the
11 okay to install, which was stamped complete on September 1st.
12 There's also a customer inspection that is performed that gives
13 the okay to install the blankets, which was also stamped complete
14 on September 1st.

15 Those inspections are the inspections we spoke of yesterday
16 that are extensive. They cover everything from station 727 to 887
17 on the airplane, from stringer 17 left to stringer 17 right, which
18 takes you up over the crown of the aircraft. They are looking for
19 open holes. They are looking for missing parts, loose parts,
20 knicks, dings, scratches, FOD, damaged fasteners. It was that IP
21 where they had identified the five damaged rivets on the lefthand
22 side of the airplane, where they wrote the pickup for the five
23 damaged rivets.

24 But by installing -- by giving the okay to install complete,
25 and by installing the blankets complete, that is now a closed

1 area, even though there was rework to be performed in that general
2 area. Per BPI 2573, as soon as those blankets were opened for
3 rework, it invalidated the okay to install by both customer and by
4 line quality, which required those to be redone.

5 In order to open those blankets, a removal record was
6 required to be implemented. We know that the same condition
7 exists on the righthand side. So we're not talking about one
8 removal that was missing, we're talking about three. We're
9 talking about two okay to closes that were given that were
10 invalidated that should have been reperformed on both the right
11 and the lefthand side of the airplane.

12 MR. HOLDEN: Thank you. No further questions.

13 CHAIR HOMENDY: Thank you. Spirit.

14 MS. MEYER: Spirit has no questions, Madam Chair.

15 CHAIR HOMENDY: ALPA.

16 CAPT JANGELIS: Thank you, Madam Chair.

17 One of my questions is for Boeing. One of the concerns that
18 came to light post-accident was that the pilots and the airline
19 never knew, nor were taught, that the cockpit door would blow off
20 its mounting inward towards the passengers and flight attendants
21 as a result of the massive cabin pressurization breach. Was any
22 action taken using the SMS process to reevaluate what pilots need
23 and should know to safely operate the aircraft post-accident?

24 MR. WRIGHT: I don't have deep understanding, but my
25 understanding is that it was reviewed through our safety type

1 process in the safety review board type area and that the FCOM was
2 updated. I don't have more than that, though.

3 CAPT JANGELIS: All right. We could assume that the same
4 action was taken fleet-wide across the product line?

5 MR. WRIGHT: I don't have that information with me, but we
6 could get that.

7 CAPT JANGELIS: Thank you.

8 My next question, again for Boeing, and also Spirit, one of
9 the most productive reports we see in the airline SMS voluntary
10 reporting systems are sole source, meaning the reporter is the
11 only one who knows or sees the safety hazard. It gives us
12 valuable insight on issues that others may not have been party to.
13 What percentage of reports have you seen and received that could
14 be considered sole source?

15 MR. GREG BROWN: I'll start for Spirit. I can't tell you the
16 percentage right here, as I sit here, unfortunately. I'd be happy
17 to get that back to you. I do agree that those are -- that is
18 probably the primary reason that we have that type of voluntary
19 system, is to understand things that we don't know about yet
20 versus things that we probably would have found out about through
21 other channels. But happy to follow up on that.

22 MR. WRIGHT: I could start with the Speak Ups. They're
23 typically put in by an individual, but sometimes involve groups.
24 And we don't typically split that out, but I absolutely agree that
25 those closest to the hazard are best positioned to report it.

1 CAPT JANGELIS: No further questions. Thank you.

2 CHAIR HOMENDY: Thank you. Alaska.

3 MR. TIDWELL: Thank you, Chair.

4 For Boeing, Mr. Wright again, sorry, as you've discussed, one
5 of the major tenants of an effective SMS is safety promotion,
6 which is used to share information and foster in improving safety
7 culture. You touched a bit on it a little bit earlier. But your
8 efforts post 1282, I want to know, can you tell us a little bit
9 more about the return on that investment, what you've done with
10 promotion, and what you're seeing in your system?

11 MR. WRIGHT: Yeah, happy to. Post 1282, one of the
12 significant things that we've done is conduct ongoing safety and
13 quality events; there's a few things, but I'll mention this one
14 first; with our teams. So we've -- I think Ms. Lund's testimony
15 is relevant, where she talked about the 70,000 folks, and the
16 inputs and the actions.

17 So she did talk about the 30,000 inputs. We have completed
18 11,000 actions as part of that promotion to really have that
19 feedback loop occurring. And then the employee involvement teams,
20 and getting those implemented in a broader sense, and these are
21 where crews are taking time. I think those are the two most
22 significant examples, post-accident.

23 MR. TIDWELL: Okay. Thank you. With most SMS's, there's
24 shared meetings. So whether it's your analyst group, your
25 operational group, your leadership group, your executive group,

1 can you talk me through where -- what your tiers are for your SMS
2 reviews, and if you have any of your prime vendors or support
3 folks that attend to those specifics?

4 MR. WRIGHT: It -- the tiers are modelled quite a lot after
5 the airline part 121 SMS, where we have our data groups, and they
6 feed into a working group structure. That working group structure
7 covers each airplane program, 7-3 through 7-8, as well as our out
8 of production programs.

9 And if we find something that's cross-model, similar to a
10 cross-model safety review board that you might have in an airline
11 space, we bring that up to either the functional heads of
12 engineering -- and in that engineering board, all the chief
13 engineers of all our programs are part of that board. And then --
14 excuse me. Too much hand talking. We've got a build type board.
15 We follow the NAS 9972, design, build, operate. That is the
16 functional heads.

17 So these are the Boeing Commercial Airplanes leadership team
18 members that are the head of that, for supply chain, fabrication,
19 quality and manufacturing. And then we have our operate board,
20 which is fleet. This is where we look at things like the quality
21 of service bulletins, things like that. And that is our head of
22 customer services as well as our out of production chief engineer.
23 And there's an independent safety manager on all those boards.

24 Those boards go up to the CEO level of the business unit. So
25 the Boeing Commercial Airplanes CEO is the next level up of the

1 tiered structure. And then one more up from that is the
2 accountable executive here, and that's where the CEOs of Boeing
3 Commercial Airplanes, Boeing Defense and Space, and Boeing Global
4 Services all personally articulate their risk postures to the CEO
5 of the company.

6 MR. TIDWELL: Is Spirit involved in any of those levels of
7 review with any of their data?

8 MR. WRIGHT: Absolutely. For instance, we have -- Spirit
9 would -- is joined with us on an SRM that we started back in
10 fourth quarter, so November 2023, on internal escapes. So we have
11 a joint SRM with Spirit that is being managed in that 3-7 board,
12 and they're part of the presentations and the discussion.

13 MR. TIDWELL: Okay. Very good. Thank you. One last
14 question. We learned a little bit yesterday in the testimony
15 about -- what was it, a rate readiness process. How engaged is
16 your SRA process or your overall SMS in feeding information to
17 that decision, and is that risk assessment signed off by the
18 accountable executive for any rate level increases?

19 MR. WRIGHT: As we -- one of our first forays into the change
20 management trigger for SMS was to require an SRM for every rate
21 change. So we've been doing this for a while across all our
22 models and learning along the way how to effectively do that.

23 So we do create the bowtie I described earlier for each
24 airplane program's threats and error management around rate. And
25 then the results of that are presented as part of the cap stone.

1 And that rate level, if there is a risk that the rate will be
2 unsuccessful and not produce conforming aircraft, then we -- that
3 risk has to be accepted.

4 And the moderate risk can be accepted at a program level, and
5 that would be the risk of unacceptable regulatory actions. The --
6 to -- from a risk standpoint. They're all acceptable. I want to
7 be clear about that. If it's higher, it would go up. But we
8 wouldn't elevate -- one of those, we just wouldn't change rate.
9 That's about as far along as we are to date.

10 MR. TIDWELL: Okay. Thank you. No further questions, Chair.

11 CHAIR HOMENDY: Thank you. And perhaps we can check
12 Mr. Catlin's microphone, because people online are apparently
13 saying they can't hear him. Anyways, our technical people will
14 work on that. We are going to AFA.

15 MR. HEIPLE: Thank you.

16 Mr. Wright, you mentioned that you ask yourself the question,
17 now, what does SMS say, what does SMS tell you to do? I like
18 that. AFA has visibility to SMS in action at operators, and we
19 have observed that SMS can lead carriers to make decisions that
20 exceed regulatory requirements.

21 At Boeing, there appears to be a focus on meeting the reg, or
22 minimum regulation. The decision to have the single point of
23 failure on the mid door plug design and installation process
24 appears to be an example of a decision to meet the minimum
25 certification requirement.

1 As a result of the accident, you are making numerous reactive
2 fixes and changes. Do you think that your SMS will change this
3 way of looking at risk management, even when there's a cost
4 associated with meeting a higher than minimum standard?

5 MR. WRIGHT: Good question. And first, I meant to do this
6 earlier, I meant to acknowledge, because as a safety professional,
7 your friend being in danger is personal to me, too. So I just
8 wanted to say I'm sorry.

9 When we look at the -- this 90 day plan and the investment
10 that goes with it, it's going to result in a lot of processes
11 going above regulation. And I'm seeing evidence of that. I'm
12 part of every single piece of that plan to look at it from a
13 safety perspective.

14 The elements of will our SMS act differently, the answer is
15 yes. It has to. An SMS needs to look at risks, and single point
16 risks are something we do look at. And we've actually started a
17 few SRMs on areas that look like there might be a single point,
18 and looking at design changes around some of those, and seeing if
19 that's truly a single point.

20 But it's getting us to think about, much more broadly than in
21 this case, the door plug, what are other similar things on the
22 airplane that might be similar. And it is definitely causing a
23 change in that thinking. And I haven't run into any cost area in
24 my time as the SMS leader on anything that's required for safety.
25 I -- we're fully committed there.

1 MR. HEIPLE: I'm afraid I was speaking from personal
2 experience with that one as well, just actually hearing Boeing
3 engineers say it meets the reg. But --

4 MR. WRIGHT: Sure.

5 MR. HEIPLE: So I'm looking forward to seeing some change
6 there.

7 So yeah, I guess this is for Boeing and Spirit. We heard
8 that some defects are not nonconformities. Do Boeing and Spirit
9 share the same understanding of what constitutes a defect versus a
10 nonconformity, and do you track all defects, or just ones that are
11 deemed significant, or that were nonconformities?

12 MR. SILVA: Yeah. I was going to start. We track all
13 defects as nonconformances. Every single one of them gets written
14 up within our nonconformance management system. I think yesterday
15 you may have heard of some different types in terms of some are
16 pickups and some are tags requiring -- one what's required to
17 bring the airplane back to type design requirement. But we track
18 everything.

19 MR. GREG BROWN: Yeah. I would agree with that. We do
20 document -- if there is a nonconformance observed by a Boeing
21 inspector, for example, it does get documented. If we have a
22 disagreement about conformity or not, we go to the Boeing spec,
23 and we will measure, analyze, whatever we have to do to determine
24 if it is or is not in conformance. If it is in conformance, we'll
25 usually have the conversation, but it will be signed off as such.

1 Otherwise, it'll be reworked back to design.

2 MR. HEIPLE: I'm sorry. I missed -- do you share the same
3 understanding of what constitutes a defect, I mean between Spirit
4 and Boeing, versus a nonconformity?

5 MR. ACKERMAN: We have the -- we have a common understanding
6 of what is required by type design, we have a common understanding
7 of what is required in our specifications, and we have a common
8 system that says when we find things that don't match what's in
9 the type design, that we document them, and address them, and
10 whether it's -- use MRB or rework or whatever to bring them back
11 to type design requirements.

12 If there are desires that are not type design related, as
13 member Graham mentioned in yesterday's discussions, about things
14 that we would deem as cosmetic, or satisfaction issues, then we
15 have a discussion about what is required to resolve those. They
16 still, as Hector Silva mentioned, still get documented in the same
17 system, in the same way.

18 MR. HEIPLE: Thank you.

19 Mr. Wright, I'm sorry. I had -- I'd missed your comment.
20 Thank you. Thank you for that. This question is also for you.
21 During panel two yesterday, Ms. Lund had said that we talk a lot
22 about not sacrificing safety for operational pressure. AFA
23 members know from experience that safety talk by itself is not
24 effective safety promotion.

25 It was also noted during panel two yesterday that safety talk

1 isn't doing much for Boeing's employees either, at least from some
2 of the interviews. And I'm thinking of the comment about the
3 safety posters. Because basically, they're safety promotion that
4 they're aware of.

5 What meaningful action is Boeing taking to demonstrate that
6 it really is okay to slow down or stop the operation for safety.
7 I'm referring, of course, to pillar four here.

8 MR. WRIGHT: Sure. I'm a firm believer that leadership
9 actions have to match, the work we ask people to do have to match
10 the work environment they're doing it in. If those don't match,
11 there is no promotion.

12 And I think that an example that I'm finding very powerful
13 right now is the travelled work safety risk assessment process
14 that we've implemented on 737 flow days one through seven, and 787
15 in the first two positions.

16 The change I'm seeing, as I get the -- I'm part of the daily
17 oversight, is we are holding the airplane on a much more regular
18 basis, and we're seeing rework numbers go down. So I see fairly
19 significant percentages of airplanes held if the safety risk
20 assessment says we cannot do that work and keep either people safe
21 or the airplane safe.

22 MR. HEIPLE: This question is for Mr. Catlin. We'll test
23 your mic. You brought up concerns about inspections becoming
24 verifications becoming a conformance decision. Can you give us
25 some examples of how this has impacted safety outcomes and tell us

1 what you believe should be changed to improve these outcomes?

2 MR. CATLIN: Thank you for the question. In the
3 demonstration that Mr. Holden had just put up, you -- I showed you
4 that in the notes section, it said -- stated that they were
5 assigning the conformance decision. And then in operation 6-1, it
6 says that the conformance is assigned to manufacturing, and in the
7 final inspection operation, it was a manufacturing inspection
8 operation.

9 What's important to understand is that in May of 2021, EIR
10 2021 NNM420001 was issued by the FAA to the Boeing company. And
11 in counter condition four, it clearly states Boeing assigned
12 inspection conformance decisions to manufacturing personnel
13 without training or controls necessary to perform product
14 acceptance.

15 And here, even after this incident on January 5th, we still
16 have installation plans on this airplane that have conformance
17 decisions assigned to manufacturing. And I have done the research
18 and found out we have close to 250 installation plans on that
19 airplane that the conformance decision was assigned to
20 manufacturing.

21 And so that's our concern, is that through the last five
22 years, prior to verification optimization between 2014 and 2017,
23 we saw several opportunities that Boeing took to attempt to take
24 quality inspections and convert them to manufacturing
25 verifications. The did it under -- in 2016, under 2016 FCA41012.

1 They did it again in 2017, in November of 2017, three compliance
2 findings were issued by the FAA, CMP 2018 NM420004, CMP 2018
3 NM420008, and EIR 2018 NM420001.

4 In those three FAA compliance findings, they emphatically
5 stated that the FAA does not recognize verification as an
6 acceptable method to meet the requirements of the aforementioned
7 regulations. They also stated, over and over again, that you
8 cannot have manufacturing perform the inspection and provide the
9 information to quality to accept the products and articles.

10 Again, in May of 2021, in counter condition number 10,
11 addressed functional testing of the aircraft, where Boeing was
12 having -- they removed all the inspections off the just in time
13 tests and the installation plans, and was having manufacturing
14 perform the tests and quality to accept the tests based on
15 document review alone.

16 And so it's been rejected over and over and over through the
17 last few years, and as I just recently stated, again in BPI 2573.
18 It was revised in January of 2024, and again in June of 2024, to
19 allow manufacturing to perform the inspections, provide the data
20 to quality to accept the products and articles.

21 So even after the January 5th door plug blowout, we are now
22 still continuing to try and let manufacturing perform the
23 inspections and let quality buy it off based on document review
24 alone.

25 MR. HEIPLE: Thank you.

1 CHAIR HOMENDY: Thank you. FAA.

2 MR. GERLACH: Thank you, Chair.

3 I'd like to walk you all through a little scenario, and that
4 is a part, like a bolt or something like that, doesn't get torqued
5 properly. There's a Speak Up. A mechanic says I tightened the
6 bolt down, but I don't think I got the right torque on it. Maybe
7 it was the wrong kind of torque wrench, or the torque wrench was
8 broken.

9 It makes it all the way through the system. It's out flying
10 with a carrier. How does Boeing tell the carrier I think we have
11 an improperly torqued part? And then how do you tell the FAA as
12 well? For Boeing.

13 MR. WRIGHT: So thank you for the scenario. So in that
14 specific scenario, what would happen is that Speak Up would get
15 reviewed and investigated. Based on that investigation, a
16 nonconformance order would be written, depending on the results of
17 the investigation.

18 Because the airplane has left our production system, we have
19 a process called the suspect discrepancy report process. That
20 process would be used to notify the airline -- or it would be used
21 to notify our service engineer organization, who then can in turn
22 notify the airline. And then through our voluntary disclosure
23 process, either formal or informal, we would notify the FAA.

24 MR. GERLACH: Thank you.

25 And then the same similar scenario for Spirit as well. Maybe

1 it's a rivet, sheet metal, something like that. It escapes the
2 system, but you can't participate in Speak Up. How do you let
3 Boeing know? How do you let the FAA know?

4 MR. GREG BROWN: Yeah. So we have a notice of escapement
5 process, I think we mentioned earlier. It begins with an initial
6 notification of the investigation to Boeing, generally to Doug's
7 team.

8 Our first steps are to do our best to understand what the
9 scope and bound is. So when do we think that this problem
10 started? We'd generally be very conservative and move up several
11 lines before that. We will send that to Boeing. Boeing will
12 typically initiate investigation on the line units and production,
13 assuming that they are still at their factor.

14 We will then ensure containment within our production system,
15 writing it into the planning, whatever that corrective action
16 needs to be, including it being just an inspection, until we get
17 to the root cause and implement a corrective action. And there's
18 generally going to be a date and a particular line unit where
19 we'll ensure that that has been introduced.

20 MR. ACKERMAN: And for Boeing, after we've received that
21 notification, it's essentially the -- exactly the same process
22 that Mr. Silva described.

23 MR. GERLACH: Thank you.

24 MR. ACKERMAN: And in terms of notification to the FAA, that
25 falls on -- that's Boeing's responsibility, as the production

1 certificate holder.

2 MR. GERLACH: Thank you.

3 And for Mr. Catlin, we've talked a bunch about IAM and the
4 Speak Up program. But can you tell us number one priority, number
5 two, number three, what changes have to occur to the Speak Up
6 program where the IAM folks feel comfortable, and it'll cause an
7 increase in participation in the Speak Up program? Just set us up
8 for some priorities, here. What are they?

9 MR. CATLIN: Yeah. Number one, I think that having a truly
10 transparent relationship in the Speak Up program, letting us and
11 the FAA be an equal participant in the program, letting us get the
12 opportunity to go and have the conversation with the member who
13 filed the Speak Up concern.

14 I know that as a business rep, I get a grievance from one of
15 my union stewards. I don't even begin to process that grievance
16 until I go and I sit down with the member, and I find out okay,
17 there's more to what's written here. What is it? Let me have the
18 full insight and the scope of what it is that you're concerned
19 about.

20 We need that opportunity. That would go as -- you know,
21 would help to build that relationship between Speak Up and our
22 members if they actually saw that we were an equal participant in
23 the process. And then it's about building that trust. You know,
24 letting us have that opportunity to help the Boeing Company build
25 that trust with the people utilizing the process.

1 MR. GERLACH: Anything else?

2 MR. CATLIN: I don't know.

3 MR. GERLACH: Okay.

4 MR. CATLIN: Yep.

5 MR. GERLACH: All right. Thank you, sir.

6 Back to Boeing, and it's a question that I spoke -- with
7 respect to Spirit as well. So with regard to metric inputs and
8 corrective actions, what actions has Boeing taken to improve
9 corrective action sustainment?

10 MR. ACKERMAN: Part of that corrective action sustainment is
11 the additional resources we've put onsite in Wichita, and in going
12 through the evaluations of when we get a root cause corrective
13 action report from Spirit, the evaluation of is it sustainable and
14 is it systemic.

15 MR. GERLACH: Thank you, Chair. Those are all the questions
16 I have.

17 CHAIR HOMENDY: Mr. Gerlach saved four minutes and 44 seconds
18 and has a gold star by me. I'm moving onto the machinists, and
19 then we'll go to Spirit. And then, just for awareness for
20 everybody, we are a safety agency, and the Board of Inquiry is
21 getting hungry. Therefore, a hangry bunch of questions is not
22 advisable for the witnesses.

23 So we'll go to the machinists, we'll go to Spirit, we'll take
24 a half hour lunch -- half hour okay? Half hour, forty -- we'll
25 see what time it is. Forty-five minutes. I'll negotiate it

1 forty-five minutes. And then we will come back, and then the
2 Board of Inquiry will do their questions, assuming everyone is
3 done here, and then we'll move into Panel Four. Machinists.

4 MR. HOLDEN: Thank you, Madam Chair. I have one last
5 question.

6 Mr. Silva, you've mentioned that BPIs, or procedure
7 documents, would be noted in the installation plans. We did have
8 an installation plan up. Could you bring up Exhibit 11S again,
9 and can we look at the operations and see, you know, how a
10 mechanic or quality might use that document to find procedures or
11 BPIs they're accountable to? Are you familiar with the
12 installation plans, Mr. Silva?

13 MR. SILVA: I have general familiarization with installation
14 plans, yes.

15 MR. HOLDEN: Okay. Can you go to the top? That is the top.
16 Okay. Do we see any references to BPIs or pro docs in the
17 installation plan?

18 MR. SILVA: If I may, I'd like to clarify. I believe it may
19 have been Ms. Lund that made the comment around BPIs in
20 installation plans. But typically, installation plans actually
21 just take the required instruction and content, like Mr. Catlin
22 pointed out, with CAN notes. Occasionally, BPIs will be
23 referenced. But more often than not, the actual instructions are
24 built into the installation plan, as you see here, or as you see
25 in subsequent operations.

1 MR. HOLDEN: Okay. So it's fair to say that there isn't a
2 reference to a BPI or a pro doc that someone could then go look
3 up?

4 MR. SILVA: It really depends on the installation plan.

5 MR. HOLDEN: Okay. Thank you. No further questions.

6 CHAIR HOMENDY: Two gold stars for you. Can Spirit beat
7 them? It's okay.

8 MS. MEYER: Spirit has no questions, Madam Chair.

9 CHAIR HOMENDY: Wonderful.

10 MS. MEYER: You're all welcome.

11 CHAIR HOMENDY: Great. Thank you very much. Give her some
12 chocolate. Okay. We're going to take a break. We will be back
13 at 2:40. Oh, yes?

14 MR. HEIPLE: On return, may we ask more questions?

15 CHAIR HOMENDY: Is it more than 10 minutes -- five minutes of
16 questions?

17 MR. HEIPLE: No.

18 CHAIR HOMENDY: Perfect.

19 MR. HEIPLE: Thank you.

20 CHAIR HOMENDY: Yes, you can. 2:45. Thank you very much.

21 (Off the record)

22 (On the record)

23 CHAIR HOMENDY: Back. And I hope everyone got food. Okay,
24 good. AFA has a few questions. I've checked with everyone else.
25 Everyone else seems good. So Mr. Heiple, whenever you want to

1 start, and then we'll go into the Board of Inquiry.

2 MR. HEIPLE: Thank you, Madam Chair.

3 Mr. Silva, you stated that the MD plug defect should have
4 been caught after it occurred or when rollout occurred. What
5 rollout inspection would have caught this defect, which we
6 understand may have been covered under the insulation blanket at
7 that stage?

8 MR. SILVA: Sorry. Just to clarify, I believe I stated when
9 the condition of a removal being -- needed to be written would
10 have been caught. So yes, either at the earlier stage, as we saw
11 yesterday through Panel Two, or towards the end of the line.

12 I can't speak to all the specifics right now in terms of all
13 the inspections that we have before rollout. But we can certainly
14 follow up and get you details around the types of inspections that
15 we do prior to rolling out to the flight line.

16 MR. HEIPLE: Thank you.

17 And I believe this is probably for Mr. Wright. As discussed
18 yesterday, the oxygen generator movement was identified prior to
19 the accident. In two cases, the reports came from carriers that
20 received the aircraft. Does your SMS system process those
21 reports, and was a reactive SRA performed?

22 MR. WRIGHT: Yes. Our SMS, the part of our SMS that looks
23 after the fleet event and factory event type process, that
24 continued operational safety program type process, did process
25 that. And what was done at Boeing was to actually do physical

1 testing with the oxygen canister in every migratable position.
2 And it -- we could not find any time that oxygen flow was
3 impinged. There was no crimping in the pullout. That said, we
4 did write it up as safety, and we had a required compliance period
5 for the service bulletin, which the FAA shortened.

6 MR. HEIPLE: You mentioned that bow ties take up to two
7 months to perform. This -- it was two years after the reports
8 starting coming in on this. Can you help us understand why it
9 takes so long to respond to, potentially?

10 MR. WRIGHT: For this type of item -- we use bow ties in some
11 elements, especially if it's a system. For this one, it was more
12 of a physical safety analysis, more of a -- the type that we do
13 under the cost program. So it's a different toolset that's used.

14 And the -- from what I understand, and I don't have much more
15 detail than that, the fact that the oxygen flow could not be
16 impinged on had a longer compliance period with that one, because
17 the safety part of it, the exposure was a -- not as much because
18 the flow was not impinged in any of the cases we could
19 demonstrate. But I don't have much more than that.

20 MR. HEIPLE: I think our concern at looking at it, that they
21 could also just be activated and then not be available when
22 needed. Because if they migrate too far, it can pull the fire
23 ring and -- yeah.

24 MR. WRIGHT: I would have to ask further on that analysis. I
25 had asked about the oxygen flow yesterday. I don't have that

1 information on the lanyard that pulls the pin.

2 MR. HEIPLE: And lastly, were the carriers notified to make
3 them aware of this potential hazard?

4 MR. WRIGHT: I don't have that on me here.

5 MR. HEIPLE: Thank you.

6 MR. WRIGHT: Thank you.

7 CHAIR HOMENDY: All right. Parties are satisfied right now?
8 Okay. We are going to move onto the Board of Inquiry, and we're
9 going to start with Member Graham.

10 MEMBER GRAHAM: Thank you, Chair. If you could pull up
11 Exhibit 11F for me, please? There we go. Thank you. This is
12 Boeing quality alert 0 -- 2023-00056-AR. This was an alert
13 distributed due to audit issues with removals.

14 Can Boeing tell me what audits picked up these discrepancies
15 for removals?

16 MR. SILVA: So I'll address that one. I couldn't tell you
17 exactly which specific audit pointed to this, but I do recall
18 seeing this alert. It is one that was both sent out to the 3-7
19 team for both the requirements around the removal, but then
20 specifically, if this is the one I'm thinking of, is clarifying
21 the short form and long form requirements.

22 MEMBER GRAHAM: Okay. Also, June of that timeframe, there
23 was SMS activity going on that initiated a safety risk management
24 activity titled removals. Was this part of this result also?

25 MR. SILVA: I'm not sure if this was related to that same

1 activity. I do recognize they were happening around the same
2 time. But that SRM in particular was looking at the entire
3 process.

4 MEMBER GRAHAM: Okay. Did one trigger the other, or did this
5 trigger the SMS activity, do you know?

6 MR. SILVA: I believe the SMS activity was triggered by Speak
7 Up reports.

8 MEMBER GRAHAM: Speak Up reports. Okay. Did the quality
9 organization evaluate the effectiveness of this safety alert?

10 MR. SILVA: I don't think we did anything formal from going
11 back and evaluating effectiveness afterwards on this particular
12 alert. I think since the accident, we've been looking at how to
13 notify and send out communications in a much more effective way.

14 MEMBER GRAHAM: Okay.

15 Mr. Wright, are you aware of the SMS activity in June 2023 on
16 removals?

17 MR. WRIGHT: I'm aware of the removals SRM. My date that I
18 have for start is March of 2023.

19 MEMBER GRAHAM: Okay, March. Okay. Can you discuss the
20 findings and any actions taken from that?

21 MR. WRIGHT: Yeah. As the system was laid out, the findings
22 were around process complexity and around employee proficiency,
23 and those were broken into sub-elements that I don't have ready
24 recall on. And then the actions were rolled in and aligned to the
25 90 day plan. So those actions are aligned, and I think Hector has

1 details on what those specific actions are.

2 MR. SILVA: And I think at a higher level, I could add a
3 little bit more in terms of what that removal's SRM identified.

4 MEMBER GRAHAM: Please.

5 MR. SILVA: There were a couple areas. One, in particular,
6 that was noted from Speak Ups was -- so the -- it's the one
7 removal process that we have. There's just one BPI for any
8 scenario. But one of the things that we saw through a number of
9 Speak Ups were concerns around how to make sure teammates had all
10 the necessary information for the reinstallation, particularly to
11 make sure that tests were conducted appropriately, if anything was
12 disturbed, that needed to be rereviewed.

13 And so one of the items that was identified during the SRM
14 was how to change our manufacturing execution system and some of
15 the tools we offer from a data perspective to make getting that
16 information easier for our teammates. The other was really around
17 -- I think it might speak a little bit to your question around
18 effectiveness -- making sure that we had built in a more ongoing
19 monitoring process around how removals are done on a continuous
20 basis.

21 MEMBER GRAHAM: Thank you for that. So I'm going to go to
22 the SMS now for a little bit, try to tie up some of the gaps,
23 because it was well -- there was a lot of good questions on this
24 already answered. Your SMS went operational in June of 2021.
25 Correct?

1 MR. WRIGHT: It was -- yeah. It was approved as operational
2 in 2021.

3 MEMBER GRAHAM: Okay. Did that go out to the entire company,
4 or did -- was it implemented in different operations first?

5 MR. WRIGHT: The FAA sees the commercial operation.

6 MEMBER GRAHAM: Okay. So when did the SMS hit the Renton
7 factory floor?

8 MR. WRIGHT: Oh, that was definitely applicable to that. I
9 was just trying to articulate that --

10 MEMBER GRAHAM: Okay.

11 MR. WRIGHT: -- it didn't apply to our defense business.

12 MEMBER GRAHAM: Okay. But in this case, for this accident --

13 MR. WRIGHT: Absolutely.

14 MEMBER GRAHAM: -- when did the SMS go active on the Renton
15 factory floor?

16 MR. WRIGHT: So the Renton factory floor started getting
17 training in this time. We set up the SMS board structure, that
18 tiered structure that I mentioned, the Renton tiered structure got
19 formalized with -- it was there at that time, but the standard
20 work was deployed in 2023.

21 MEMBER GRAHAM: 2023. When in 2023?

22 MR. WRIGHT: Could we please pull up Boeing slide 9? That'll
23 help me make sure I get the dates right. There we go. Thank you.
24 And my friends at Spirit, could we move that chair just a little
25 bit, please? Thank you.

1 So the -- when we have the Boeing SMS boards established and
2 effective in 2023, the standard work was established in the second
3 and third quarter in the effective evaluation. We did an internal
4 assessment of ourselves at that time and found that the standard
5 work was met at that time.

6 Prior to that time, we had many of the elements. But this
7 got the alignment across all our airplane models, looking at the
8 same things in the same way. SRMs were being conducted before
9 that, though.

10 MEMBER GRAHAM: Okay. So when would a mechanic on the Renton
11 factory floor -- would have known about SMS and been trained in it
12 to understand what their role is?

13 MR. WRIGHT: The initial trainings would have been in that
14 2022 timeframe.

15 MEMBER GRAHAM: Okay. Okay. Thank you. You did -- when did
16 the Speak Up program start? Same time?

17 MR. WRIGHT: Yeah. Speak Up, I want to say, started in
18 around 2021.

19 MEMBER GRAHAM: Okay. And on a Speak Up submittal, can an
20 employee put in a proposed solution?

21 MR. WRIGHT: Absolutely.

22 MEMBER GRAHAM: Okay. And then you did state that after it's
23 closed out, a Speak Up action is investigated, and some, maybe an
24 action is initiated, that it can be communicated through, I think
25 you said crew reads?

1 MR. WRIGHT: Oh. If the Speak Up was anonymous --

2 MEMBER GRAHAM: Yeah.

3 MR. WRIGHT: -- we can take other action, like by a more
4 broad group communication. If the Speak Up is confidential, and
5 the Speak Up, we call it the reportent is known, they get a direct
6 feedback.

7 MEMBER GRAHAM: Okay. But are there any other methods of
8 getting out the word to others if it's deidentified and it doesn't
9 point towards one employee?

10 MR. WRIGHT: The primary method we use, and it kind of
11 depends on the Speak Up, if it's applying to a process that, like,
12 a lot of people use, we would target that audience, either with a
13 newsletter or an all team meeting or something like that --

14 MEMBER GRAHAM: Okay.

15 MR. WRIGHT: -- is what we've done to date.

16 MEMBER GRAHAM: Okay. Very good. Thank you. Now, you did
17 bring up earlier, continuous operational safety. And I don't
18 think we've really looked at that at this point. I'm very much
19 aware of it as being part of one as - with another aircraft
20 manufacturer.

21 And for those that don't know what it is, I think the best
22 way that I could put it here is it's a way that a manufacturer can
23 verify the ongoing safety of the products manufactured in
24 accordance with approved designs by monitoring existing aircraft.
25 Would that be a good way of --

1 MR. WRIGHT: Yeah.

2 MEMBER GRAHAM: Yeah.

3 MR. WRIGHT: That resonates.

4 MEMBER GRAHAM: So -- yeah. It just ensures the integrity of
5 the product throughout its service life. And you said Boeing has
6 a continuous operational safety program. Correct?

7 MR. WRIGHT: Correct, for many decades.

8 MEMBER GRAHAM: For many decades. Yeah. I think most
9 aircraft manufacturers do have that. Who -- what departments are
10 part of that -- I like to call it a council, maybe, or something
11 like that, part of that group.

12 MR. WRIGHT: Yeah. It's -- in our parlance, it's a board.

13 MEMBER GRAHAM: A board.

14 MR. WRIGHT: Yeah. And that is -- depending on --

15 MEMBER GRAHAM: What board has a seat at that -- or what
16 group -- what departments have a seat on that board?

17 MR. WRIGHT: Sure. The chief engineer for that -- there's a
18 board for every model of aircraft.

19 MEMBER GRAHAM: Mm-hm.

20 MR. WRIGHT: And then there is a cross-model board, and
21 there's an out of production board.

22 MEMBER GRAHAM: Thanks.

23 MR. WRIGHT: Yeah. But just to align the resources and the
24 expertise. So the -- in a program board, it would be the chief
25 program engineer, so the chief engineer for that model. And then

1 you'd have the -- excuse me, the air safety engineering, there's
2 an executive out of our chief aerospace officer organization that
3 sits on that board.

4 And then depending on the issue, like if it's a structures
5 issue, you'd have the chief engineer of structures. and any
6 subject matter organizations that are required in there. And then
7 the FAA also observes.

8 MEMBER GRAHAM: Very good. Yeah. Do you have, like, quality
9 or -- let's see, I'm trying to think who else, certification for
10 that?

11 MR. WRIGHT: Depending on what's coming through the board, it
12 could be.

13 MEMBER GRAHAM: Okay. Great. I may come back to that. I'm
14 out of time. Thanks.

15 CHAIR HOMENDY: Member Chapman.

16 MEMBER CHAPMAN: Thank you, Chair.

17 Mr. Wright, this is a hard question to ask, because I
18 certainly can see your dedication and your passion to the work
19 that you're doing. But I do think it's a question that needs to
20 be raised, to give you an opportunity to respond.

21 So recognizing that Boeing's safety management system is
22 still maturing, the circumstances of the door plug event appear to
23 involve a failure to generate the paperwork required to authorize
24 and document the actions taken to both open and then close the
25 door plug. This seems to be a very basic breakdown in Boeing's

1 processes, and it also seems to be a completely obvious safety
2 risk. What does that failure say about the effectiveness of the
3 Boeing safety management system, and what lessons have been
4 learned?

5 MR. WRIGHT: It's -- I could say the quality management
6 system, part of our safety management system has controls, and
7 this accident exposed gaps in those controls. And we wait for the
8 NTSB on the cause. But we've taken a look at -- with a fresh look
9 at our production system, at any potential things that we might
10 see.

11 And it's caused us to recommend and start to execute a
12 significant amount of change in our production system around a lot
13 of the elements that were talked to yesterday around the 90 day
14 plan. And specifically, with areas around removal, factory
15 compliance, proficiency, many areas like that are areas of focus
16 for us, just looking at our production system with this post-
17 accident look.

18 MEMBER CHAPMAN: But does it signal weaknesses in the safety
19 management system? Is there a need to make that more robust?

20 MR. WRIGHT: The safety management system needs to and is
21 being made more robust. I definitely see opportunity for further
22 integration with QMS at SMS.

23 MEMBER CHAPMAN: Also for Boeing, and I'm not sure who's best
24 situated to answer this, but I'd like to follow up on the issue
25 that was highlighted through the questioning from the IAM

1 representative. And if I correctly understood the concern and the
2 line of questioning, it sounds like there may actually have been
3 multiple failures to appropriately authorize and document removals
4 in connection with the work necessary to address the five
5 nonconforming rivets on the accident aircraft.

6 Is that the case, and with that documentation, necessarily --
7 would documentation have been necessary to authorize removal and
8 presumably the reinstallation of the blankets?

9 MR. SILVA: Yeah. I guess I could start. So I guess a
10 couple things come to mind. So to the latter part of your
11 question, specifically, a removal document is and always was the
12 requirement to make sure that a part is either removed, loosened,
13 or taken off the airplane, and then restored correctly. So that
14 was obviously a gap.

15 I'm -- I have not tracked as closely the sequence of events,
16 and I haven't been as familiar in terms of the -- I -- obviously,
17 I attended Panel Two yesterday. And I know Ms. Lund made remarks
18 around some of the rest of the installation plans. I think we
19 would need to go back and revisit what the sequence of events was
20 and what happened in terms of those installation plans to have a
21 better understanding.

22 MEMBER CHAPMAN: But you don't -- at least at this point,
23 based on what you know, and I know we're all gathering facts.
24 That's why we're here. But you don't necessarily take issue with
25 the possibility that there may have been multiple failures here in

1 terms of the documentation for the removals.

2 MR. SILVA: I think there was certainly a failure on the lack
3 of a documentation of removal. In terms of where those
4 opportunities could have been or what other things could have
5 triggered, and if that led to another failure, I just -- I
6 couldn't speak to that.

7 MEMBER CHAPMAN: Okay.

8 MR. ACKERMAN: Yeah. If I could add to that --

9 MEMBER CHAPMAN: Sure.

10 MR. ACKERMAN: -- Mr. Silva, we, in the earlier testimony,
11 looked at one of two IPs that governed the installation of the
12 installation blankets. One is an okay to install, one is the
13 actual installation itself. One of them was reviewed here. The
14 other one does get into whether or not that document was fully
15 closed and stamped off per process. So you'd have to look at the
16 both of them together to get the full answer.

17 MEMBER CHAPMAN: Okay. Thank you. And you have probably
18 covered this today. I'll ask if you can give me just a quick
19 answer on it. Can you just describe for us how the Boeing safety
20 management system interfaces with a major external organization,
21 such as a supplier like Spirit?

22 MR. SILVA: Do you want to start, Doug?

23 MR. ACKERMAN: Here. I'll take that one. So I was -- well
24 one, maybe I'll start with although it is not a rule, and it is
25 voluntary, we have asked all of our supply base to implement

1 safety management systems. Many of our suppliers, Spirit and
2 others, have already started that. Many of them have very mature
3 safety management systems.

4 We've also created a forum for suppliers who want to
5 voluntarily implement safety management systems to get together
6 and share information, share notes on learning how to implement or
7 ask questions of other companies who have implemented safety
8 management systems. So we are strongly encouraging that across
9 the supply base.

10 In terms of how ours interfaces with our supply base, we do
11 monitor data that comes in from our supply chain, in terms of
12 defects, in terms of risks. When we need to, as we have done with
13 Spirit, we would implement a safety risk assessment with that
14 supplier or, depending on the situation, internally, in response
15 to data that we have coming in from our supply chain.

16 MEMBER CHAPMAN: Thank you.

17 And for the Spirit folks, you're still in the early stages of
18 developing and implementing a safety management system. Is that
19 right?

20 MR. GREG BROWN: That is correct.

21 MEMBER CHAPMAN: For Spirit, and you've probably mentioned
22 this already this morning, so I apologize. I just want to
23 clarify. Does Spirit have a process to promote positive safety
24 culture, similar to the Speak Up employee reporting process at
25 Boeing?

1 MR. GREG BROWN: Yes, sir. We do. It is the -- primarily,
2 it's the Quality 360 --

3 MEMBER CHAPMAN: Okay.

4 MR. GREG BROWN: -- application. That is made available to
5 all employees and participants.

6 MEMBER CHAPMAN: Okay. So it is the Quality 360 program.
7 And that --

8 MR. GREG BROWN: That's correct.

9 MEMBER CHAPMAN: -- would cover not just quality issue, but
10 also safety issue?

11 MR. GREG BROWN: We do have a separate application that's for
12 accidents and incidents related to employee, OSHA type health
13 concerns. Those are taken in by our safety department, just as
14 the Quality 360 reports are taken in by the quality team. And
15 we're always looking to see if they need to be forwarded to the
16 appropriate teams.

17 MEMBER CHAPMAN: Your -- and you have 20 some employees at
18 the Renton facility. Are those folks eligible to participate in
19 Boeing's Speak Up program, or would they have to report through
20 Spirit's program, or could they do either, or both?

21 MR. GREG BROWN: I'll let Boeing answer for the Boeing side.
22 There are no prohibitions from a Spirit perspective as to whether
23 they could participate in the Boeing program.

24 MR. WILLIAM BROWN: We've actually had one employee submit
25 into the Boeing program.

1 MR. WRIGHT: The -- I think how the process works, and maybe
2 we have to verify how the programs connect up, but definitely
3 hazards can be raised through a lot of ways, not just Speak Up.
4 And we do take those. Just -- sometimes it's a call to my
5 department or not. But I --with regard to Speak Up, I think it is
6 -- the way it would go is for Boeing to enter it on Spirit's
7 behalf, if that was a question.

8 MEMBER CHAPMAN: So again, just following up on that, so do
9 the Spirit employees at Renton have access to the Boeing system?

10 MR. WRIGHT: I don't believe so. Not directly.

11 MEMBER CHAPMAN: Chair, I have some questions for FAA. I'm
12 just going to hold those for the next round. Thank you.

13 CHAIR HOMENDY: Sure. Member Inman.

14 MEMBER INMAN: Thank you, Chair. And I think Member Chapman
15 started with this may be a tough question. I'm afraid I'm going
16 to have several tough questions. If we can, can we pull up the
17 Boeing SMS implementation, please?

18 And first, while they're pulling that up, can the Boeing
19 employees, each of you, tell me how many years you've been with
20 Boeing directly? Just go down the line.

21 MR. WRIGHT: Yes, sir. I'll start. Thirty-three years.

22 MR. SILVA: Eleven years.

23 MR. ACKERMAN: Thirty-four.

24 MEMBER INMAN: Okay. And for FAA, how long have you been?

25 MR. SLAGLE: Twenty-four years.

1 MR. KNAUP: Eight years tomorrow.

2 DR. EICK: Three years.

3 MEMBER CHAPMAN: Okay. Thank you.

4 MEMBER INMAN: So in your safety management system, it
5 indicates in 2019 a products and services safety organization was
6 established, and it says SMS aligned. Can you tell me quickly
7 what that means?

8 MR. WRIGHT: Yes. We had a number of SMS systems, we have
9 repair stations. And also we had SMS systems that were separate
10 with different accountable executives, per the local regulatory
11 requirements. So there was an SMS in Boeing UK, where we have our
12 Chinook Helicopters, Australia. So what that meant was bringing
13 all the SMS programs together to start to align into a standard
14 single program going up to a single accountable executive at
15 Boeing.

16 MEMBER INMAN: And that was 2019. Right?

17 MR. WRIGHT: That's when that agreement for alignment
18 happened, and then we were working through the mechanics of it.

19 MEMBER INMAN: Okay. And that -- and if I'm correct, I get
20 the impression that that actually was borne a little bit out of a
21 number of enforcement investigative reports that the FAA had done
22 over time.

23 MR. WRIGHT: On that, I think there were several inputs.
24 That's a little before my time. I took the role in November 2021.

25 MEMBER INMAN: Okay. Well, let's -- if we can, we're going

1 to go down Memory Lane a little bit. Can we bring up the master
2 settlement, please? The reason I bring this up is it -- maybe you
3 remember --

4 MR. WRIGHT: Oh, pardon me, Member. I misspoke, 2020
5 November.

6 MEMBER INMAN: That's close enough.

7 MR. WRIGHT: Thanks.

8 MEMBER INMAN: So what we have here, actually, is -- the
9 actual document is the United States Department of Transportation
10 and the Federal Aviation Administration, Northwest Mountain
11 Region, Office of Regional Counsel settlement agreement. And this
12 settlement agreement was between the FAA and Boeing. This
13 actually occurred in 2015, specifically around the issues --
14 covered topics were safety management in SMS, regulatory
15 compliance, use of the Boeing problem solving model to analyze
16 allegations of noncompliance, and accuracy of stamping and other
17 verifications.

18 Now, I primarily listed those because they should sound
19 familiar. It's what we've been talking about the last day and a
20 half. But this was 2015. It's a little staggering to understand
21 that those existed over a decade ago and were subject to a
22 settlement.

23 I guess the bigger issue is, after that, if you'll pull up
24 the agreement, or the sanction I was actually at the Department of
25 Transportation when this was drafted, December 29th, 2020, five

1 years after the fact, in which that out of the 10 sections that
2 were still applicable, it was determined that five of them had not
3 even been met at that point. So we had another set of sanctions.

4 I guess the question is for Boeing, as part of that agreement
5 in 2015, you actually said that you would have in place an SMS,
6 and it had been accepted by the FAA. That was 2015. We continue
7 to talk about things getting mature. I think if you'll find
8 anybody that's a 10 or 12 year old, they'll think they're mature,
9 but they may not be.

10 But almost three years after that -- or excuse me, six years
11 later, we talk about it's implemented. And then three years after
12 that, it still isn't, and we're hopeful that it will get
13 implemented in 2027.

14 I guess the biggest question is does it really take one of
15 the U.S. largest companies and one of the largest companies in the
16 world 12 years to implement a safety program?

17 MR. WRIGHT: I appreciate what you're relaying. There's
18 definitely a timeline of implementation, and SMS is a continuous
19 improvement, is the best I can relay it, sir. So now, my
20 understanding of this timeline was in 2015, we did hire SMS
21 leadership, and conducted benchmarking, because the SMS for design
22 and manufacturers wasn't very well understood.

23 And in 2017, we immediately asked the FAA for information on
24 the voluntary program. And then conducted --

25 MEMBER INMAN: Well, wait. Can I stop you?

1 MR. WRIGHT: Yeah.

2 MEMBER INMAN: The voluntary program -- at that point, you
3 were under a settlement agreement. It doesn't sound voluntary.
4 It's a settlement agreement, that you would do that, and you would
5 continue to add to it.

6 MR. WRIGHT: Absolutely. I should clarify that the only FAA
7 program available was voluntary. It's just the name of it. So
8 I'm -- the -- it was -- we were seeking to further get guidance on
9 design and manufacturer SMS and what that entails, and that led us
10 to the 2019 alignment. So that's the best I can explain that path
11 to 2019. And then from there, it's as I've been attempting to
12 describe.

13 MEMBER INMAN: Okay.

14 So for the -- I guess for the FAA, I'm going to bring that
15 back again. It's kind of the same question. It's apparent
16 similar issues existed back in 2015, stamping, safety management
17 systems. And I realize we've got one lucky person who said he's
18 only been there for three years. So you can -- you're off the
19 hotseat a little bit.

20 But, I mean, they existed at that point. They were primarily
21 saying, at that point, on the design side of the house. But in
22 this accident, we're seeing similar issues on the production side.
23 And is it just me, or are we seeing a game of whack-a-mole every
24 five or 10 years on issues related to safety?

25 MR. KNAUP: So I wasn't around when they did the 2015

1 settlement agreement. But certainly, I'm aware of it. And yes,
2 we have seen similar issues in, you know, this current event that
3 we saw back then. We continue to do compliance and enforcement
4 throughout that process to try to, you know, ensure compliance as
5 we move through the process and, you know, the quality system or
6 different or different aspects of Boeing changes.

7 MEMBER INMAN: So I guess to follow up that, in 2015, it was
8 a monitoring process for five years, for -- but now we're back
9 under another monitoring agreement. What do you think will be
10 different this time?

11 MR. KNAUP: I'd say that differences on our side, on the FAA
12 side, is we've increased staff significantly already, and plan to
13 increase additionally so that we can be there more often than,
14 maybe, we were before. So I know that's one thing that we are
15 doing to ensure.

16 We do have a lot of data provided by Boeing as part of the 90
17 day plan that we, you know, will monitor, and ensure that that
18 helps inform where we go look at potential issues within their
19 system. You know, I think those are a couple of the actions that
20 we're taking in the last nine months to make it be different than
21 it was last time.

22 MEMBER INMAN: And to your credit, there -- I know there are
23 a lot of dedicated FAA employees and Boeing employees. I don't
24 think this is a situation any of us wants to be sitting in. But I
25 sure as hell don't want to be sitting here again in five years.

1 I'll defer on my time, Madam Chair.

2 CHAIR HOMENDY: Thank you, Member Inman.

3 You did briefly, earlier, Mr. Wright, and I'm just hoping you
4 can do it again in just a minute, one minute or less. Can you
5 define just culture?

6 MR. WRIGHT: Yes, ma'am. It's a -- just culture is a
7 philosophy and methodology that ensures that employees who report
8 mistakes in good -- or who report good faith mistakes truthfully,
9 that they are not punitively responded to, so that it enables the
10 learning an organization needs to continually get better with
11 safety.

12 CHAIR HOMENDY: And overall, how would you define safety
13 culture?

14 MR. WRIGHT: Safety culture is -- I -- we do buy in, and I
15 personally do, to the five elements of safety culture, with the
16 reporting culture, informed, learning, flexible, and just, as all
17 being required elements for this to work.

18 CHAIR HOMENDY: And how would you define a healthy
19 employee/manager relationship?

20 MR. WRIGHT: A healthy employee/manager relationship would be
21 one where they interact freely, where the manager knows about the
22 employee and cares about them personally, and vice versa. And
23 they know their business, and they know how to respond when work
24 can't be done in a way that is correct. And it's in an
25 environment where everybody feels respected.

1 CHAIR HOMENDY: In leading people safety, they talk about a
2 healthy employee/manager relationship, and they talk about it in
3 terms of it needs to be employee owned and not management driven.
4 And they highlight three attributes of a healthy employee/manager
5 relationship, and that being trust. Would you agree with that,
6 trust?

7 MR. WRIGHT: Absolutely.

8 CHAIR HOMENDY: How about transparency?

9 MR. WRIGHT: That would make sense.

10 CHAIR HOMENDY: And how about treatment?

11 MR. WRIGHT: It seems like it goes with the other two well.

12 CHAIR HOMENDY: Yeah. Trust, transparency, treatment. So I
13 want you to keep that in mind when I ask about a few things. Just
14 going back to something related to nonconformance, or unauthorized
15 removals. There is a lot of documentation about unauthorized
16 removals. There have been FAA audits. There have been Boeing
17 internal audits.

18 In fact, there were -- let's see, conducted audits of its own
19 processes for noncompliance, repeatedly identifying concerns with
20 documentation, or lack thereof, for removed parts, audit numbers
21 2239, 2106, 2228, 2333. These are all Boeing audits on 737s,
22 767s, triple sevens, 787s, repeated problems with unauthorized
23 removals.

24 So I'm going to give Mr. Silva a second chance at asking
25 Dr. -- answering Dr. Wood's question of at which stage should this

1 escape been caught?

2 MR. SILVA: I think since the accident and everything we've
3 learned, both reflecting back on all those internal audits, and
4 looking back more systemically at all our compliance actions, both
5 from the FAA and voluntary, this really could have been something
6 that we could have put some other countermeasures in place
7 earlier, and we recognize that.

8 CHAIR HOMENDY: So by the time it got to flow day one, three,
9 seven, nine, it should have been years before that. Correct?

10 MR. SILVA: Yes.

11 CHAIR HOMENDY: Years before January 5th.

12 MR. SILVA: Yes.

13 CHAIR HOMENDY: So I have a question just relating back to a
14 healthy employee/manager relationship, and while I do this, Leani,
15 can you pull up Exhibit 11K, page 233? To our crew at the time,
16 25 people?

17 MR. SILVA: I believe that's what heard yesterday in the
18 panels. That sounds about right.

19 CHAIR HOMENDY: Okay. And before Leani picks this up, I do
20 have a question. Who's responsible for safety?

21 MR. WRIGHT: Everybody in the organization.

22 CHAIR HOMENDY: That's right. That's right. Thank you. And
23 when human error occurs, what action should Boeing take in a just
24 culture and a healthy employee/management relationship?

25 MR. WRIGHT: Take actions to fix the system that allows for

1 the human error.

2 CHAIR HOMENDY: And do you believe employees should be
3 punished for mistakes? I'm not talking about, you know,
4 intentional or anything like that.

5 MR. WRIGHT: No. We think of them as good faith mistakes or
6 unintentional mistakes.

7 CHAIR HOMENDY: Okay.

8 MR. WRIGHT: I do not.

9 CHAIR HOMENDY: Leani, do you have that exhibit? All right.
10 So page 33, can -- or 233. Go down. Okay. It's actually -- this
11 -- I might not have the right exhibit. That's all right. Take it
12 down. That's all right. Stephen's going to check the exhibit.

13 The person I want to ask about is the two door crew employees
14 who have been sidelined. I understand that you have an
15 antiretaliation policy. We have it. I also understand that you
16 have a policy for lateral moves.

17 Yesterday, Ms. Lund talked about two employees that after
18 this occurred, I don't think we have any evidence to suggest this
19 was intentional. I don't think Boeing does either. If you do,
20 please tell us now.

21 So given that it's not intentional, and we just talked about
22 how when there are safety issues and human error, that you should
23 be welcoming people to speak up, what sort of impression does that
24 give your employees if you sideline them and put them in quote --
25 and I'm quoting, Boeing prison, a cage? I'm just wondering what

1 message that sends?

2 MR. WRIGHT: I'm not directly involved with those employees.
3 I have to refer to Ms. Lund's testimony yesterday about --

4 CHAIR HOMENDY: What --

5 MR. WRIGHT: -- and I don't have enough details to know. I
6 do know that in a just culture, you need to address good faith
7 mistakes with nonpunitive solutions. And I know that we always
8 take action to assure that the aircraft -- product safety is
9 protected. And we need -- it's not an and, it's a both.

10 CHAIR HOMENDY: And safety is a collective responsibility.
11 It's just not -- it's not just one person. It's not just two
12 people. And so I have a lot of questions about these two people
13 who have been sidelined, granted they are apparently somewhere
14 with pay, but it's very clear that they have been told that they
15 will not return until -- if at all, until this investigation is
16 over.

17 Have you communicated why that is effectively with them,
18 anybody, Mr. Ackerman?

19 MR. ACKERMAN: I have not been involved in the actions with
20 those employees at all.

21 MR. WRIGHT: I have not either.

22 CHAIR HOMENDY: Yeah. What effect, Mr. Catlin, does it have
23 when you do something like that, to your entire workforce?

24 MR. CATLIN: It sends a very clear message to the entire
25 workforce.

1 CHAIR HOMENDY: What's that message?

2 MR. CATLIN: You mess up, you get moved. We see it all the
3 time.

4 CHAIR HOMENDY: Yeah. So I'm just going to read you a couple
5 things. I have a minute and 20 seconds left. This is from our
6 interviews. Quote, Boeing employees, so we've got a lot of people
7 that won't, that are not going to speak up, because when they do,
8 they've been burned by a manager, they've been moved, you know,
9 relocated, pushed out. Every little thing they do, you were three
10 minutes late, three minutes late, and then you're moved.

11 Another one says because my job, I work directly for Boeing,
12 so when I have concern I go to my managers. I also have the fear
13 I'm going to be moved to a different area or just, you know -- and
14 when we asked, have you seen this happen, I have not seen this
15 happen, but I've seen it somewhere in Boeing.

16 This is the effect that that type of -- and it is
17 retaliation, happens. You have an antiretaliation policy. So I
18 just want to understand why two people on a door crew are
19 sidelined for something that is a collective responsibility,
20 something that Boeing knew for years was a responsibility.

21 I want to ask, are you 100 percent sure a defect won't occur
22 tomorrow? Yes or no?

23 MR. SILVA: No.

24 CHAIR HOMENDY: Are you 100 percent sure there will never be
25 an unauthorized removal?

1 MR. SILVA: No.

2 CHAIR HOMENDY: Are you 100 percent -- can you tell Alaska
3 Airlines there will never be -- there may never be a situation
4 where bolts won't be put into a door plug?

5 MR. SILVA: I can't make a promise or a guarantee like that.
6 All I can say is we are definitely committed to making sure that
7 all of the changes we need to make --

8 CHAIR HOMENDY: And I do appreciate that.

9 MR. SILVA: -- are necessary.

10 CHAIR HOMENDY: I do appreciate that. I think, you know, I
11 think there are many people at Boeing who are really focused on
12 safety. I mean, it's clear it means a lot to each of you. I just
13 -- and I'll get into just culture a little bit more. This is -- I
14 do want to ask Mr. Catlin about it and some others. But thank you
15 very much, and appreciate your honesty. Member Graham.

16 MEMBER GRAHAM: Thank you.

17 Let me go back to continued operational -- continuous
18 operational safety. When the accident happened, I assume that
19 team gathered to formulate the field response to what they were
20 going to do as far as an inspection or whatever, and eventually
21 what the FAA would require. Is that correct?

22 MR. WRIGHT: Yeah. That's my understanding, talking with the
23 people involved.

24 MEMBER GRAHAM: Okay. And normally, a COS system would
25 usually take input from the field, from issues that are out in the

1 field, from the fleet. Right? Is that correct?

2 MR. WRIGHT: Yeah, as a data gathering process.

3 MEMBER GRAHAM: Yeah. Is -- does Boeing COS program, do they
4 ever take anything internally, from the factory, from production
5 flight tests, any of that? I see a lot of shaking heads. Is that
6 --

7 MR. WRIGHT: Certainly.

8 MEMBER GRAHAM: Okay. Good.

9 MR. WRIGHT: In that regard, I don't know if you want to talk
10 about it. We do have that process.

11 MEMBER GRAHAM: Okay. That's good. That's good to hear. I
12 mean, I know a lot of programs that didn't for years. And, you
13 know, that might head stuff off at the pass, before it gets to the
14 Alaskas and stuff like that. Very good.

15 One more thing on SMS here, being that I ran -- I developed
16 and ran an SMS for a manufacturer for a number of years, a robust
17 and effective SMS must permeate throughout the organization, from
18 the most senior executive down to each employee on the
19 manufacturing line. And every single person at the organization
20 must be bought in as an empowered safety officer. I see a lot of
21 head shaking there.

22 So my question is what steps did Boeing take prior to this
23 accident to ensure that each employee was not only aware of its
24 SMS, but bought into the system?

25 MR. WRIGHT: The steps we took were to go through the

1 promotion elements that I walked through a little earlier today,
2 and then conduct surveys to see how that was going, and then use
3 the surveys to guide our next actions.

4 MEMBER GRAHAM: And since the accident?

5 MR. WRIGHT: Since the accident, and I know you've said this
6 some -- the people at Boeing care deeply about safety. Every one
7 of us hurts inside. Since the accident, we've seen a significant
8 increase in safety reporting, and the interaction with -- through
9 stand downs with employees and managers collaborating on solutions
10 has been significant related to the actions I was describing
11 earlier, and the quantities.

12 MEMBER GRAHAM: Very good. I want to thank the witnesses for
13 their answers, and that's all I have in this round, Chair.

14 CHAIR HOMENDY: Thank you. Member Chapman.

15 MEMBER CHAPMAN: Thank you, Chair.

16 Just a couple of questions for the FAA folks. How many part
17 21 organizations currently participate in the voluntary SMS
18 program? I don't need an exact number, but if you can give us at
19 least a reasonable estimation.

20 MR. SLAGLE: I'd say at present, 30 to 35 companies in the
21 voluntary program.

22 MEMBER CHAPMAN: Thank you. And are all or most of those
23 voluntary SMS programs currently under FAA assessment?

24 MR. SLAGLE: We have five companies that we accepted their
25 SMS under the voluntary program. So the other 30 plus companies

1 are at different stages in the voluntary program.

2 MEMBER CHAPMAN: Okay. And I think I heard you say earlier
3 that there will be 65 companies required to have mandatory SMS,
4 part 21 companies, under the new rule. Is that correct? And if
5 not, what is the number?

6 DR. EICK: Yes, 65 is our estimate.

7 MEMBER CHAPMAN: Sixty-five. And does FAA have adequate
8 resources to ensure the timely, and frankly, quality assessment of
9 those SMS's?

10 DR. EICK: Yes.

11 MEMBER CHAPMAN: Thank you. And I want to thank the
12 witnesses as well. It's been, I know, a long day, a long, hot
13 day. But we still have chocolate up here, so eat your heart out.
14 Thank you, Chair. That's all I had for this round.

15 CHAIR HOMENDY: Thank you. Member Inman.

16 MEMBER INMAN: Thank you.

17 Let me just -- earlier, the FAA folks, you were talking about
18 someone that was really an expert in SMS. Was that James Phoenix?

19 MR. KNAUP: Yes.

20 MEMBER INMAN: Okay. Can we bring up 11M, please? I'm just
21 going to bring up -- it's a little bit of the paperwork. But
22 Chair, I would point out one thing. I think the Boeing board of
23 directors has their own retaliatory plan. It's getting rid of
24 their CEO every few years. And I think that's going to change, I
25 guess, tomorrow, too. Isn't it?

1 Do we have 11M? Thank you. This is from James Phoenix. He
2 was retired at the time, but I think he's well known as an expert
3 in SMS, and often times you can -- while you're employed for a
4 company, you have to sometimes, certain messages you have to
5 portray, or you've been told, or check with.

6 One great thing about someone who's no longer an employee of
7 the FAA or otherwise, they often can tell the truth. I'm not
8 saying anyone here is not. But I think it's a great barometer,
9 and I think he makes some great comments in here.

10 So we're talking about in line 612 -- sorry, page 612, line
11 11. It's not 612 in the PDF. It's 612 -- yeah. Yeah. So when
12 the airplane moves down the line, and the door, maybe, goes over
13 to Moses Lake, when the part finally shows up that they need, they
14 have to remove other parts. I mean, in the tens of thousands of
15 removals, you would not normally see, Boeing was ill-prepared to
16 manage this.

17 And this was the transformation, basically, after the
18 shutdown, and then the restart. So he was talking specifically in
19 that area. But then he goes on, if you will scroll on down a
20 little bit. So the other issue we had with the removals were the
21 instructions on reinstalling. They just didn't pull the old IP
22 back up and say go out and do all this.

23 And I believe IAM actually testified to this a little while
24 ago, the engineering instructions said put it back in and test it.
25 Paraphrasing, but we were really disappointed with the level of --

1 next page -- instruction on reinstalling. It did not match the
2 level of fidelity that you had on production IPs, and that was a
3 couple years ago.

4 There's a lot of issues regarding -- around removals,
5 undocumented removals. I think we had a number of compliance
6 actions on that. So if you ask me if I'm surprised, I am not,
7 unfortunately.

8 Is -- does the FAA feel like it's got more James Phoenixes
9 out there that they can turn to? Are you the next James Phoenix?
10 Do you feel comfortable that you can actually say that while
11 you're still at the FAA?

12 MR. KNAUP: Well, I guess I'm not the next Jim. I don't
13 think anyone can replace Jim. What I will say is we did identify
14 this issue. Like he mentions in his testimony, we worked through
15 our compliance actions, and tried to ensure Boeing implemented
16 corrective actions around this issue, which was the reinstallation
17 of parts, and ensuring that the IPs were adequate so that the
18 employees knew how to reinstall part afterwards.

19 The removal process, you know, as mentioned previously, is a
20 very complex process. So we did attack that process and, you
21 know, I would say had compliance actions in many different aspects
22 of that process throughout the time, you know, Jim is referencing
23 in his testimony.

24 MEMBER INMAN: Okay. Can we drop down to page 620?

25 And so here they're talking about an interesting term that

1 I'd not really heard before. But apparently, it's known. It's
2 called blame and train. Have you all heard about this? And I'm
3 going to ask Boeing, is this something that maybe people haven't
4 spoken to you about, but that you know is being discussed?

5 MR. SILVA: If you're -- oh, sorry. I was going to say yeah,
6 with this comment, being familiar with who was being interviewed,
7 we have heard him make that statement before around, in this case,
8 the robustness of a corrective action not really being robust.
9 It's inadequate to do root cause analysis and say we'll just
10 continue to train someone.

11 MEMBER INMAN: And I think he goes on, down to line 16, you
12 need to change your process to implement a control.

13 MR. SILVA: Process, and I would add, even the tools, the
14 systems that we use. Yeah.

15 MEMBER INMAN: Okay. I do want to give a little credit where
16 credit's due, if we could go to page 621, line 19. And I
17 apologize. There's so many pages in the docket, sometimes it's
18 our one chance to highlight a few for all the parties and other
19 members. But occasionally, you can get a little credit, where he
20 talks about the relationship between Boeing and FAA, whether it's
21 adversarial.

22 No, it was excellent. We spent a lot of time in their
23 facilities, with folks up at the Everett Office, the head of the
24 office in the Boeing facility. But we moved out of there when we
25 changed the location, 15 minutes and, you know, met with Boeing

1 leadership routinely, weekly. And I'll wait for the next page.
2 Sometimes five times a week. You know, Boeing loves their
3 meetings.

4 But they talked about the working relationships. And if you
5 drop down a little bit further, the inspection unit members. And
6 the reason I bring that up is he indicates they really know how
7 Boeing works. If you want to, and they're not shy, they will tell
8 you anything you want to know.

9 My suggestion is to spend some time with them if you haven't
10 already, hopefully in a non-adversarial position. And I don't
11 know if you have or haven't, but that would be a good -- that, I
12 think it would be very helpful.

13 MR. SILVA: We certainly agree.

14 MEMBER INMAN: Okay. Okay. I do want to call out, though, I
15 guess, one thing in this, and it's a little bit of the SMS
16 history, even though -- because I brought it up in the last panel.
17 And it was interesting to hear, you know, Alaska suffered a
18 tragedy many years ago. And as far as I understand, they took it
19 upon themselves to go after SMS even before SMS was cool.

20 In fact, Boeing has learned from them a little bit. They
21 actually, I believe, started informally in 2008. Does that sound
22 right, Max? I know you're not a party, and I'm not really asking
23 you a question, so thank you. The thumbs up is okay.

24 And then in earnest, really picked it up in 2013, and
25 actually was fully accredited by the FAA in September 2016.

1 MR. TIDWELL: Yes, Member.

2 MEMBER INMAN: You could have just thumbsed [sic] up. That's
3 okay.

4 But I do think there's an opportunity sometimes, as Seth
5 mentioned in his testimony, you know, we can -- we sometimes
6 learn. And I know I've got a challenge coin that I have. It says
7 from tragedy, on the back of it, and it used to be on the doors to
8 our training center, from tragedy, we draw knowledge, to improve
9 safety for us all.

10 Now, while this wasn't a tragedy, it probably was traumatic
11 for a lot of the people. So I want to actually follow up just a
12 little bit on your question on the oxygen canisters, because I
13 think it's important.

14 We talked about -- it was March of 2023 when the first
15 operator noted, in their pre-inspection delivery, I believe the
16 plane only had 25 hours on it. They reported that almost all of
17 them were dislodged in some way. And they may not have been
18 crimped, but they were dislodged. They saw that again later that
19 year, the same issue. They're obviously doing a really good
20 check. And now, they're kind of worried about it.

21 But it wasn't until, I believe, May or June of the next year
22 that the actual service bulletin went out ahead of the AD. Is
23 that how quick an SMS should work whenever it's going to affect
24 600 or 700 airplanes?

25 MR. WRIGHT: The best way I can answer that question,

1 because, you know, it's hard with the specifics, and I wasn't
2 right in the weeds of it. But I know our contingent operational
3 safety program process does an assessment of safety, not safety.
4 It's quite binary. And then there's a calculation of how long
5 should it take for the fleet to incorporate the changes, so that
6 we make sure we help the fleet focus on the right service
7 bulletins in the right order with the resources to have.

8 And I do know that in addition to the Boeing process, the --
9 part of the ecosystem of this is there's a FAA oversight process
10 that can choose to shorten that time period. And in this regard,
11 they did.

12 So I -- it was all done per -- within process of how we
13 handle all our safety events. And sometimes those compliance
14 periods are longer so that it helps the airlines focus on the ones
15 that are nearer term safety, is the best I can answer there.

16 MEMBER INMAN: I think if you've got a plane at 16,000 feet
17 that's deoxygenated [sic], it's pretty near term safety. So
18 I'll just leave it at that. And also going back to a little bit
19 of this, how do you -- so in this instance, we actually have
20 learned a couple of questions. And we talked about the -- sorry.
21 We talked about some of the great work, even though we're not
22 going into the operations themselves.

23 But I think we did learn a couple of lessons specifically
24 around where flight attendants may sit in certain configurations.
25 I know Alaska has already done an update on their flight attendant

1 manuals to make that a little better. And I know their manuals
2 also said that the flight attendants were not supposed to move
3 from their station until they had established communication with
4 the flight deck.

5 And through a series of a couple of other issues that I'm
6 sure our investigative report will dig into, they may have broken
7 a protocol, but they did the right thing. How do we get good
8 lessons like that, where a protocol was written with good
9 intentions, but real lessons are learned. One operator has made
10 the change. How do you get that information out to other
11 operators?

12 MR. WRIGHT: I don't have specifics on the process of how we
13 get that out, but it makes absolute SMS sense to do that.

14 MEMBER INMAN: Does anybody else?

15 MR. WRIGHT: I don't think the people on this panel work in
16 that area. We can take an action to follow up on that.

17 MEMBER INMAN: On updating air operators regarding safety
18 issues in flight from a lesson learned?

19 MR. WRIGHT: Yeah. The specifics of the process are just run
20 by a different organization, and we don't want to give wrong
21 information.

22 MEMBER INMAN: Thank you, Chair.

23 CHAIR HOMENDY: Thank you very much.

24 Just really quick, in 2009, Boeing filed comments to the
25 FAA's rulemaking on SMS, and then stated, quote, while we embrace

1 the concepts and principles of SMS, and believe there are
2 potential benefits from a formal SMS implementation, the actual
3 benefits to safety and compliance for our organization are
4 expected to be small. Can you explain that?

5 MR. WRIGHT: I'm not familiar with that statement.

6 CHAIR HOMENDY: It was your comments to the federal register
7 notice, Boeing's comments to the federal register notice for FAA's
8 AMPRM on SMS in 2009 and referenced in the ODA technical review
9 panel report.

10 MR. WRIGHT: Yeah. I'm afraid I can't comment on that.

11 CHAIR HOMENDY: You do not agree that the safety benefits --
12 or do you or do you not agree that the safety benefits to Boeing
13 would be -- what do you think the safety benefits to Boeing would
14 be to have an SMS, a well-functioning SMS?

15 MR. WRIGHT: We see great value in a well-functioning SMS.

16 CHAIR HOMENDY: Good. Good. I'm glad to hear that. Since
17 we do all have a collective responsibility to ensure safety, we
18 are going to do a safety culture survey of Boeing's Renton
19 employees. And so I'd like a commitment from Boeing that you will
20 work with us to carry out that safety culture survey without
21 interference.

22 MR. SILVA: Yes, we would.

23 CHAIR HOMENDY: Perfect. Thank you very much. I want to ask
24 some questions about Speak Up, and this really goes to a reporting
25 culture. I know Alaska had asked, and I believe Member Chapman

1 had asked about who could use the Speak Up process, and whether
2 it's available to all Boeing employees. Is it available to
3 business partners, suppliers, vendors, and contractors?

4 MR. WRIGHT: Not at this time.

5 CHAIR HOMENDY: Is -- and so the statement in your policy
6 that says including that employee reporting in the Speak Up
7 process is available to all employees, including business
8 partners, suppliers, vendors, and contractors, the exclusion there
9 is with access to the Boeing intranet? They do not have access to
10 the Boeing intranet?

11 MR. WRIGHT: Yeah. It's the access to the Boeing intranet,
12 and I think the working assumption, and I know we're changing our
13 policy here, but at the time that the system was architected, was
14 they would go through a Boeing person to submit on their behalf,
15 is what I believe the initial setup was. But as part of this plan
16 we're doing, we're definitely making changes, and I believe that's
17 part of it.

18 CHAIR HOMENDY: Why, then, would you draft a policy on July
19 7th, 2023, that the vendors and suppliers could use it?

20 MR. WRIGHT: I don't know the answer to that, other than that
21 working assumption I just relayed.

22 CHAIR HOMENDY: Okay. Do you think it would be reasonable,
23 given some of the concerns I've raised from quotes in interviews,
24 that a contractor would submit a Speak Up report through Boeing?

25 MR. WRIGHT: I haven't thought about all the ins and outs,

1 but I don't know why not.

2 CHAIR HOMENDY: Do you believe your Speak Up process is
3 effective, that you're getting maximum participation and that
4 people trust the system?

5 MR. WRIGHT: We are not at maximum participation, but I have
6 seen significant year over year increases in reporting.

7 CHAIR HOMENDY: What does increases mean, numbers-wise?

8 MR. WRIGHT: Numbers-wise, when we first started up we were
9 in the hundreds. Now, year to date, we're well above 2,000.

10 CHAIR HOMENDY: Two thousand. That's --

11 MR. WRIGHT: And --

12 CHAIR HOMENDY: -- 2,000 a year?

13 MR. WRIGHT: No, year to date.

14 CHAIR HOMENDY: Oh, year to date.

15 MR. WRIGHT: Yeah.

16 CHAIR HOMENDY: Oh, got it.

17 MR. WRIGHT: And every year, I've seen the number double,
18 sometimes triple or more. So I'm looking for that scale of
19 increase to continue.

20 CHAIR HOMENDY: And how can you get more participation?

21 MR. WRIGHT: My experience in environment health and safety,
22 where I led that organization prior to this role, was repetition.
23 Over 10 years, we got into the tens of thousands. And it took
24 repetition and showing employees that they could trust the system
25 with positive results. And when employees had a bad experience

1 with the system, we changed the system.

2 CHAIR HOMENDY: And do you believe your employees feel that
3 they can submit truly anonymously? I know there's a confidential,
4 and we'll go through the difference between confidential and
5 anonymous again. Confidential is you submit your name, but
6 there'll be a formal investigation, but supposedly, that would be
7 -- the name would be protected in that group. I believe that's
8 what the policy says in writing.

9 MR. WRIGHT: The confidential nature is as you described.
10 It's -- the person gets to decide whether or not they want to have
11 their name released, and there's an interaction there. A lot of
12 employees do want to have their name released, to be part of the
13 solution more actively. So we give them that option.

14 And do all employees feel trust in the system? It's a mix.
15 Our surveys tell us it's a mix. And it's part of that road of
16 repetition to build the trust that it takes with that. As you
17 mentioned, trust, transparency, and treatment.

18 CHAIR HOMENDY: Do you think the union could play a role in
19 that?

20 MR. WRIGHT: I think it's going to be critical for union
21 members to help other union members build trust.

22 CHAIR HOMENDY: Does -- do you offer incentives for people to
23 speak up?

24 MR. WRIGHT: We have not for product safety. We haven't done
25 contests or gamification like we've done in other areas when we're

1 trying to raise hazards. I know there's schools of thought on
2 that. I've actually seen benefit. And so we're discussing that.
3 But to date, there hasn't been incentives for reporting.

4 CHAIR HOMENDY: For product safety.

5 MR. WRIGHT: Right.

6 MR. SILVA: We have offered recognition to folks that have --

7 MR. WRIGHT: That's true.

8 MR. SILVA: -- utilized Speak Up, yes.

9 MR. WRIGHT: That's a fair point.

10 CHAIR HOMENDY: Do executives get incentives for product
11 safety?

12 MR. WRIGHT: Product safety in general?

13 CHAIR HOMENDY: Is it part of the compensation package?

14 MR. WRIGHT: It -- the compensation package for everybody has
15 a product safety piece.

16 CHAIR HOMENDY: And does that include rank and file?

17 MR. WRIGHT: It does.

18 CHAIR HOMENDY: It does. I do want to get into that, and
19 maybe -- I see Mr. Catlin might want to respond on that.

20 MR. SILVA: I'll make, perhaps, just one clarification. Our
21 -- like Paul said, we have broad intensive plans across all
22 different constituencies of our teammates. I believe within the
23 IAM, it's workplace safety that's the metric that gets tracked.

24 MR. WRIGHT: Thanks for the clarification.

25 CHAIR HOMENDY: Workplace safety.

1 MR. SILVA: Yeah.

2 CHAIR HOMENDY: Mr. Catlin.

3 MR. CATLIN: Yeah, we do have a bonus that is part of our
4 collective bargaining agreement, and quality and safety are two of
5 the metrics that are in there.

6 CHAIR HOMENDY: Good.

7 And how do you show value, then, for reporting? Like, what's
8 the -- am I over time? Okay. How do you show value in reporting?
9 So you don't have an incentive program. I will say that going
10 through all the witness statements, it says they have no idea how
11 to report. I mean, whether it's, you know, Spirit contractors in
12 their own avenue or it's Boeing employees.

13 And I know they're a limited number of employees. You have
14 thousands of employees. We interviewed a certain number of
15 employees. But all but one had no idea. And so what -- how do
16 you show value?

17 MR. WRIGHT: The value that -- the feedback I get on the
18 value, and I do get positive feedback from employees, is that
19 management takes action on the issue that they had where they were
20 stuck, locally. And then the issue gets solved, and they're quite
21 pleased.

22 CHAIR HOMENDY: And do you communicate that broadly?

23 MR. WRIGHT: We communicate -- we've aggregated in Boeing
24 news type -- the web articles. But I think there's room to
25 improve in that area.

1 CHAIR HOMENDY: Okay. I -- when you file a Speak Up form, do
2 you badge in or anything, or anything like that?

3 MR. WRIGHT: Well, you're inside the Boeing firewall, do you
4 do have to use your -- either your badge, or some people use a
5 password, depending on what kind of employee you are. But it's --
6 there's an inside the firewall gate you have to cross.

7 CHAIR HOMENDY: So when --

8 MR. WRIGHT: So like --

9 CHAIR HOMENDY: -- you file an anonymous report, there's
10 still some sort of gate you have to cross, sort of like a badge in
11 or a password for the intranet?

12 MR. WRIGHT: I can kind of walk through it, like when I
13 submit a Speak Up, which I have. I put my badge in the badge
14 reader when I first go into the Boeing intranet to get inside, to
15 see my email and everything.

16 And then when I go into Speak Up, if -- and this is getting
17 into the system that the employee can't see, but I know this is
18 the architecture. If I click anonymous -- let me start with
19 confidential. If I click confidential, my employee ID number goes
20 into the system. If I click anonymous, that field is populated
21 with a zero --

22 CHAIR HOMENDY: Mm-hm.

23 MR. WRIGHT: -- and after that, we don't have visibility once
24 the employee hits submit, because that field's got a zero.

25 CHAIR HOMENDY: But you still badged in before you filed

1 that.

2 MR. WRIGHT: Sure.

3 CHAIR HOMENDY: Last question, because I'm out of time for
4 this round. Does FAA get the Speak Up reports?

5 MR. WRIGHT: I'd have to have them --

6 CHAIR HOMENDY: Brian.

7 MR. WRIGHT: -- comment. I know what some of the reviews --

8 MR. KNAUP: Yeah. We do not get all the Speak Up reports.
9 We do see some of them, certainly those associated with the ASAP,
10 the folks that we have that are part of the event review
11 committees see those Speak Up reports. We see other ones that
12 might be associated with regulatory compliance. We do not see
13 all --

14 CHAIR HOMENDY: Could you --

15 MR. KNAUP: -- of the Speak Up reports.

16 CHAIR HOMENDY: -- if you wanted all of them?

17 MR. KNAUP: I guess I'd leave that to Boeing to answer.

18 DR. EICK: Maybe I'll just throw something out, that the new
19 rule requires that they submit, every six months, a summary of
20 their confidential employee reports received to the FAA. And we
21 say in our guidance material, that means the number of reports
22 received, and a concise description of each report. So when the
23 new rule is fully effective and --

24 CHAIR HOMENDY: Which is not until 2029, right?

25 DR. EICK: No, 2027.

1 CHAIR HOMENDY: 2027.

2 DR. EICK: Right.

3 CHAIR HOMENDY: We're still a couple of years away from that.

4 DR. EICK: Yeah.

5 CHAIR HOMENDY: So right now, no.

6 MR. SILVA: No. I can speak to -- currently, as part of our
7 biweekly CEO safety review in Boeing Commercial Airplanes, we
8 would have slides that include data around Speak Up reports.
9 Historically, sometimes they even had more detailed data around
10 the reports. As the volume has increased, now it's more the
11 aggregate metrics.

12 But certainly, in terms of the transparency we want to give
13 to the FAA, upon request, we can figure out a -- I'm sure we could
14 figure out some sort of way to give them visibility.

15 CHAIR HOMENDY: Thank you. And I'm sorry, I'm over my time.
16 Member Chapman. Member Inman.

17 MEMBER INMAN: Thank you, Chair.

18 I'm going to follow up a little bit on your rewarding, and
19 just get into a couple of areas. So in your 2024 Boeing's proxy
20 statement, it highlighted some of the issues from Alaska Air as
21 being a driver for changes. And I think someone mentioned earlier
22 that currently, the executive that signs off is -- But that
23 changes tomorrow. Is that right?

24 MR. WRIGHT: That's David Calhoun, and that does change
25 tomorrow. Yeah.

1 MEMBER INMAN: I went one prior. Sorry.

2 MR. WRIGHT: To Mr. Ortberg, yes, sir.

3 MEMBER INMAN: Mr. Ortberg. And they touted in that, I've
4 read some of the news releases, that they were going to change
5 compensation from -- previously, for named key executives, 75
6 percent financial performance, and 25 percent operational
7 performance. This is for their bonus and incentives, to where it
8 will now go to 60 percent operational and 40 percent financial.
9 Do you believe this is a good idea?

10 MR. WRIGHT: How I understand the model is operational means
11 quality.

12 MEMBER INMAN: Yes, sir.

13 MR. WRIGHT: Yeah. Safety as well.

14 MEMBER INMAN: Mm-hm.

15 MR. WRIGHT: So makes sense to me.

16 MEMBER INMAN: Okay. I guess the troubling thing, when we
17 dig a little bit deeper, is it's only for six people.

18 MR. SILVA: And without having all the information in front
19 of me, to clarify --

20 MEMBER INMAN: Mm-hm.

21 MR. SILVA: -- those changes were made beyond just those
22 named officers. That was a change to the incentive plan overall.

23 MEMBER INMAN: Great. That's wonderful. Do you have an idea
24 how big that universe is?

25 MR. SILVA: I'm sorry. I do not. But I'm sure we can follow

1 up with the details for you.

2 MEMBER INMAN: Could you find out for us? Because --

3 MR. SILVA: Sure.

4 MEMBER INMAN: -- I couldn't anywhere else.

5 MR. SILVA: Yeah.

6 MEMBER INMAN: Going into that a little bit, do the three of
7 you that work for Boeing, do you get financial updates on how your
8 business unit, Commercial Aircraft, how it's doing?

9 MR. WRIGHT: As a --

10 MR. ACKERMAN: In terms of overall financial performance of
11 the business unit, just --

12 MEMBER INMAN: Every month, the CFO sends me about financial
13 performance here, but what my officed budgets are, like, a
14 snapshot of what we spent, what's pending. Do you get financial
15 reporting?

16 MR. ACKERMAN: I know I get financial reporting for what's
17 happening in my organization at a business unit level. So with
18 Boeing Commercial Airplanes, we have the same quarterly financial
19 information that's made public.

20 MEMBER INMAN: And in your three lines, are you considered a
21 cost center? How do you typically equate into that overall
22 balance sheet?

23 MR. ACKERMAN: If you look at -- I'll take it. For overall
24 quality, it's different for different parts of the -- for the
25 quality organization. So my costs in supply chain get aggregated

1 with a supply -- for supply oversight get aggregated with supply
2 chain. The quality members we have that work for specific
3 programs are part of the cost base for that program.

4 MEMBER INMAN: Okay. Where else?

5 MR. SILVA: And then I'm somewhere in between, as I support
6 multiple programs. Sometimes we distribute our costs out to those
7 programs directly, and sometimes we're just indirect cost.

8 MR. WRIGHT: I can say for my role, I tree up through the
9 independent Chief Aerospace Safety Office, so we are overhead.

10 MEMBER INMAN: Okay. And so as you go into your budgeting,
11 someone mentioned earlier that you're getting some more resources
12 to add to, I think, your SMS process. How do you budget out --
13 how do you get more resources? Who do you go to? Who defines
14 what amount you spend on safety?

15 MR. WRIGHT: The broad safety happens across many
16 organizations. In my organization, we look at what's needed, we
17 look at the actuals, we look at the work statement like you would
18 in any company, and then make the request for either staffing or
19 finance, up through our Chief Aerospace Safety Office, where it's
20 aggregated. And then that comes in through the -- rolls up
21 through the businesses that are the profit centers where the money
22 comes from.

23 MEMBER INMAN: Okay. We're going to go down the line.

24 MR. ACKERMAN: So for my supplier quality organization, we
25 look at what our driving metrics are. Are we having more

1 suppliers to oversee? Have they changed regions? And then we'll
2 make adjustments to the budget based on what the driving
3 parameters are.

4 MEMBER INMAN: Where does that go? Who signs off on that?

5 MR. ACKERMAN: That goes up -- for my budget in particular,
6 that goes up through Ms. Lund in quality.

7 MEMBER INMAN: Okay. And --

8 MR. SILVA: I'm --

9 MEMBER INMAN: -- same thing?

10 MR. SILVA: -- very similar as Mr. Ackerman.

11 MEMBER INMAN: Okay. Mr. Wright, yours goes outside of
12 Ms. Lund?

13 MR. WRIGHT: Correct.

14 MEMBER INMAN: Okay. In the last three years, or in your
15 experience, have you been denied any resources that you requested
16 in a budget cycle?

17 MR. ACKERMAN: I have not.

18 MR. SILVA: I have not.

19 MR. WRIGHT: I have not. We've been increasing.

20 MEMBER INMAN: I know you've been increasing. But --

21 MR. WRIGHT: In the past three. I --

22 MEMBER INMAN: Past three.

23 MR. WRIGHT: -- understand.

24 MEMBER INMAN: Or do you want to go back five? We can go
25 back five.

1 MR. WRIGHT: I've only been in the role three.

2 MEMBER INMAN: Right. So I was trying to be there -- I guess
3 the question is, are you asking for enough? If they're trusting
4 you, and you obviously have an intent, I'm sure you didn't want to
5 sit here this entire day. I'm sure the people on that flight
6 didn't want to be on it. Are you getting everything you need?

7 MR. WRIGHT: I am.

8 MR. ACKERMAN: I'll add to that as well. Yes, I believe so.
9 When we look at the parameters, the metrics we use to look at the
10 number of people we need, where we need them deployed, the tools
11 we need, the tool development we need as part of the 90 day plan,
12 yeah, I believe we are.

13 MR. SILVA: And over the last few years, as being part of the
14 quality leadership team, we have just been increasing our
15 organization, so yes.

16 MEMBER INMAN: Okay. I would ask, because I know some of
17 this could be proprietary data, but I would ask if the ISC was to
18 ask for some of those metrics, or kind of how you were
19 establishing that, would you be willing to discuss at least
20 letting that be seen, even if it's on the OOU, which is redacted?

21 MR. SILVA: I'm sure we could figure something out.

22 MEMBER INMAN: Fair enough. Okay.

23 So I'm going to go back onto real quick, for the FAA, we --
24 earlier, I guess yesterday, we were discussing this -- the removal
25 process that changed in the summer of 2023. Did you all hear that

1 testimony?

2 MR. KNAUP: Yes, we heard the testimony.

3 MEMBER INMAN: You're much better at auditing than using the
4 mic. Right? It's okay.

5 MR. KNAUP: Sorry about that.

6 MEMBER INMAN: It's okay. It's okay. They said that their
7 correction plan was to -- this form is no longer being a message
8 requiring an acknowledgement that was read. Basically, you have
9 to confirm, is that a best practice? Is that something you've
10 seen that actually instills knowledge on something that needs a
11 product update like that?

12 MR. KNAUP: No, it's not a best practice.

13 MEMBER INMAN: Were you aware that that was the change?

14 MR. KNAUP: We do not have regulatory compliance over how the
15 individuals are trained in their -- to ensure that they be
16 complaint. So I personally wasn't aware that that was changed,
17 but I don't know if someone in the FAA was aware that that
18 changed.

19 MEMBER INMAN: Well, they know now, right?

20 MR. KNAUP: For sure. Yes.

21 MEMBER INMAN: Okay. And that wouldn't have come up in your
22 audits that were being conducted?

23 MR. KNAUP: The training part of it, not necessarily, would
24 come up. We would see them not being compliant with doing the
25 process. It certainly would come up in the corrective action,

1 that potentially could come up in the corrective action if we
2 found a noncompliance, the corrective action plan could be to
3 ensure that the training was acknowledged, and then we would, you
4 know, find out that it wasn't that way previously.

5 MEMBER INMAN: But I guess I don't know if you were part of
6 the manufacturing report, but I think they noted that Boeing had
7 nine voluntary disclosures, and FAA had initiated several
8 compliance actions related to Boeing's perform, part, or simply
9 removal process, for several years prior to the incident.

10 MR. KNAUP: Yeah. So we have had non-compliances around the
11 removal process. And like I talked about before, it is a -- an
12 extensive process. There's a number of --

13 MEMBER INMAN: Mm-hm.

14 MR. KNAUP: -- aspects to it. And so our noncompliances were
15 on various areas where we ensured that those corrective actions
16 were put in place to solve the problem that we had found. But
17 I --

18 MEMBER INMAN: I guess --

19 MR. KNAUP: -- obviously, there were other problems. Right?

20 MEMBER INMAN: I guess the question is do we just stop there?
21 Are we missing taking the next step, to say they've given us their
22 plan, this is what they're supposed to do, we need to see if it's
23 right or wrong?

24 MR. KNAUP: For sure. So we do verification of corrective
25 actions. We're continually evolving in how we analyze their

1 corrective actions to ensure that the corrective actions solve the
2 problem for the whole process. Right? And it doesn't just solve
3 the problem -- the very specific issue we saw at one specific,
4 say, flow day, in the process.

5 We do really try to ensure that the corrective actions that
6 are installed will solve that throughout not just Renton, right?
7 But Everett, Charleston, you know, or any other of the 20 plus
8 manufacturing facilities Boeing has that we oversee.

9 MEMBER INMAN: And what -- and it's unfortunate this was July
10 of 2023. It doesn't seem like it solved the problem.

11 MR. KNAUP: Yeah. You're right. It didn't. Obviously, you
12 know, there's work for us to do in how we analyze corrective
13 actions, and ensure that that process does, you know, get through
14 the whole system --

15 MEMBER INMAN: Mm-hm.

16 MR. KNAUP: -- at Boeing, and is effective in, you know,
17 solving the problem for everything. So --

18 MEMBER INMAN: Okay. Keep going? Okay. I can go with --
19 I'm just trying to get back up to a different question. So I
20 don't think that was mine.

21 So this is actually a question for Chris. And I went -- I
22 talked earlier about we learned some lessons, some good things,
23 some bad things. And this kind of struck me as a little odd. It
24 was quickly mentioned yesterday, in Exhibit 7, and we don't need
25 to pull it up. It was called the depressurization certification,

1 that the current regulation is the maximum hold size on a 7379
2 fuselage that can be certified to withstand a sudden
3 depressurization is 820 inches. Does that sound familiar?

4 MR. WRIGHT: I don't have expertise in decompression.

5 MEMBER INMAN: Okay.

6 MR. WRIGHT: I remember the testimony.

7 MEMBER INMAN: Okay. Does anybody else have any expertise in
8 it? Okay. It's your lucky day. I -- the bigger question is,
9 there's a standard that's set at 820 inches. The door plug is
10 1,682 inches. It's pretty obvious if there's going to be an
11 opening, the likely opening would be a door plug or a door. We're
12 hearing a lot of incidents where people are trying to open doors.
13 But we haven't set the standard to the size of the door.

14 I just -- I call that out, that sometimes we can learn small
15 things, that while it might not be the emphasis of the testimony,
16 maybe I'm a laymen and don't understand it, but it's going to be
17 half the size of a door, so only half the door will fall out and
18 depressurize. It just seems like -- that there could be some work
19 if you take it back to your colleagues on looking at that standard
20 a little bit closer.

21 And I think Boeing, it would probably be helpful for you all
22 as well, because I'm sure you would be involved in the discussions
23 regarding the depressurization. If anyone has an opinion on it,
24 you can feel free to state it or not.

25 MR. KNAUP: It is outside of, I think, the witnesses on the

1 FAA side's area of expertise. But we can certainly take an action
2 and provide an answer for the record.

3 MEMBER INMAN: That -- I would greatly -- I think it's an FAA
4 reg, actually.

5 MR. KNAUP: For sure.

6 MEMBER INMAN: Yeah.

7 MR. KNAUP: Correct.

8 MEMBER INMAN: Okay.

9 CHAIR HOMENDY: And Dr. Woods may have asked this question,
10 but I just want to clarify. Your SMS, how does it address
11 suppliers, or feed in suppliers?

12 MR. ACKERMAN: Here. I'll start with that. As I mentioned
13 earlier, we've asked all of our suppliers to voluntarily initiate
14 a safety management system, and many of them have either
15 initiated, as Spirit has, or have -- some of them have very mature
16 safety management systems and we are benchmarking.

17 In terms of how our internal safety management systems
18 address suppliers, we look at data from different sources, defect
19 rates, types of defects, any risks we have in our supply chain.
20 And when that data indicates we have a risk, we'll initiate an
21 SRM, either with the supplier, as we've done with Spirit, or we'll
22 initiate a risk assessment internally to see if it's something
23 that is more broad, or an issue that needs broader attention than
24 a specific supplier.

25 CHAIR HOMENDY: And again, Spirit does not have -- you're

1 initiating SMS now, but you did not previously?

2 MR. WILLIAM BROWN: That is correct.

3 CHAIR HOMENDY: Do you know why?

4 MR. WILLIAM BROWN: I'm sorry?

5 CHAIR HOMENDY: Why did you not have one previously. Boeing
6 has, but why have you not, although voluntary?

7 MR. WILLIAM BROWN: Yeah. It wasn't required about a year
8 and a half ago, after I took over the role as the quality leader.
9 It was something I was very interested in. I thought it would be
10 very important for our senior staff to learn about. They agreed,
11 and we started initiating that program.

12 CHAIR HOMENDY: And I just want to ask, does it need to be
13 required?

14 MR. WILLIAM BROWN: No. But it takes somebody to bring up
15 the conversation to start it, and that's what we did.

16 CHAIR HOMENDY: But it wasn't -- but didn't you just say you
17 didn't because it wasn't required?

18 MR. WILLIAM BROWN: No. I'm saying the company didn't
19 because it wasn't required. Once I became in the role, I have
20 experience with SMS, so I just -- I convinced the management team
21 it's something we should do, and they agreed.

22 CHAIR HOMENDY: Okay. How will the -- Boeing's acquisition
23 of Spirit improve safety?

24 MR. ACKERMAN: I'll take that one. As you know, we've
25 announced that we've reached a tentative agreement on the

1 acquisition of Spirit. It still needs to go through the review at
2 both boards, and obviously a regulatory review and approval before
3 we're able to go forward with that acquisition.

4 But in terms of intent and why moving forward with it,
5 there's many reasons, one of which is we'll be able to implement,
6 directly, the Boeing quality management system across that build.
7 As Ms. Lund mentioned in her testimony yesterday, Spirit is our
8 largest supplier by a considerable amount, measured by a couple of
9 different ways.

10 And we think it's important to have that capability, internal
11 of the company, be vertically integrated in that area, than have
12 that directly under the auspices of our quality management system
13 and safety management system.

14 CHAIR HOMENDY: And will you still utilize the three supplier
15 -- or contractor organizations that are Seattle based and doing
16 work right now?

17 MR. ACKERMAN: Given where we're at in the process, we have
18 not initiated the conversations of what that integration would
19 look like. I do fully anticipate there will be changes as that
20 integration happens over time. But we're still very much at the
21 beginning of that process.

22 CHAIR HOMENDY: Okay. FAA, do you believe Boeing has a good
23 safety culture?

24 MR. KNAUP: So Boeing's safety culture needs improvement. I
25 think that's been stated by everyone, and we agree with that. We

1 see that manifest itself in increased hotline whistleblowers that
2 come from Boeing employees who -- you know, that indicates they
3 may not feel safe or trust the Speak Up system, so they come to
4 the FAA. We certainly will investigate all of those, but it's an
5 indication of that.

6 You know, we've been a part of the ASAP ERC with IAM and
7 Boeing to try to build that trust in their Speak Up program. And
8 certainly, the anecdotal evidence from their interviews that we
9 got to see yesterday, you know, is a concern that there are safety
10 culture issues with Boeing employees. So we certainly -- we
11 agree, there is improvement that needs to happen with the Boeing
12 safety culture.

13 CHAIR HOMENDY: Does Spirit have a good safety culture?

14 MR. KNAUP: I think a lot of the same things apply, outside
15 of the ASAP. We have seen an increase in Spirit employee hotline
16 whistleblowers. That is an indication they maybe don't have trust
17 in the Quality 360 program and some of the similar stuff. So I
18 think there's improvement that needs to happen there as well.

19 CHAIR HOMENDY: And does FAA have a good safety culture?

20 MR. KNAUP: I do believe that FAA has a good safety culture.
21 I think we do receive reports from our folks, whether that's
22 through our management team or our internal voluntary safety
23 reporting program. And, you know, I think recently, we've done
24 surveys across various parts of the FAA to, you know, measure our
25 culture from our employees, and we've gotten positive responses in

1 that.

2 CHAIR HOMENDY: So to be -- and to be fair, I actually don't
3 think any organization could say they have a good safety culture.
4 It's not an end. It is not a destination. It is a journey, and
5 it's continual. I mean, we have our own challenges. So there
6 wasn't a wrong answer there. I just wanted to understand what
7 your answer was.

8 I'll ask Boeing and Spirit. Do you -- what improvements
9 would you like to see in your safety culture? And I'd also like
10 to ask Mr. Catlin, then, as well. I could name numerous ones on
11 NTSB, but I'm just wondering here, for you.

12 MR. WRIGHT: For sure. I think we've talked a lot about many
13 of them, and I'll just summarize a few that are sticking with me,
14 increased reporting, increased trust, the transparency, the
15 flowing of information around safety information and trends, risk
16 management, better integration between quality systems and SMS
17 systems, complexity of procedures which lead to employees making
18 less mistakes and feeling more safe about the work they do. Those
19 are some ones that rapidly come to mind for me.

20 CHAIR HOMENDY: Thank you. Well, I would ask, because my
21 time is limited, can we go to Spirit?

22 MR. GREG BROWN: Yes, Madam Chair. I would like to see more
23 communication directly with our employees. I think everybody
24 would like to see less coming through the whistleblower program,
25 because that does signify a lack of trust and transparency. I

1 have a lot of interaction, in my short time there, with people on
2 the floor.

3 I've had many a conversation in my office with people who are
4 very trusting and sharing some very open concerns with us. And
5 it's up to us to maintain that trust by delivering on actions.

6 CHAIR HOMENDY: Mr. Catlin.

7 MR. CATLIN: There's a lot of them, but I would begin with
8 trust, honesty, transparency, inclusion, allowing our members to
9 participate. Right now, there's so many problems. The trust is
10 just -- is not there. The respect isn't there. And these are two
11 very big things in building that safety culture, is, you know, our
12 mechanics know if they don't sell their job today, they're going
13 to be working post shift overtime, or they're going to be working
14 the weekend to get that job sold. That's not part of a safety
15 culture.

16 CHAIR HOMENDY: So I -- and I know these are really tough
17 questions, but I think we all have a role to play, and that
18 includes NTSB. I -- we want to see Boeing succeed, and Spirit
19 succeed, and the employees succeed, and I think it's a
20 partnership. So I'm going to ask each of the organizations, and
21 maybe I'll just go down the line for everybody, and this is my
22 last question for here.

23 Aside from, obviously, our mission, we conduct
24 investigations. What can NTSB and this board do to partner with
25 you and help you improve safety? How can we help you?

1 MR. WRIGHT: The -- when I think about safety, and I
2 mentioned it before, I think of it as a thread that goes through
3 everybody who interacts with a product or a value stream. And
4 there's information that we have, there's information the NTSB
5 has.

6 And as we -- visibility is a big piece of it. And so as we
7 increase visibility, I know we pull in information from many
8 organizations, there may be an opportunity there.

9 MR. SILVA: I was going to -- oh, I apologize. I was going
10 to make a very similar statement earlier around the collective
11 information that we can all share across this industry. But
12 specific to the NTSB, I do want to say thank you.

13 Dr. Woods, Mr. Cruz, Mr. Johnson, they have been incredibly
14 forthright in their observations, recommendations, things that
15 they see. And that feedback has been incredibly helpful for us.
16 So we would really just continue to appreciate that feedback and
17 appreciate the suggestions you made.

18 MR. ACKERMAN: I was going to a similar place. Our
19 interactions with the team that's doing the investigation have
20 been very positive, enlightening, helpful. The NTSB has the
21 opportunity to see risks and challenges from many different
22 industries and incidents, broader than we have access to. So help
23 with those broader insights, those systemic insights, so that we
24 can take that learning from areas outside of the ones we have
25 direct access to would be helpful.

1 CHAIR HOMENDY: Thank you.

2 MR. GREG BROWN: I would say on behalf of Spirit, there's
3 been a lot that has already been actioned as a result of this
4 event. A lot of employees that we talk to are very proud of what
5 they do. They care passionately about safety, not just from a
6 Spirit perspective, but from a Boeing perspective and from our
7 friends and family that fly.

8 So I think just the ability to have voices heard for the few
9 that do have critical feedback for all of us is important. And I
10 think, you know, what can the NTSB do to help us? I think you're
11 already doing it, just through these public venues.

12 CHAIR HOMENDY: Thank you. Mr. Brown. You aren't related,
13 right? Just checking.

14 MR. WILLIAM BROWN: He wants to be, but not officially.

15 MR. GREG BROWN: If I had a dollar for every time --

16 MR. WILLIAM BROWN: Human factors. I think what you all see
17 in human factors and sharing that with us is significant. And I
18 think the questions that Dr. Woods asked really inspired me today
19 to think about, as a senior advisor to Spirit, what can I do in
20 that area? Very powerful.

21 CHAIR HOMENDY: Good answer. What can NTSB do to help FAA?

22 DR. EICK: Yeah. You already actually have helped FAA. When
23 we looked at just the rules that were recently passed, the safety
24 recommendations from the NTSB, they were key factors in getting
25 that rule through.

1 In addition, right now we're working on how we're going to do
2 oversight. As I mentioned earlier, we're not done with this order
3 yet. But just participating in this process helps solidify my
4 thoughts on how we can improve that order, so we're making sure
5 the SMS's that all these 65 companies are really, truly going to
6 be effective.

7 CHAIR HOMENDY: If you don't mind, Member Inman, I'll just
8 get the back row and I'll be done. Mr. Slagle.

9 MR. SLAGLE: I wish I could learn to work the microphone a
10 little better. The one thing I think I've learned during this
11 hearing, and leading up to it, is I always thought the NTSB was a
12 break glass in case of emergency organization. And I think the
13 proactive nature of educating and getting information out that
14 I've seen through your investigators has been very helpful to me.
15 So seeing the NTSB in a different light, I think it's been
16 beneficial.

17 CHAIR HOMENDY: It's really a benefit of the party process as
18 well, because everybody can make change early and we can work
19 together on that. Mr. Knaup.

20 MR. KNAUP: Yeah. I think certainly we have -- we're working
21 through SMS oversight. I think we, in our organization, deal with
22 an incredibly complex production system in Boeing. And if there
23 are lessons learned from other non-aviation complex production
24 systems that you guys might have insight into from your other
25 activities, that would be, you know, helpful for us.

1 CHAIR HOMENDY: Thank you. Mr. Catlin.

2 MR. CATLIN: As I like to tell the Boeing managers when I'm
3 out on the floor, like it or not, we're all in this together. We
4 are all here for one collective point, and that is to ensure that
5 when the pilots take off, when the customers board those
6 airplanes, when we build those airplanes, when they maintain those
7 airplanes, those airplanes are as safe as they can humanly
8 possibly be.

9 And my colleagues here from Boeing started down a road of a
10 thread. There's a thread that runs through each and every one of
11 us. And I thank you, because I think this committee is bringing
12 that out. What we can do is we need to find that common thread,
13 and we all need to work together for a common goal.

14 CHAIR HOMENDY: Well said. Member Inman.

15 MEMBER INMAN: Thank you, Chair. And I'm going to push
16 several of my questions probably to the next panel, in order just
17 to expedite it. But I do want to go through a quick couple of
18 items. We were talking about Mr. Phoenix earlier. And I
19 remember, again, through my time at DOT, we actually -- the FAA
20 took away the ability for Boeing to issue its own airworthiness
21 certificates. Do you all remember that time?

22 And that testimony, I think it's very revealing. Because
23 they said that they were specifically looking at all different
24 types of issues that were coming out, because they were doing all
25 the inspections. But it was forcing an increase in quality,

1 because they said we would only inspect for maybe six hours a day,
2 because they weren't allowed to meter from the 42.

3 They said but if you're going to bring it to us, this is the
4 only window you have. And it was an effort to try to bring more
5 clean aircraft out. Was that successful?

6 MR. ACKERMAN: Are you looking for a Boeing perspective on
7 that or an FAA perspective on that, or yes?

8 MEMBER INMAN: Well, you spoke up first, so go ahead.

9 MR. ACKERMAN: Okay. All right. Lesson learned. I -- in
10 terms of driving airplanes, and again, I'm not close -- as close
11 to the production system as some of my colleagues, but I'll start.
12 In terms of making sure that the airplanes are ticket ready at the
13 time that they are -- that they're put up for ticket, I think that
14 that has driven a discipline around that process.

15 MEMBER INMAN: FAA?

16 MR. KNAUP: Yeah. So the intent of that was, like you
17 stated, that we wanted to see airplanes, and we still do today, do
18 ticket all the 3-7's and 8-7's. And that -- the intent of that is
19 to -- issues that we identify during that process, we drive those
20 to root cause in the quality system to ensure that that gets
21 corrected. And we have seen improvements in that process by us
22 being a part of the ticketing process.

23 MEMBER INMAN: But it also takes people out of the audit
24 process and the inspections.

25 MR. KNAUP: It does. It is a resource use, and we continue

1 to evaluate whether that's the best use of our resources to ensure
2 the quality system, you know, meets all of its processes.

3 MEMBER INMAN: So another game of whack-a-mole?

4 MR. KNAUP: Well, I wouldn't say that. But it is something
5 that we utilize as a tool, and try to ensure that it is a force
6 multiplier for us to drive improvements into the quality system.

7 MEMBER INMAN: How many more people do you need to hire right
8 now to be up to staff?

9 MR. KNAUP: We are -- we've just about doubled our inspector
10 staff since, you know, the accident. And we're on target to meet
11 what the administrator said, which was 55, by the end of the year.

12 MEMBER INMAN: So how many do you need to hire?

13 MR. KNAUP: That is -- how many more to meet that?

14 MEMBER INMAN: Yep.

15 MR. KNAUP: We need to hire, I think, 12 more to meet that.

16 MEMBER INMAN: And the reason I'm bringing that up, that'll
17 be 20, 25 percent of your workforce roughly that'll have been
18 hired this year?

19 MR. KNAUP: We'll have a lot of newer individuals. But we
20 are bringing folks from other organizations that are experienced
21 to help.

22 MEMBER INMAN: Relocations and transfers?

23 MR. KNAUP: That's -- yeah.

24 MEMBER INMAN: Wonderful.

25 And I promise to keep it -- so I'm going to actually ask the

1 Boeing representatives -- we have discussed whether or not to
2 bring Ms. Lund back today. So I don't think we're going to do it.
3 But I want to ask a different question in regard to -- you have a
4 new CEO starting tomorrow. Correct?

5 MR. WRIGHT: That's correct.

6 MEMBER INMAN: Can you tell me how many times you met with
7 the prior CEO, either individually, or with Ms. Lund, or in a
8 small group of, say, three to four, to update on your safety
9 progress?

10 MR. WRIGHT: Every other month for the duration of my time in
11 the position.

12 MEMBER INMAN: Is that one on one, five on one, fifteen in a
13 room?

14 MR. WRIGHT: No. It's a group of -- I would say a maximum of
15 10.

16 MEMBER INMAN: Okay.

17 MR. SILVA: And I would also occasionally attend those
18 meetings whenever certain subject matters came up for my role.

19 MEMBER INMAN: So maybe half that time, and he was every
20 other month?

21 MR. SILVA: I wouldn't go as far as half, but certainly a
22 number of those meetings.

23 MR. ACKERMAN: I've met with our CEO a couple of times in
24 small groups, in terms of specific issues, not generally around
25 the safety management systems. We do have a -- at a business unit

1 level, a Boeing Commercial Airplanes level, a weekly meeting at
2 the Commercial Airplanes CEO level that we all attend.

3 MEMBER INMAN: Well, his first day's tomorrow. I hope you
4 get a chance to meet him and convey some of the things we learned
5 from today. Thank you, Chair.

6 CHAIR HOMENDY: Thank you. It is 4:30. We are going to take
7 a 10 minute break, and then we're going to move -- are we good on
8 Panel Three? We're okay? Technical panel, yep?

9 MR. BRAZY: Yes, ma'am.

10 CHAIR HOMENDY: You can breathe a sigh of relief and
11 hopefully go change. It's very hot. I know. First of all,
12 before we let you go, just a reminder, you can be recalled. But I
13 just want to thank you. I want to thank you for your honesty. I
14 know this is a very difficult process.

15 It can often seem one against the other, but that is why I
16 ended with how can we help you, because we want to support your
17 efforts. We want to ensure safety. We want to work with you to
18 improve safety, all of you, because it is a collective effort. So
19 thank you very much for being here. I hope you drank a lot of
20 water. We'll come back at 4:40 and move into Panel Four.

21 (Off the record)

22 (On the record)

23 CHAIR HOMENDY: How's the technical panel? Are you ready?
24 Ready to go? Parties ready? Witnesses? All right. Welcome
25 back. We're now ready for our final panel. So Mr. Brazy, will

1 you please begin the introductions and swear in the witnesses?

2 MR. BRAZY: Thank you, Chair Homendy. Panel Four will
3 address Federal Aviation Administration oversight, and topics will
4 include the FAA's oversight process for airplane production, the
5 results of the FAA's recent audit of Boeing, the effectiveness of
6 FAA guidance, and actions on manufacturing, FAA oversight of
7 manufacturers recordkeeping and audit history, and again, the
8 FAA's action on the NTSB's 2021 recommendation on safety
9 management systems for manufacturing.

10 The technical panel hasn't changed. So to save a minute or
11 two, I'm not going to reintroduce them. Witnesses for this panel,
12 some are the same, but we've got at least one new one I believe.
13 Mr. Hector Silva, Vice President for Regulatory Compliance and
14 Core Quality at Boeing; Mr. Bill Brown, Senior Advisor for Quality
15 at Spirit AeroSystems; Mr. Brian Knaup, Manager of the System
16 Operation and Oversight Branch of the FAA; Mr. Brian Kilgroe,
17 Manager of Airplane Oversight Section and Designated PC700
18 Principal Inspector at the FAA, and Mr. Lloyd Catlin, Business
19 Representative at the International Association of Machinists and
20 Aerospace Workers.

21 I will ask that I believe the one witness who has not
22 previously been sworn in please stand. Raise your right hand, and
23 please answer by saying I do.

24 (Whereupon,

25 BRIAN KILGROE

1 Was called as a witness and, having been first duly sworn, was
2 examined and testified under oath, as follows:)

3 MR. BRAZY: Thank you. Please be seated. As a reminder to
4 the witnesses, you may remain -- you will remain under oath until
5 the conclusion of the hearing. We ask that you answer the
6 questions factually and avoid analysis.

7 Finally, please push the microphone button to talk, and push
8 it again when finished. Chair Homendy, these witnesses have been
9 prequalified, and their respective experience and qualifications
10 appear in the docket as exhibits. I would like to now turn the
11 questioning to Mr. Cruz.

12 INTERVIEW OF BRIAN KILGROE

13 MR. CRUZ: Thank you, Mr. Brazy.

14 Mr. Kilgroe, since you're new in this panel, could you please
15 tell us what your roles and responsibilities are as the FAA
16 principal inspector overseeing the Boeing production certificate?

17 MR. KILGROE: Thank you. My roles and responsibilities are
18 the -- for the certificate management oversight of PC700, which
19 includes all of the Boeing sites listed under the PC. So I work
20 with the managers in Everett, Renton, and our supplier systems
21 manager, to ensure that all of the supplier control audits and
22 product -- or principal inspector audits are completed.

23 MR. CRUZ: And for clarification purposes, what is the
24 difference between your role versus Mr. Knaup's?

25 MR. KILGROE: Brian Knaup also has responsibility for Pratt &

1 Whitney, GE, and the ODA.

2 MR. CRUZ: So this is for the FAA. I will let you two decide
3 who would like to answer this. What does the manufacturer have to
4 have in place in order for the FAA to grant the production
5 certificate?

6 MR. KILGROE: I'll answer. If you could pull up the FAA's
7 quality system oversight PowerPoint, page 2. So in order for a
8 production approval holder to have a PC, they must have a quality
9 system that conforms to each applicant for a holder of a
10 production certificate must provide a manual describing its
11 quality system to the FAA, and it must be approved.

12 MR. CRUZ: How many FAA offices oversee the Boeing
13 certificate?

14 MR. KILGROE: There is an FAA office in Charleston, Renton,
15 Everett, and then our supplier oversight section. So four.

16 MR. CRUZ: Okay. And obviously, you deal with the aviation
17 safety inspectors at each of those facilities. How many report to
18 you, Mr. Knaup?

19 MR. KNAUP: All the ASIs report to me through various section
20 managers. So ultimately, they're -- they all work for me.

21 MR. CRUZ: But there's also some people that report to
22 Mr. Kilgroe. Correct?

23 MR. KNAUP: Correct. So I have section managers that report
24 to me in each of those locations. Brian's -- Mr. Kilgroe's staff
25 in Charleston reports to him directly, and then Mr. Kilgroe

1 reports to me.

2 MEMBER INMAN: Okay. Mr. Kilgroe, how many people report to
3 you in South Carolina?

4 MR. KILGROE: Currently, nine.

5 MR. CRUZ: And Mr. Knaup?

6 MR. KNAUP: Our current number is changing often, but it is
7 64 for our branch. That is -- that includes oversight of all of
8 the, you know, the ODA, production, and GE and Pratt & Whitney as
9 well. So --

10 MR. CRUZ: And you mentioned there's a separate FAA
11 surveillance team for Boeing suppliers. Is that correct?

12 MR. KNAUP: Yeah. So we have a section that's dedicated to
13 suppliers. That includes internal suppliers within the Boeing
14 system, not the final assembly facilities, and external suppliers.

15 MR. CRUZ: Do those suppliers just deal with Spirit
16 themselves, or they also work other suppliers that Boeing has?

17 MR. KNAUP: That section works other suppliers other than
18 Spirit, but that would be where our inspectors that deal with
19 Spirit are, in that section. Yes.

20 MR. CRUZ: But do you have dedicated inspectors at --

21 MR. KNAUP: Yes.

22 MR. CRUZ: -- Spirit? Okay.

23 MR. KNAUP: Yes, we do.

24 MR. CRUZ: And how many do you have there?

25 MR. KNAUP: We have three, as of today.

1 MR. CRUZ: Can you please describe how the FAA conducts
2 surveillance program for a production certificate holder as big as
3 Boeing, including its suppliers?

4 MR. KILGROE: So if we could pull up our PowerPoint again,
5 and go to page 4. So quality system oversight is defined in our
6 FAA order 81.20.23, certificate management of production approval
7 holders. Our oversight consists of a combination of quality
8 system elements -- or quality system audits, principal inspector
9 audits, and supplier control audits. That -- each of these also
10 contains what we call a product audit.

11 QSAs can be two -- up to two week or longer comprehensive
12 system audits. Supplier control audits determine whether a PAH is
13 satisfactory controlling its suppliers. And PI audits are data
14 driven product-based audits in areas of high risk on a daily
15 basis. And product audit evaluates the effectiveness of a PAH's
16 quality system, using critical characteristics generated during
17 the manufacturing process.

18 MR. CRUZ: So how did these FAA -- how does the FAA develop
19 or assign a work program for each of the aviation safety
20 inspectors that report to you?

21 MR. KILGROE: So each year, the process starts with a risk
22 assessment. And if we could go to page 5 of our presentation.
23 There we go. So each year, for each fiscal year planning, we
24 start with the risk assessment that we do in our tool called
25 ACAIS, Aircraft Certification and Information System. Anyway, I

1 think that's it.

2 Once that risk assessment is complete, it will give us a
3 score, and it -- which tells us how many audits are to be
4 conducted at that location for the year. It could be anywhere
5 from a PI audit once every five years to as high as 18 PI audits a
6 year. It depends on the risk score of the production approval
7 holder.

8 MR. CRUZ: And once you put it in ACAIS, do each of you
9 basically give that to the aviation safety inspector?

10 MR. KILGROE: So the ASIs and their respective managers
11 complete the scoring, the risk score, to determine how many audits
12 are required for the locations they have responsibility. And
13 that's all done by ACAIS. So that is the only output that we get
14 from ACAIS.

15 Once they know how many audits they need to conduct for that
16 -- or for that fiscal year, then that process is a manual process,
17 where they look at the cells, positions, control codes, other
18 buildings that may be in the area, the risk of activities
19 happening in those areas, compliance and enforcement activity in
20 those areas, et cetera, and develop a work plan.

21 MR. CRUZ: So how do you ensure that that work program meets
22 the FAA order of production certificate surveillance?

23 MR. KILGROE: Once they establish where they're going to
24 conduct their audits, they enter -- they manually enter those
25 audits into ACAIS. So the audits are now open, and then as they

1 complete them, they mark them complete.

2 MR. CRUZ: Since both of you have a role in giving the
3 aviation safety inspectors their audit program, what type of tag
4 up or coordination do both of you have to discuss the surveillance
5 issues, since each of you actually work at different locations?

6 MR. KNAUP: I guess I'll talk to that. So our cadence of
7 meetings within the branch is that I meet with all the section
8 managers weekly, and I guess three times every two weeks, to talk
9 about issues that are going on and other stuff. We meet with our
10 senior ASIs and senior engineers on a weekly basis, and I meet
11 with the entire staff on a weekly basis. So that's the cadence of
12 our meetings.

13 As part of those meetings, we have dedicated time to talk
14 about ensuring the surveillance that we're doing is addressing the
15 most critical areas. And it also allows us to interchange in
16 formation that we may receive from our COS branch or our
17 certification branch that may inform us of additional audits or
18 other areas that we might want to look at in those various
19 facilities that we oversee.

20 MR. CRUZ: Okay. So you've talked a lot about audits. What
21 types of audits are -- do you guys accomplish as the FAA?

22 MR. KILGROE: We do principal inspector audits, quality
23 system audits, and supplier control audits. We can also do
24 special audit items, like we did shortly after the accident event.
25 And product audits is the last one.

1 MR. CRUZ: So on a yearly basis, is there a minimum number of
2 audits that you have to do for the Boeing certificate, or is there
3 a maximum, or how is that determined?

4 MR. KILGROE: Yes. There is minimums per location that is
5 established through their risk score. So I know the number's out
6 there. I believe it's in the report. So for the last calendar
7 year -- or fiscal year, we completed 108 audits of the Boeing
8 sites on the PC.

9 MR. CRUZ: And so with all these audits that you conducted,
10 what happens to those audits, as far as where are they recorded?
11 Is there an FAA system that records these audits?

12 MR. KILGROE: Yes. The completion of these audits are
13 recorded in ACAIS.

14 MR. CRUZ: And how long are those audits kept in the system?

15 MR. KILGROE: Forever.

16 MR. CRUZ: Okay. Who does the FAA interface with at Boeing
17 to conduct the surveillance audits?

18 MR. KILGROE: Our primary point of contact when it comes to
19 conducting our surveillance is Boeing's Regulatory and Quality
20 System Oversight Office, RQSO.

21 MR. CRUZ: And who heads that office?

22 MR. KILGROE: Each location has their own manager. For
23 myself, in Charleston, I have a person I contact. Same goes for
24 Renton and Everett, and then our supplier section has a contact
25 that they interact with.

1 MR. CRUZ: Could you please describe the process of an
2 aviation safety inspector conducting an audit at Boeing? What's
3 the process he goes through?

4 MR. KILGROE: He -- depending on the type of audit, he will
5 give Boeing RQSO notice that he will be conducting an audit, and
6 the location that he'll be conducting that audit, and the dates of
7 that audit. And in the case of, like, a PI audit, the inspector
8 could walk in the door in the morning, and on the way to our
9 office, which is located in the final assembly building, if he saw
10 something of concern on his way in, he could march right up to his
11 desk, call RQSO, and tell them he was going down to do a PI audit
12 in a particular area, just like, you know, that easily.

13 Now, when it comes to supplier control audits and quality
14 system audits, per our policy, we give 30 days' notice for
15 supplier control audits and 60 days' notice for QSAs. And that is
16 so that the production approval holder has time to gather up
17 resources to support our activities. Because with -- in the case
18 of the suppliers, sometimes we have to work on additional actions
19 to gain access. And in regards to QSAs at Boeing, the teams are
20 normally really significantly larger. So it gives the production
21 approval holder time to allocate resources to support.

22 MR. CRUZ: But those are scheduled audits, correct?

23 MR. KILGROE: Quality system audits and supplier control
24 audits are scheduled. Most of the time, PI audits are scheduled.
25 But we can also do a PI audit at any moment.

1 MR. CRUZ: So there are surprise audits that you guys
2 conduct?

3 MR. KILGROE: That is correct.

4 MR. CRUZ: So what role does the FAA play when Boeing has a
5 need to revise any manufacturing process, procedures, and
6 documents, such as a BPI?

7 MR. KILGROE: Our role with the quality system right now is
8 the top level quality manual and the associated procedures. There
9 are only around a handful of BPIs that the FAA reviews and
10 approves.

11 MR. CRUZ: If there's only a handful, could you tell us what
12 those BPIs are?

13 MR. KILGROE: I do not know what they all are off the top of
14 my head.

15 MR. CRUZ: So should the FAA have concerns regarding those
16 few that you said that you -- the changes, how is this
17 communicated to Boeing?

18 MR. KILGROE: We can generate -- we can communicate
19 transparently with them, or if we have that significant of a
20 concern, we can open up either a compliance and enforcement action
21 -- that would be our other avenue.

22 MR. KNAUP: But Boeing is required to send us, though -- if
23 they make changes to those specific BPIs, they need to get sent to
24 us, and we review them and approve them before they would -- that
25 change would become effective.

1 MR. CRUZ: Okay. Thank you. Mr. Johnson.

2 MR. JOHNSON: My first set of questions are for the FAA.
3 During previous FAA interviews, we were told of a risk-based
4 resource targeting tool. Can you please describe in detail what
5 this tool is and how it functions?

6 MR. KILGROE: The risk-based resource targeting tool is
7 located in our audit system, ACAIS. It is a list of questions
8 that we answer, that once we answer those questions, and submit
9 it, and score it, produces a risk rating of the production
10 approval holder. It could be as low as what we call low, so very
11 low criticality, to very high criticality.

12 MR. JOHNSON: Okay. In accordance with FAA order 81.20.23,
13 Boeing Renton is a one high, and based upon their production rate,
14 will always be a one high, equaling a minimum of 18 plus audits
15 per calendar year. Although the number of audits is based upon
16 risk, it never changes for Boeing, due to the number of aircraft
17 produced. Is that a true statement?

18 MR. KILGROE: The minimum number is 18. We consistently
19 exceed that minimum number on an annual basis. In looking back
20 the past two years, the average across the three major production
21 sites has been plus 15, in addition to the 18.

22 MR. JOHNSON: Okay. So to clarify, the inputted information
23 is inputted into ACAIS, which contains the risk-based resource
24 targeting tool. And then that spits out a risk score. Is that
25 how that works?

1 MR. KILGROE: That is correct.

2 MR. JOHNSON: Okay. Thank you. During FAA calendar year
3 2023, audit findings of the Boeing production certificate, were
4 there significant findings or trends?

5 MR. KILGROE: Yes. there were trends that manufacturing
6 processes, material handling, and tool control were identified
7 trends.

8 MR. JOHNSON: Were any of those related to Spirit, by chance,
9 or Spirit work?

10 MR. KILGROE: I cannot say if they were related to Spirit
11 work.

12 MR. JOHNSON: Okay. Have you had any repeats in calendar
13 year 2024 of those items?

14 MR. KILGROE: Yes.

15 MR. JOHNSON: Can you describe what the FAA is doing to get
16 Boeing to fix these -- what appears to be a systemic issue?

17 MR. KILGROE: We have multiple enforcement actions in
18 progress right now.

19 MR. JOHNSON: I think you answered this. I'll ask for
20 clarification. Once compliance actions are closed by the FAA, how
21 long does the FAA keep these records? Is there a time limit, or
22 are they discarded, or what happens?

23 MR. KILGROE: I would have to double check the time limit. I
24 believe it to be two years.

25 MR. JOHNSON: But you answered Pocholo previously that the

1 stuff entered into ACAIS is kept forever -- or yeah, ACAIS is kept
2 in there forever?

3 MR. KILGROE: In ACAIS, the audit records. Those are the
4 audits. For the compliance and enforcement action records, they
5 have different retention periods.

6 MR. JOHNSON: Okay. Has there ever been an instance where
7 the Boeing -- action tracker was used as evidence in an LOI
8 compliance action on the Boeing certificate?

9 MR. KILGROE: Not to my knowledge.

10 MR. JOHNSON: All right. My next questions are for
11 Mr. Silva. Prior to the accident, how long was the FAA conducting
12 -- how often was the FAA conducting surveillance at the Boeing
13 Renton facility?

14 MR. SILVA: So prior to the accident, as described by
15 Mr. Kilgroe, the FAA would be conducting a number of scheduled
16 audits throughout the facility, as well as just ad hoc PI audits.
17 So I believe it would be in line with the numbers he rated, which
18 are around anywhere from 30 to 50 in a year.

19 MR. JOHNSON: What type of feedback was your organization
20 receiving about those audits prior to the accident?

21 MR. SILVA: So prior to the accident, with -- as with all
22 audits, the FAA would then perform an out-brief, where they would
23 share the results of the audit findings. And those would
24 typically be broken up into -- at a high level, two categories.
25 They would either be non-compliances they found or opportunities

1 for improvement.

2 The FAA does share observations on other things that they
3 learn throughout the audit, but those would be the two typical
4 types of categories that we would get. And as Mr. Kilgroe stated,
5 they would be similar to some of those categories around
6 manufacturing process control.

7 MR. JOHNSON: Could you please describe the Boeing process in
8 regards to addressing FAA surveillance audit and compliance
9 findings?

10 MR. SILVA: Sure. So at a high level, as described, at a top
11 level within our quality manual. But then from the quality
12 manual, into specific policies, pros, and BPIs, we have
13 requirements in terms of when we receive the formal notification
14 of those audit findings.

15 We launch into what we call -- I think I explained earlier, a
16 Boeing problem solving model, where we would take the compliance
17 finding, initiate an investigation to establish root cause. Based
18 on root cause, develop a countermeasure, and then present that
19 corrective action plan and submit it to the FAA for approval.

20 MR. JOHNSON: How does Boeing examine trends, both good and
21 bad?

22 MR. SILVA: So as was mentioned in terms of two types -- at a
23 high level, two types of metrics that we get, good trends would be
24 things like those -- either observations, where we receive
25 positive feedback, or audits with minimal or no findings. So

1 we've had some locations where we see minimal or no findings, and
2 the FAA gives us feedback around what some of the things they saw
3 that worked well there.

4 And then as far as adverse trends, we track and roll up all
5 those FAA findings into what I believe I shared earlier, which is
6 our quality management review, where we would highlight the types
7 of compliance findings that the FAA had found.

8 MR. JOHNSON: Okay. As far as trends go, how does Boeing
9 communicate those trends, both inside the company and back to the
10 FAA?

11 MR. SILVA: If I may, we can probably pull up slide 15 from
12 the Boeing presentation. So this was a little earlier, when we
13 were reviewing the transcripts. But Boeing has frequent meetings
14 with the FAA. In terms of the results of those findings, shared
15 either with us, or that we share back some of our corrective
16 actions, they can happen in a number of ways.

17 So from a program perspective that you see on the left, that
18 would start with, in this case, a generalized -- it would be on a
19 program level basis, meeting with our manufacture and delivery
20 teams. Last year, in 2023, we launched an FAA quality and
21 engineering integration meeting specific to the 737 program and
22 the 787 program. And then we also have a standing -- it was
23 monthly.

24 We then went to weekly, and I think now we're back to monthly
25 PC700 program review, where we look at a number of metrics and

1 corrective actions and things that we're doing from a Boeing
2 perspective. And then lastly we just have a number of different
3 forums and meetings from an FAA and Boeing leadership perspective
4 on a daily, weekly, and monthly basis.

5 MR. JOHNSON: What steps are being taken to fix trends that
6 are bad?

7 MR. SILVA: So when we get those trends, and in particular,
8 I'll mention the special audit item that we received this year.
9 We are -- this is post-accident. So would you like me to start
10 pre-accident?

11 MR. JOHNSON: No. You're good.

12 MR. SILVA: Okay. So post-accident, we are taking a much
13 more holistic and systemic approach in terms of looking at some of
14 those corrective actions. Historically, as I was mentioning
15 earlier, when we would receive the results of the audit, we would
16 get the specific non-compliances, we'd launch into the BPSM. But
17 many of the corrective actions tended to be focused around the
18 local activity, or scoped around the finding that was identified
19 during the audit.

20 One of the things that we've been working to try to
21 strengthen up over time, and certainly since the accident, has
22 been more looking at collective trend analysis, and looking for
23 other similar type issues, and then using that to drive more
24 systemic and holistic corrective action. And in particular, as
25 mentioned earlier, things like changing tools and processes, as

1 opposed to just focusing on communications and training.

2 MR. JOHNSON: Okay. Next set of questions are for the FAA.
3 During the -- or during this investigation, the -- sorry. During
4 this investigation, the investigative team heard the term VDR, or
5 voluntary disclosure reporting program. Can you please describe
6 this program?

7 MR. KNAUP: Yeah, I can. I think we have a slide. I might
8 need some help on the number. It might be 7, I believe. So the
9 objective of the voluntary disclosure reporting program is to
10 encourage compliance to regulations and foster the safe operating
11 practices and promote the development of internal evaluation
12 programs. It's really a critical component of a healthy SMS.

13 We do have policy around it. The way this works in practice
14 is if Boeing identifies an issue or a noncompliance in their
15 quality system, and it meets the requirements of the voluntary, it
16 is an inadvertent issue, it's not done intentionally, and they
17 report that to us, they let us know that they have an issue, we
18 track all of those VDRs.

19 Similar to our compliance actions, it requires Boeing to do
20 immediate and long-term corrective actions to solve that problem.
21 And we verify that those corrective actions have been effective,
22 basically.

23 MR. JOHNSON: Between September of 2022 and September of
24 2023, did Boeing voluntarily disclose any issues to the FAA?

25 MR. KNAUP: Yes.

1 MR. JOHNSON: If so, what were those issues?

2 MR. KNAUP: I don't know every issue. We have a lot of -- we
3 do have VDRs in our system for that timeframe. I could not give
4 you the number, though we can provide that. But the issues were
5 similar in nature to other issues that we have identified. You
6 know, we've talked about trends around, you know, tool control,
7 failure to follow process.

8 MR. JOHNSON: Were any of these issues reoccurring in that 12
9 month period?

10 MR. KNAUP: So I would say yes, we did find reoccurring
11 issues that we worked to -- you know, worked with Boeing to solve.

12 MR. JOHNSON: Are all these issues closed at this time?

13 MR. KNAUP: I do not believe so. I don't know the status of
14 every one, but I do not believe they're all closed.

15 MR. JOHNSON: I think you kind of described this. If Boeing
16 voluntarily discloses an issue to the FAA, what does the FAA do to
17 ensure corrective action is taken? And I'll add on to that and
18 say what does the FAA do to ensure the corrective action is
19 effective?

20 MR. KNAUP: Yeah. Right. So there's a number of things that
21 we do. We review the corrective action, obviously, that came in
22 from Boeing. We may conduct an audit in the area that was
23 identified for the corrective action. Sometimes, the corrective
24 actions are policy -- you know, command media based changes. And
25 so we would review the command media that was changed to ensure

1 that that was -- would correct the issue.

2 A number of things that we do to ensure that the corrective
3 action both was implemented, and it was effective, usually that's
4 done, you know, six months to 12 months after the corrective
5 action has been implemented, so we -- you know, there's time for
6 the corrective action to get put in place and us to see that it's
7 effective.

8 MR. JOHNSON: I'll add onto that a little bit. What -- if
9 the corrective action is evaluated to be -- to determine it's
10 effective, but yet we're having repeats of the same items over and
11 over again, and these -- some of these are self-disclosures, some
12 of these are CMP items or LOIs or EIRs, why are the issues not
13 getting fixed?

14 MR. KNAUP: Well, I would say that the complexity of the
15 Boeing production system leads to an item being considered
16 recurrent -- there are many different items that get categorized
17 in the broad quality system element categories that are very
18 unique. And so we will see an issue in Everett or Renton or
19 Charleston that may be unique to that facility, and get solved,
20 and we would see similar issues in those other -- we would see
21 issues categorized the same in those other facilities that are not
22 actually recurring issues, per se, because they are unique in how
23 production is done in each of those facilities.

24 So recurring in the sense that they fall within the same
25 quality system element category, but not necessarily recurring in

1 the sense that they're the same issue across the whole system, if
2 that makes sense.

3 MR. JOHNSON: Okay. Mr. Silva, what does it mean when Boeing
4 voluntarily discloses an issue to the FAA?

5 MR. SILVA: So similar to the slide the FAA shared, it's our
6 opportunity that when we find either noncompliance or potential
7 noncompliance even, in certain cases, we take the opportunity to
8 share that, submit it to the FAA. We have policies and procedures
9 that dictate how we operate in terms of what we must submit, how
10 we go conduct our investigation, and then what we provide to the
11 FAA from a corrective action plan perspective.

12 MR. JOHNSON: What immediate actions does Boeing take upon
13 voluntarily disclosing an issue to the FAA?

14 MR. SILVA: So for every item, there is a requirement to do
15 immediate containment. An immediate containment can show up in
16 different ways, depending on the scope of the issue. And so we
17 provide that as well when we share the results of the
18 noncompliance.

19 I should also add that we both have a mix of what we call
20 formal voluntary disclosure reports and informal voluntary
21 disclosure reports. But in both cases, records that we share with
22 the FAA.

23 MR. JOHNSON: Okay. Thank you.

24 Mr. Catlin, could you please compare the FAA oversight at the
25 FAA prior to the accident versus post-accident, from the IAM's

1 perspective?

2 MR. CATLIN: What I do know is we've seen an extensive
3 increase in FAA activity in both Everett and Renton. Prior to the
4 accident, you know, there would be the scheduled audits when I was
5 the quality manager in the 767 program and final body joint, we
6 would see an occasional audit come through our area. But it was
7 nowhere near what it is today.

8 MR. JOHNSON: From the IAM's point of view, was the FAA
9 oversight at the Renton factory adequate prior to the accident?

10 MR. CATLIN: I guess from my perspective it would depend on
11 the FAA's responsibility. Boeing is the production approval
12 holder. They are the ones who have submitted their quality manual
13 to the FAA and told the FAA this is how we will build airplanes.
14 The FAA has their audits. They have their oversight
15 responsibilities. But Boeing has the responsibility to uphold
16 their quality system and manage their own company.

17 Based on what my own experience has seen, I don't know that
18 it is the FAA's responsibility to stand over them and tell them
19 you must do what you promised us you'd do. So based on that, no.
20 I don't know that it was their responsibility to do it. But we
21 needed federal oversight.

22 MR. JOHNSON: How about currently?

23 MR. CATLIN: No. And for the same reasons. You know, just
24 as I spoke of earlier with BPI 2573, it's been revised twice this
25 year. The first time, it was revised in January, after the door

1 plug blowout. It was immediately rejected by the FAA. It was
2 revised again in June of this year, to allow Boeing to allow
3 manufacturing personnel to perform inspections.

4 I don't know where that investigation is at right now, but
5 it's still there. It's still in the BPI. They still have the
6 authority to do it.

7 MR. JOHNSON: Follow-up question. From your perspective,
8 what would you recommend changing, from the oversight perspective?

9 MR. CATLIN: Well, in all of my experience, I've spent a lot
10 of time with the FAA over the last six years. And when you look
11 at what the requirements are in 14 CFR 21-137(a) through (o),
12 they're all requirements. None of them are options. 21-146
13 requires the Boeing company to maintain the approved quality
14 system. And 14-CFR-21-150 requires Boeing to notify the FAA of
15 any change to their quality system that affects conformity,
16 airworthiness, or inspections. That's the mandate. It's the
17 requirement. It's the federal law.

18 But when Boeing goes and changes their inspection
19 requirements, and their idea of notifying the FAA is sending
20 notification to them through the -- through our QSO that a change
21 is coming, I don't know that that meets the intent of the
22 requirements.

23 MR. JOHNSON: Does the IAM have any scheduled discussions
24 with the FAA regarding oversight independent of Boeing?

25 MR. CATLIN: Scheduled, not that I am aware of. We have

1 found a seat at that table through hotline activity, through a
2 huge amount of hotline activity. Prior to 2019, the -- as far as
3 I know, the IAM did not have a relationship with the FAA. Since
4 verification optimization in 2019, we've developed a relationship
5 with them.

6 But we don't meet with them on a regular basis. We don't --
7 you know, I meet with the FAA probably more than anybody else in
8 the IAM because I'm continually filing hotline reports to this
9 very day.

10 MR. JOHNSON: Thank you. Mr. Cruz.

11 MR. CRUZ: Thank you.

12 Mr. Brown, could you please describe the Spirit process when
13 the FAA and Boeing conduct surveillance audits?

14 MR. GREG BROWN: Yeah. So Boeing will let us know when the
15 -- this is prior to the incident. Boeing would let us know that
16 the FAA was going to perform an audit, on what day. We'd have an
17 intro meeting, where the FAA would let us know what audits they
18 were going to perform and where. They would perform those audits
19 with Boeing's assistance and our assistance, and we would close
20 with a briefing at the end. Any findings that came out of that
21 audit were given to us by Boeing, and any questions we had for
22 follow-up, we did through Boeing.

23 MR. CRUZ: So these are scheduled audits. Have the FAA ever
24 done a surprise audit of Spirit Aero Systems?

25 MR. GREG BROWN: Yes.

1 MR. CRUZ: Were there any findings based off of those
2 surprise audits, prior to the accident?

3 MR. GREG BROWN: Yeah. I don't know on the particular
4 audits. I don't know if I can answer that question.

5 MR. CRUZ: So once again, how were the audits rectified,
6 then, has far as if there were issues?

7 MR. GREG BROWN: Boeing will issue us a SER, we will address
8 the SER and close it out with Boeing's approval.

9 MR. CRUZ: And what is a SER again, please?

10 MR. GREG BROWN: A supplier evaluation report.

11 MR. CRUZ: So prior to the accident, how often was the FAA
12 doing audits of Spirit?

13 MR. GREG BROWN: Roughly once a month. They did a total of
14 18 in 2023.

15 MR. CRUZ: And were there any findings off of those 18 in
16 2023?

17 MR. GREG BROWN: Yes.

18 MR. CRUZ: And do you know what they are, and can you give us
19 an idea what those were?

20 MR. GREG BROWN: Yeah. Similar to what you've heard from
21 Boeing, so it was FOD, housekeeping, competency, tooling, things
22 of those nature.

23 MR. CRUZ: Okay. So Mr. Silva, can you please bring up
24 Exhibit 11V, V as in Victor? Could you please give us a quick
25 history of the version of BPI-1581? What were the significant

1 changes to the BPI, and why were they changed?

2 MR. SILVA: Sure. So this slide was generated to give a very
3 high level overview of a revision history over the last ten years.
4 It's not, it was never intended to be a comprehensive listing of
5 all the changes, but it does highlight revisions that we made with
6 FAA commitment, as you see in the upper right hand corner, as well
7 as some notable other changes that we made within the system.

8 So if you read the chart from left to right, you can see
9 certain items that were added to the BPI or revised to the BPI
10 over time. Roughly here on the screen, you'll see about half of
11 those, and I say half because of the yellow sticky mark is a
12 recent update here in May. And we've had another one since in
13 June of this year. It was also in response to a compliance
14 action, or in this case a voluntary disclosure that we made a
15 commitment to the FAA.

16 But just at a high level, back in November 2013, we did a
17 major rewrite, added the decision tree, so the Appendix A that
18 folks might be familiar with in terms of the decision tree, pacing
19 through when a removal would be required. We also added another
20 appendix, now Appendix D, or sorry, it says Exhibit D it should, I
21 think -- maybe it's intended to say Appendix D. That listed out
22 certain items that would be exceptions for removals.

23 As I believe Mr. Catlin discussed, maybe in panel one or two,
24 there were some changes in the 2016 timeframe to switch the okay
25 to remove operation step, first on the 787 program, then on other

1 programs, to be just the manufacturing operator to do that step,
2 even though there still be other quality inspections throughout
3 the rest of the process.

4 And then as you see, as we move to the right, most recently
5 the changes that we've made have either been what were intended to
6 be clarifications or more detail that were based on either
7 voluntary or compliance findings. And some cases specific from
8 our own team. So I'll highlight in the lower right hand corner.

9 In September '22, we made a pretty major change. We had a
10 voluntary disclosure that we submitted on the 767 program related
11 to loose connectors. These were connectors that were being found
12 in the flight line that were loose by some of our inspectors. And
13 one of their beliefs was that folks weren't writing removals when
14 they were loosening up the connectors for troubleshooting.

15 So we strengthen some of the language around requirements for
16 making sure you do a removal and fill out the removal paperwork
17 whenever you have those kinds of instances. And then, as you note
18 -- as you'll notice, right on the -- right there, in October 2022,
19 we added the long form and short form. And that I believe
20 Ms. Lund spoke to a little bit yesterday in terms of just how we
21 give extra details whenever there's certain retests or other
22 checks required. And then if it's like a seat cushion, we don't
23 check for software, for example.

24 The sticky note that you see called out there in the middle
25 just really highlights, we had provided an update at the end of

1 April to meet a commitment to a VDR. And then lastly, the most
2 current revision of the BPI was published in June of this year,
3 2024. And that's the one where we added quality on the okay to
4 remove, so that's an extra quality check that we have in the
5 process. That actually came out of the SRM as well, as a
6 recommendation.

7 We strengthened some of the language around engineering
8 support, making sure that engineers could also provide more
9 detailed instructions that was -- as was called out during some of
10 the transcripts that we read as well, to make sure that the
11 details for restoration were better. And then lastly, increasing
12 some of the language around making sure that we had more, more
13 formalized corrective actions when we had unauthorized removals.
14 And all in there.

15 MR. CRUZ: Thank you. So based off of the data that Boeing
16 and the FAA provided to the NTSB from 2018 to 2023, there were a
17 total of 16 regulatory compliance issues, nine voluntary
18 disclosures, four for the 737, and seven compliance actions for
19 the 737. Similarly from 2018 to 2024, Boeing internal audits and
20 Speak Up reports found issues with the same Boeing process, BPI-
21 1581, with two issues for the 737, seven for the 767, three for
22 the 777, and four for the 787 production lines.

23 So according to the documents provided to the investigative
24 team, once again, Boeing did a BPSM, root cause analysis was used
25 in each of these cases that seemed ineffective. Why hasn't Boeing

1 been able to fix the unauthorized removal issues that seem to be
2 persistent in all of the airplane production lines?

3 MR. SILVA: I would like to add a little bit of more detail
4 in terms of some of those findings from both a voluntary
5 disclosure compliance, and then internal audit.

6 MR. CRUZ: Sure.

7 MR. SILVA: In some cases, and we can certainly provide the
8 additional details. In some cases, although the BPI itself was
9 referenced, the corrective action wasn't to the BPI. The
10 corrective action was to around other processes that touch that
11 BPI.

12 For example, when someone removes a part off the airplane, we
13 need to have what we call work in process control, appropriate
14 labeling and stickering of that part, and storage and segregation
15 until we put it back onto the airplane. But even though it
16 touched the removals process, the corrective action and the
17 internal audit finding was around other parts that interact with
18 the removals process.

19 One of the things we've certainly learned as we reflect back
20 on looking through all these findings, is a few things, and some
21 of the trends we've talked about earlier, one, that the corrective
22 actions tended to be more localized around the specific topics.
23 So like the example I just gave, the team working out different
24 things for either changing an installation plan or the -- changing
25 the part handling requirements.

1 But then two, not taking the opportunity, in my opinion, to
2 step back and say, well, hey, where most of our corrective actions
3 are adding and adding and adding to address point specific things,
4 at what point does that complexity start to turn into more of a --
5 create more of a risk or a hazard. And so with the exercise we've
6 done with the SRM and the feedback that we received from
7 teammates, that's really what's pointing us towards this longer
8 term corrective action of, as Mr. Catlin recommended I believe
9 even yesterday, getting back down to simplifying the BPI, reducing
10 those exceptions, reducing a lot of the complexity, making sure
11 that we still protect for that -- for those steps in the
12 appropriate policies and procedures. But ultimately making the
13 removals BPI itself much easier to be compliant to and followed.

14 MR. CRUZ: Thank you.

15 These questions are for the FAA. Does the FAA work program
16 have a specific audit to identify issues with BPI-1581?

17 MR. KILGROE: No, not a specific.

18 MR. CRUZ: If not, how does the FAA find these types of
19 issues during the FAA aviation safety inspector surveillance?

20 MR. KILGROE: During their product audit activities, if
21 they're out on an airplane, observing work happening, that's where
22 it turns up most of the time.

23 MR. CRUZ: So how does the FAA then determine if this issue
24 is isolated to one production line or multiple production lines?

25 MR. KNAUP: We would analyze audits across the different

1 production lines and if the issue was found during our auditing
2 activity on the different production lines, then that would
3 identify it, that it was a issue across the enterprise.

4 MR. CRUZ: And if it's -- if you do find, what do you guys do
5 to take action of that issue?

6 MR. KNAUP: So we have a compliance and enforcement process.
7 If we find issues that require it, we -- slide six, if we can
8 bring up slide six of the FAA presentation, it does talk through
9 the compliance and enforcement process, briefly, to help folks.
10 Right.

11 So the objective of compliance enforcement is to ensure
12 compliance with the statutory and regulatory requirements. So we
13 want to ensure permanent corrective measures are implemented to
14 improve overall safety. We have three different levels that we go
15 through. So the lowest level is a compliance action. If we find
16 an issue, but the applicant is willing and able to correct that
17 issue, then we'll have a compliance action.

18 Our mid-level action is an administrative enforcement action.
19 So when -- if compliance action does not remediate the problem, so
20 if we do compliance action on an issue and it doesn't work, we can
21 elevate that issue to an administrative enforcement action. And
22 then we do have legal enforcement action. That's required in
23 cases where that it's intentional conduct or reckless conduct, and
24 other mandatory issues to include, you know, repeated non-
25 compliances across the system or a specific area. So we could do

1 legal enforcement in those cases.

2 MR. CRUZ: Thank you. So the FAA previously stated that
3 compliance actions are only kept for a limited period of time.
4 How does the FAA analyze past similar findings found in current
5 audits if these previous findings have been removed from its
6 database?

7 MR. KNAUP: So we do some trend analysis of our various
8 findings based on what we, what we have found and based on the
9 quality system elements that are affected. We also certainly rely
10 on the knowledge of our ASI's to understand and communication that
11 we have across the, you know, the sections now around corrective
12 action implementation, around various audits.

13 When we get corrective actions proposed from Boeing, that's
14 managed through a meeting that we have with a cross functional
15 team, from all of the different facilities so that they're aware
16 of the corrective actions that are being put in place, and the
17 issues that folks are seeing in the various facilities.

18 MR. CRUZ: And you said, who does the audit? Is it you and
19 Mr. Kilgroe? Or is it a actual program that does the analysis?

20 MR. KNAUP: Who does the analysis?

21 MR. CRUZ: Yeah.

22 MR. KNAUP: So we have individuals in our staff that, you
23 know, collect that data and provide that info to the folks within
24 our sector.

25 MR. CRUZ: Okay. Knowing that the information is there for

1 limited time, how accurate, you know, basically knowing that some
2 of the data may not be there, how accurate is your analysis if
3 some of the data is not there?

4 MR. KNAUP: Sure. So I mean I think our data is, you know,
5 we keep the trend analysis takes data from before, we may not have
6 the compliance record or the compliance action. But we do have
7 the non-compliances that we found is still available in the ACAIS
8 system. So the compliance action and the corrective actions may
9 not be something we retained from a records perspective, and we
10 can get you the dates on the timing of records retention, but
11 Boeing has that data, and we also have the non-compliances in
12 ACAIS, if we need to reference them.

13 But our, you know, the way we do our data analytics, which we
14 are, we are trying to improve is continues to build based on our
15 auditing activity.

16 MR. CRUZ: So when Boeing provides corrective actions for
17 findings to the FAA, how does the FAA analyze the effectiveness of
18 the Boeing problem solving model or root cause analysis to ensure
19 nonconcurrency -- nonrecurrence, I'm sorry.

20 MR. KNAUP: Yeah. So that goes back to the -- we have a
21 cross functional team of ASI's that review the corrective actions
22 proposed, and then we will do appropriate follow up actions to
23 verify that the corrective actions that have been put in place fix
24 the issue that was identified.

25 MR. CRUZ: Knowing that the FAA does not have a specific

1 audit for unauthorized removals in the FAA work program, what has
2 the FAA done to ensure this type of escapement is caught more
3 readily during surveillance of the Boeing certificate?

4 MR. KNAUP: Yeah. So I think we, our team, understands
5 issues that we are looking at. And so through that communication
6 across our sections, we would go do a product audit where a
7 removal was a part of that product at the various facilities.
8 Right. So we would, you know, if we see this issue in Renton,
9 then in Charleston, when we go to a product audit, we would ensure
10 that it has a removal as part of that product.

11 And then we would ensure that the corrective action that was
12 put in place because of the issue we found in Renton has been in,
13 you know, put in place in Charleston and we can address it. And
14 that would be part of our -- either our verification process or
15 our adjusting, like our planned audits throughout the fiscal year
16 to ensure we address issues that arise, that we find, you know,
17 previously.

18 MR. CRUZ: After the accident, the FAA started an enhanced
19 audit of Boeing. During these enhanced audits, has the FAA found
20 any other additional issues with unauthorized removals?

21 MR. KNAUP: Yes.

22 MR. CRUZ: If so, can you please provide details if you can?
23 Some are closed, some are open.

24 MR. KNAUP: So we have open enforcement action around
25 removals, currently. It's an open investigation.

1 MR. CRUZ: So this is a question that I would like to ask
2 both of you. What keeps you both -- I lost my train of thought.
3 Sorry, it's been a long day. What keeps you both awake at night
4 regarding this particular certificate. Mr. Kilgroe.

5 MR. KILGROE: The biggest question I have of late, especially
6 considering all that this -- all that has happened since January
7 5th, is why is it so difficult to sustain a corrective action for
8 the long term and sustain compliance to a process or a work
9 instruction. Those are the three, top three for me.

10 MR. CRUZ: Mr. Knaup.

11 MR. KNAUP: I think what keeps me awake is the complexity of
12 the system to ensure that when we evaluate a corrective action,
13 it's applicable across the whole system and it will solve the
14 problem in Everett, Renton, and Charleston, and all of their other
15 facilities. But I think just the complexity keeps me awake and
16 how as we move forward, we're able to find the right balance
17 between having all the details in everything and keeping it in a
18 simple method that allows all of the mechanics to follow the
19 process more closely.

20 MR. CRUZ: Thank you. So as the FAA, how does the FAA
21 promote safety to Boeing? At Boeing, I should say.

22 MR. KNAUP: Can you -- sorry, Pocholo, can you repeat the
23 question?

24 MR. CRUZ: Yeah. How does the FAA promote safety at Boeing?

25 MR. KNAUP: So I mean, we promote safety through our

1 compliance activity, you know, through our auditing activity. We
2 also promote safety via the ASAP that we have with IM and Boeing,
3 that's been discussed previously. Our ASI's promote safety on the
4 floor when they're doing audits with the mechanics to ensure that
5 they understand what the requirements are for them to follow.

6 We promote safety throughout our leadership meetings with
7 Boeing to ensure that they understand how important compliance is
8 to having a safe aircraft. I don't know, Bryan, you want to add
9 anything?

10 MR. KILGROE: I think Brian's touched on it. You know, we're
11 on the floor or our ASI's are out in the factories, and they are,
12 you know, engaging with the technicians and various other
13 positions, and just promoting a positive safety message. You
14 know, if you see it, report it, et cetera. So that's one of the
15 biggest changes since the accident with our enhanced activities.

16 MR. CRUZ: Yeah. That's what I was going to come up with
17 secondly. What has the FAA done since the accident to ensure the
18 quality of the airplanes Boeing produced is of high standard?

19 MR. KILGROE: We now have offices at Everett, Renton,
20 Charleston, and Spirit. You know, the new office locations are
21 Renton and Spirit. We had offices in Everett and Charleston. So
22 but our staff has increased. Folks are on site every day, Monday
23 through Friday. They're on the floor, they're attending tier
24 meetings, luality management review meetings. Trying to think
25 what else.

1 MR. KNAUP: We have a couple of slides. I think slides, I
2 want to say nine and ten talk about our actions. I can walk
3 through them. Bryan hit on a handful of them. So certainly we
4 released an emergency AD. It effectively grounded the domestic
5 fleet. We conducted the six week special audit that we've
6 discussed. That was in Boeing and Spirit's 737 quality system.

7 We've increased staffing across all of Boeing facilities.
8 And not just inspector staffing, but engineering staffing as well,
9 to support those audits. We have on site visibility, like Bryan
10 mentioned, we have dedicated space within Renton and Spirit.
11 We're visiting, you know, areas or processes that we see as high
12 risk more often, because we have increased staffing, we've have
13 increased involvement with Boeing's internal audit activities to
14 ensure that we understand what they're finding.

15 That is, you know, certainly an indicator of places
16 potentially we would look, or potentially, it's an indicator of
17 places we don't need to look because Boeing is taking action to
18 solve those problems, and we can look somewhere else. So we look
19 at that both ways.

20 You can go to the next slide. As Bryan mentioned, we are
21 participating with their employee engagement teams and some of
22 their line walks that they do during the week. We have all of the
23 KPI data that has been a part of the 90 day plan that we look at
24 on a daily basis. We are attending meetings with -- involving
25 Boeing quality, the various tier meetings that were discussed

1 earlier.

2 We have done a lot of investigations of hotline and
3 whistleblowers. We have an increased hotline whistleblower. We
4 have an increased number of those reports, and we've also
5 increased our unscheduled auditing activity to include off shift
6 -- off first shift activities. And you know just without, you
7 know, without warning, we'll do audits.

8 MR. CRUZ: Thank you.

9 MR. KNAUP: Yep.

10 MR. BRAZY: Madam Chair, that concludes the questioning from
11 the tech panel at this time.

12 CHAIR HOMENDY: Thank you very much. We will go ahead and
13 start with the parties. I know I have the timers scheduled for
14 five minutes, but we'll do multiple rounds if needed. So we'll
15 start with ALPA.

16 MR. JANGELIS: Thank you, Madam Chair.

17 Earlier there was a slide that was posted showing the BPI-
18 1581, and all the different changes, and just from reading through
19 the research post-accident, found that the document has gone from
20 28 to 52 pages. Does this concern the FAA considering all these
21 changes in a relatively short period compared to the average
22 airframe life?

23 MR. KNAUP: Yes, it's a lot of changes in a short amount of
24 time.

25 MR. JANGELIS: I'd like to follow up with the IAM. Does that

1 concern you and the rank and file with all those changes as well?

2 MR. CATLIN: Absolutely. You know, as I spoke of yesterday,
3 you know, we used to have something called required reading,
4 something that allowed our employees, our members, to be able to
5 take time out every Friday, go back and review all the changes to
6 the BPI's. That was done away with back in 2017. Now we have
7 BPI, which is a critical BPI. Whenever you remove a permanently
8 installed part from an airplane, you need to document the fact
9 that you're removing it.

10 That has now gone from 28 pages to 58 pages, currently. More
11 than doubled in size, and a large portion of that doubling of size
12 is all the reasons why you wouldn't need to write a removal. I'm
13 -- I don't understand why you wouldn't need to write a removal.
14 If you're removing a permanently installed part, you need to
15 document it.

16 MR. JANGELIS: Thank you.

17 This question is for the FAA. Please describe the current
18 trends from the FAA's audit findings that you just described.

19 MR. KNAUP: You said current trends.

20 MR. JANGELIS: Correct, yes.

21 MR. KNAUP: Okay. So certainly through our audits, we have
22 seen trends in alleged non-compliances, in FOD, tool control,
23 failure to follow manufacturing process. I think those are the
24 three heavy hitter trends that we've seen through our auditing
25 activity.

1 MR. JANGELIS: How does that compare to your audit findings
2 prior to Alaska Airlines Flight 1282 flight?

3 MR. KNAUP: I think the trends are similar. We've done more
4 audits, so we have more findings. The issues that we saw during
5 the six week audit, I guess I should be clear, are similar to
6 trends we saw over a much longer period of time.

7 MR. JANGELIS: And how did the findings from an audit
8 indicate that the mechanic or inspector doesn't understand or
9 properly follow the installation plan, the IP?

10 MR. KILGROE: That's identified while an FAA inspector is
11 observing a product audit, or witnessing a job being accomplished.
12 He's following along and when there's a deviation from the IP,
13 then he identifies that.

14 MR. JANGELIS: I think my question here is for the FAA, how
15 does the FAA promote safety on the floor at Boeing?

16 MR. KNAUP: Well, so when our ASI's are out there doing
17 audits, they're promoting, you know, I know our ASI's are aware of
18 the Speak Up program within Boeing, so that is something that they
19 certainly mentioned to the mechanics. If there is, you know
20 issues noted or, you know, you know, and things that we are
21 looking at doing as we kind of work through how we're going to do
22 oversight of SMS is exactly how we do more of that. How we do
23 more of that safety promotion while we're on the floor doing our
24 audit.

25 MR. JANGELIS: Thank you.

1 My follow up and final question is to the IAM, is to
2 Mr. Catlin. What's your view on this? How do you think the FAA
3 can assist Boeing with safety on the floor?

4 MR. CATLIN: The FAA needs to be given authority, true
5 authority. In all of my dealings with the FAA, I guess I can sum
6 it up with one investigation, numbered S20220202019. Back on in
7 April of 2022, the FAA performed an investigation. And they
8 substantiated a violation of an order, regulation, or standard of
9 the FAA related to inadequate BPI's, and the lack of manufacturing
10 personnel, education, training skills, or experience to
11 effectively perform their assigned tasks.

12 That was in April of 2022. In January of 2024, a door plug
13 blew out of the 737-Max at 16,000 feet. The FAA has been aware
14 that there's been problems with Boeing's BPI's. They've been
15 aware that there's been problems with Boeing's training. They've
16 been aware for a long time. They need the authority to do
17 something about it.

18 MR. JANGELIS: Thank you. No further questions.

19 CHAIR HOMENDY: Thank you. Alaska Airlines.

20 MR. TIDWELL: Thank you, Chair.

21 A couple of questions for you. Let's start with the FAA.
22 You talked about creating your surveillance plan. So your 2023
23 surveillance plan was created on the previous year's performance
24 data. What did that data show you regarding the Boeing
25 productions facilities and what were your risks?

1 MR. KILGROE: The national trends for the -- were similar for
2 manufacturing process control, tool control, handling, and
3 storage. However, it's the onsite teams and their knowledge and
4 experience of those locations and what work is happening in those
5 locations that helps them assemble their plan.

6 MR. TIDWELL: Did those plans change significantly after this
7 failure?

8 MR. KILGROE: I have not reviewed -- I couldn't tell you from
9 right now. I don't have that in front of me.

10 MR. KNAUP: I would say yes, we have changed our plans based
11 off of this accident, and certainly the findings from the SAI are
12 findings that we utilize to, you know, adjust our audit plans at
13 other factories. Or you know, other facilities that we monitor to
14 ensure that if we're finding something in Renton, we want to make
15 sure that if that is happening in Charleston or Everett. So yes,
16 we adjust based on what we find throughout the year.

17 Or like I said, if we have information from our COS
18 activities on the FAA side, or our certification activities, we
19 will adjust our audit schedule.

20 MR. TIDWELL: Okay. You were talking about your audit plans
21 and most of your audits, it sounds like, are preplanned, pre-
22 notified, and I'm just kind of wondering, I want, I want to hear
23 from both Boeing and the FAA on this. From the Boeing side, when
24 you get notified of an audit coming, do you look at the same big
25 four?

1 MR. SILVA: And just to clarify, when you say big four, do
2 you mean the --

3 MR. TIDWELL: Tooling, FOD --

4 MR. SILVA: The recurrent finding?

5 MR. TIDWELL: -- housekeeping, documentation.

6 MR. SILVA: Generally yes, generally yes. And one of the
7 things that we've been working on has, especially since the
8 accident, has been reminding everybody that the FAA really could
9 be on site any given day. So even though we do have planned
10 audits that we can prepare for, or at least in some cases we know
11 of a particular work area or zone that's going to be focused, we
12 have to be audit ready every single day. But we do look at those
13 trends to make sure that those are some of the areas that we focus
14 on with our teams.

15 MR. TIDWELL: Okay. That's good to hear.

16 And from the FAA side, how many of your unplanned audits do
17 you do as compared to planned? Has that increased over the past
18 eight months?

19 MR. KILGROE: Yes. The unplanned activities have increased
20 significantly with inspectors in the factory, with our increasing
21 staff, and out on the floor daily, our unplanned activities have
22 increased significantly.

23 MR. TIDWELL: Okay.

24 Real quickly from the SMS side of the world with the FAA, I
25 know there are some of the meetings you participate in. Are you

1 able to work that into your work plan for your audits, upcoming
2 audits?

3 MR. KNAUP: Do you mean like where a part of SRM's, can we
4 make --

5 MR. TIDWELL: SRM, safety meetings, tier ones, I don't know
6 what you guys are involved with, but you should be in.

7 MR. KNAUP: Yeah. Yeah. So we, not necessarily as part of
8 our audit activity, but kind of part of our daily or ongoing
9 surveillance with our increased staff, we're able to attend
10 significantly more meetings that would help inform us on where we
11 should go audit in each of the factory spaces.

12 MR. TIDWELL: Okay. Thank you.

13 Mr. Catlin, one question for you. You talked about your
14 increased exposure and discussions with the FAA. Have you ever
15 been invited to do a floor walk with the FAA?

16 MR. CATLIN: No.

17 MR. TIDWELL: Thank you. No further.

18 CHAIR HOMENDY: Thank you. AFA.

19 MR. HEIPLE: Well, I was going to ask about SRA's as well.
20 But it's been our experience that healthy SMS requires tremendous
21 amount of manufacturer transparency, or carrier transparency with
22 the FAA, and engagement by the FAA. When things are working well,
23 appropriate FAA subject matter experts are involved in safety risk
24 assessments performed by the carrier. And they attend the safety
25 review boards. So I think Max covered that well.

1 But this ensures that you're immediately aware of safety
2 hazards that have been identified by the carrier along with the
3 mitigations being implemented, and I think you've referred that
4 might instigate audits. We'd like to hear from you about the
5 level of transparency that you're receiving from both, well, in
6 this case Boeing primarily, as well as any enhancements to
7 reporting programs that you're planning on requesting,
8 coordinating, as a result of required SMS.

9 MR. KNAUP: Sure. Well, I think I will say in the -- I took
10 this position in July of 2023. I feel like the transparency with
11 Boeing has been good. We have seen increases in that transparency
12 post-accident, especially around data. The data around the KPIs
13 is a really good example of the data that we now see real time,
14 just like they do, which I think is a big step in the right
15 direction for us to have that awareness. You had a second part to
16 your question that I can't remember.

17 MR. HEIPLE: Enhancements to.

18 MR. KNAUP: Oh, enhancements. To Speak Up or any other kind
19 of reporting.

20 CHAIR HOMENDY: Right.

21 MR. KNAUP: Yeah. I mean, I think one of the enhancements,
22 and it as a recommendation in the Section 103 panel was to
23 increase the number of ASAP's that Boeing has across their
24 facilities. So that's something we are pursuing. Like was
25 mentioned previously, there's ongoing work with the engineering

1 union to get an ASAP in place for them with Boeing. And certainly
2 as the leader of the oversight of the Boeing ODA, I think that is
3 a big step in the right direction as well to ensure that we, you
4 know, we get that in place as soon as we can.

5 So I think those are -- and then as we work through, this
6 additional ASAP as appropriate with Boeing, it would be, you know,
7 a way to enhance their Speak Up.

8 MR. HEIPLE: Speak Up sounds similar to ASAP, but it doesn't
9 sound exactly the same. Do you have a member -- an MOU?

10 MR. KNAUP: So we do have an MOU with IAM for the tri-party
11 agreement. It utilizes the Speak Up process. There are
12 requirements for the speak -- there are requirements around
13 eligible reports that would go into Speak Up that would lead to
14 the a ASAP ERC with IAM, those being it's an IAM member. The
15 issue is around a regulated process. So it's not in like an
16 ethics or OSHA complaint or whatever. Those issues come in,
17 they're reviewed by the ERC, and like was mentioned previously,
18 recommendations are made, and provided to Boeing.

19 MR. HEIPLE: So as part of the ERC, does your representative
20 on the Speak Out program have awareness of, and/or input on the
21 development of training for the Speak Up program that would be
22 distributed to employees, and/or the communication about the
23 program?

24 MR. KNAUP: We haven't as part of the Speak Up -- larger
25 Speak Up, we haven't been involved in the training or promotion of

1 that. We have been involved, you know, as I have been involved,
2 as the steering committee member of the ASAP on, you know,
3 communication and promotion of the ASAP to IAM membership so that
4 they're aware that when they report stuff into Speak Up, into
5 Speak Up, it will go through the ERC, you know, if it meets these
6 criteria.

7 MR. HEIPLE: And then I know this is broad, but the FAA has a
8 dual mandate to both regulate and promote commercial based flight
9 industry. How do you balance that in your role, in your oversight
10 role, how do you see that? In 30 seconds.

11 MR. KNAUP: Okay. So it's a hard balance sometimes, but it
12 is a balance, you know, I think us promoting safety drives a safer
13 system at large, right? And so we -- yes it is a dual mandate,
14 but you know, we worked that through ensuring that the product is
15 safe. And I think the flying public has made it very clear that
16 they demand safety above all else as we move forward, and so
17 that's how we operate.

18 MR. HEIPLE: Appreciate the response.

19 CHAIR HOMENDY: Okay. Mr. Gerlach with the FAA.

20 MR. GERLACH: Thank you, Chair. Some very short questions.
21 For Boeing and Spirit, it's the same question. So what is
22 the role of ODA in the quality system?

23 MR. SILVA: So as Member Inman I think alluded to earlier,
24 within the quality system, in the ODA, we have what are called
25 inspection unit members. And they -- they're essentially the FAA.

1 They are there on behalf of the FAA and act as the FAA to do
2 inspections of products, typically helping with conformity type
3 inspections for either a new design or a change in design that
4 requires an inspection from a unit member. And they also help
5 with ticketing activities for the programs where the FAA is not a
6 delegate of that or has a delegate.

7 MR. GERLACH: Thank you.

8 And Spirit.

9 MR. GREG BROWN: Yeah. So our engineering team is assembled
10 similar to Boeing's, but they have an ODA, we don't. So I would
11 tell you we communicate with them closely on key issues. And
12 because we do hold design, we make sure that everything we're
13 doing Boeing's aware of. So I think it's a pretty closed loop
14 network.

15 MR. GERLACH: Thank you. And one last question for Spirit.
16 Describe the Boeing internal audits and corrective action process.
17 I think you may have touched on this a little earlier, but -- for
18 Spirit.

19 MR. GREG BROWN: The question again.

20 MR. GERLACH: So describe the Boeing internal audits and
21 corrective action process.

22 MR. GREG BROWN: So Boeing has an onsite team at Spirit. In
23 2023, I believe they did somewhere in the neighborhood of 95, 96
24 audits. And in those audits they'll write SER's, supplier
25 evaluation reports. We will work with the Boeing team to come up

1 with root cause corrective action and implementation. They will
2 either accept or reject those. Once they're accepted, there could
3 be a follow up, but that's the process.

4 MR. GERLACH: Thank you.

5 And one for the FAA. Mr. Knaup and Mr. Kilgroe, can you
6 describe the kind of training an ASI receives before they go out
7 into the field?

8 MR. KNAUP: Yeah. So new ASI's that come to the FAA, there's
9 a two year structured program that our ASI's run through, it's I
10 believe it's over 240 hours of formal training that all of our
11 ASI's go through. They also get on the job training elements as
12 part of that. So they'll go out with the senior ASI, or one of
13 our more experienced ASI's, to learn about the auditing process,
14 apply the formal training that they've learned throughout, you
15 know, to understand how to do our job. So it's -- that's the
16 training process.

17 MR. GERLACH: Thank you very much. No more questions, Chair.

18 CHAIR HOMENDY: Thank you. Mr. Holden, with the Machinists
19 Union.

20 MR. HOLDEN: Thank you, Madam Chair.

21 My questions are for the FAA. And I kind of want to verify
22 things I heard earlier. It seems Boeing is required to get
23 approval from the FAA for changes to some, but not all BPI's. Is
24 that correct?

25 MR. KNAUP: That's correct.

1 MR. HOLDEN: So which types of BPI's is Boeing required to
2 get FAA approval?

3 MR. KNAUP: I don't have all the -- the list of all of them
4 memorized, but the BPI's that I know require our approval, are
5 around inspections, and around sampling of supplier parts, and
6 conformance.

7 MR. HOLDEN: Okay.

8 Does the FAA have access to supplemental writings like D6
9 documents or BPG's, Boeing process guides?

10 MR. KILGROE: Very few.

11 MR. HOLDEN: So if a BPI were changed to a BPG, from a
12 process instruction to a process guide, would you see that
13 anymore?

14 MR. KILGROE: Most likely not.

15 MR. HOLDEN: Okay. Even if not required to get approval from
16 the FAA, is the FAA notified of all changes to the BPI's? Are you
17 notified at least?

18 MR. KILGROE: Yes.

19 MR. HOLDEN: Do you evaluate those BPI's when you receive
20 them of changes? Or the collateral impacts of what those changes
21 mean on every time you're notified.

22 MR. KILGROE: Yes, we review the summary.

23 MR. HOLDEN: Do you ever reach out to those that are impacted
24 by a change to the BPI, the mechanics, the QA, those that are now
25 held accountable to how those are changed to see how they're

1 impacted?

2 MR. KILGROE: I have not.

3 MR. HOLDEN: Why not?

4 MR. KILGROE: I don't have an answer for you, but I can, I
5 can definitely make it a point to have our team start reaching out
6 when a process is changed.

7 MR. HOLDEN: ASAP's are meant to benefit all three parties,
8 the company, or the manufacturers should get some protection
9 within that for reporting and enforcement, and it should drive
10 transparency. The union or the workers, they have a benefit of
11 some protection that they can bring things forward and be assured
12 there won't be retaliation, and they have some protection there.
13 And the FAA gets visibility, something that you don't -- It's not
14 built into the system that you automatically have visibility of
15 all the BPI's, and all the changes, and approvals not required.
16 So absent a functioning ASAP, are whistleblowers or hotline
17 reports the only way for the FAA to get visibility of changes to
18 BPI's that improperly shift inspection to mechanic conformance
19 only?

20 MR. KNAUP: Well, I would say it's not the only way. It is a
21 way. Certainly, our inspectors on the floor can be reached out to
22 directly if there are issues that are seen, or they want, you
23 know, to ensure they are brought up. So that is another way. We
24 do want to have a functioning ASAP with IAM. I think that is the
25 key to getting that visibility, which is what we want from an FAA

1 perspective. But that is another way for, you know, mechanics to
2 reach out and inform the FAA.

3 MR. HOLDEN: And the IAM wants that as well and, you know,
4 since I sit on the advisory committee with you, I know I'm not
5 testifying here, but I appreciate the input we've received from
6 the FAA. Without Jim Phoenix, we wouldn't have been this far
7 along. And I think it's worth mentioning that. I'd like to move
8 a little bit, change the topic to the supply chain. Does the FAA
9 have any --

10 CHAIR HOMENDY: Mr. Holden, can you save that for the next
11 round? Or no?

12 MR. HOLDEN: Yes, I can.

13 CHAIR HOMENDY: Okay. Thank you.

14 MR. HOLDEN: Thank you.

15 CHAIR HOMENDY: Ms. Meyer.

16 MS. MEYER: Yes.

17 CHAIR HOMENDY: With Spirit.

18 MS. MEYER: Yes.

19 I just have a question for the FAA. So I'd just like to
20 clarify. What we were talking about before on the ACAIS system.
21 So I just want to make sure I understand. So we talked about the
22 high risk rating of one, right, based on production levels. So
23 does the input to the ACAIS system, does it always put out the
24 minimum score of 18 then, for Boeing site, and the additional plus
25 15, I think you mentioned Mr. Kilgroe, is that really at the

1 discretion of the FAA to select that plus number?

2 MR. KILGROE: Yes. Those were over and above the 18.

3 MS. MEYER: Sure. But the ACAIS system always puts out the
4 18 then as a minimum, because they're a score of one based on
5 production levels.

6 MR. KILGROE: Right. The risk score, yes. That's what you
7 go to the order and based on the score, it tells you what your
8 minimum requirement is.

9 MS. MEYER: Sure. And then that plus 15 or whatever the FAA
10 decides is the plus number, is that based on another risk tool
11 that you use to determine that? Or just the experience at the
12 local level.

13 MR. KILGROE: No. Those could be, those could be, those
14 additional audits could have been, could have been done to support
15 hotline and whistleblower investigations, other concerns
16 identified by inspectors, et cetera. So those were unplanned.

17 MS. MEYER: Okay. Thank you.

18 MR. KILGROE: Yep. Thank you.

19 MS. MEYER: That's all, Madam Chair.

20 CHAIR HOMENDY: Thank you. We'll go back to ALPA.

21 MR. JANGELIS: I have just one question, Madam Chair.

22 For the FAA, if a rank and file employee finds that they have
23 a safety issue that they'd like to report to the FAA, is the only
24 route through the hotline, or can they call your office directly,
25 or deal with the members of your office directly?

1 MR. KNAUP: No, they can, they can reach out to our ASI's,
2 and we'll route that concern appropriately to ensure it gets
3 looked at. So the hotline is a perfectly acceptable way. We
4 investigate every hotline report. But if they reach out to our
5 ASI's, we will take that concern seriously and investigate it
6 appropriately.

7 MR. JANGELIS: Thank you. No further questions.

8 CHAIR HOMENDY: Thank you. Alaska.

9 MR. TIDWELL: Thank you, Chair. A couple of questions.

10 As we're looking forward to maturing SMS systems and our ASI
11 workforce, when we look at production authorization holders as a
12 whole, and an SMS, that's a different oversight model. Are we
13 ahead on the training? Are we developing something so it's not
14 the normal 240 hours and OJT to look at things differently?

15 MR. KNAUP: Yeah. So aircraft cert has a different training
16 model for SMS specifically that will be handled by, you know, our
17 folks that will be involved in SMS oversight will be -- go through
18 that. But it is different than what our ASI's do to do quality
19 management oversight.

20 MR. TIDWELL: Okay. Thank you. I think that's enough for
21 me. Thank you, Chair.

22 CHAIR HOMENDY: Thank you. Flight attendants, Mr. Heiple.

23 MR. HEIPLE: Is there a guidance document for part 21 ASAP?

24 MR. KNAUP: There is not currently a guidance document for
25 part 21 ASAP. So we are, we're working off of the 121 info that

1 we have.

2 MR. HEIPLE: Okay. The 66C.

3 MR. KNAUP: Yep.

4 MR. HEIPLE: Is one in development.

5 MR. KNAUP: I am not aware of that, but that's certainly
6 something we can take that question for the record and get you an
7 answer for the record. It's outside of my

8 CHAIR HOMENDY: Understand.

9 MR. KNAUP: -- knowledge.

10 MR. HEIPLE: Important part of SMS so we'll be hopeful to see
11 that.

12 MR. KNAUP: For sure.

13 MR. HEIPLE: No more questions, Madam Chair.

14 CHAIR HOMENDY: All right, thank you. And we'll go to
15 Mr. Gerlach.

16 MR. GERLACH: Thank you, Chair. We have no more questions.

17 CHAIR HOMENDY: Alrighty. We're back to Mr. Holden.

18 MR. HOLDEN: Thank you, Madam Chair. Just a couple more
19 questions.

20 I really want to touch on the supply chain. And this is for
21 the FAA. Does the FAA have oversight of the quality management
22 system within the supply chain?

23 MR. KNAUP: We oversee Boeing's quality system and the flow
24 down of their quality system to the suppliers, so we don't
25 oversee, for example, Spirit's quality system. We oversee

1 Boeing's ability to oversee Spirit's quality system.

2 MR. HOLDEN: And so that means there could be changes to the
3 inspection process out in the supply chain that you don't have
4 visibility of.

5 MR. KNAUP: I guess potentially, yes. We would expect Boeing
6 to let us know if those changes did not meet their quality system.
7 And then when we audited, we would find that. But we audit to
8 Boeing, the flow down requirements from the approved Boeing
9 quality system.

10 MR. HOLDEN: When Boeing grants source inspection authority
11 to the supplier now performing a specific statement of work,
12 whether that's Spirit or any other supplier in the U.S. or across
13 the globe, are you only relying on Boeing to notify you of changes
14 in those processes within the supply chain?

15 MR. KNAUP: Yes.

16 MR. HOLDEN: So for example, Spirit's plant in Malaysia or --

17 MR. KNAUP: So we do auditing activity across the supply base
18 of Boeing. Our audit activity, hopefully, would discover any
19 changes to those suppliers quality systems that don't meet the
20 Boeing requirements. We also review Boeing's internal audit.
21 Their supplier quality internal audits, and ensure that those
22 findings are, you know, corrected as well.

23 MR. HOLDEN: Okay. Thank you.

24 Mr. Silva, when the Boeing company goes through changing the
25 quality management system, do you then direct the supply chain to

1 do the same?

2 MR. SILVA: Depending on the changes that we're making, we
3 potentially could, yes.

4 MR. HOLDEN: Did the Boeing company direct the supply chain
5 to remove inspections?

6 MR. SILVA: No.

7 MR. HOLDEN: For Spirit. Earlier, in a previous panel it was
8 stated that when Boeing comes up with something that works, we
9 often adopt the same. Did Spirit adopt a change to the quality
10 management system to remove inspections in areas around okay to
11 install, or on close tolerance holes, or face seal, anything
12 related?

13 MR. GREG BROWN: No.

14 MR. HOLDEN: Okay, thank you. I have no more questions.
15 Thank you, Madam Chair.

16 CHAIR HOMENDY: Thank you very much, Mr. Holden. Ms. Meyer.

17 MS. MEYER: No further questions from Spirit, Madam Chair.

18 CHAIR HOMENDY: All right. Quick, Alaska.

19 MR. TIDWELL: No further questions. Thank you, Chair.

20 CHAIR HOMENDY: And oh, sorry, ALPA.

21 MR. JANGELIS: No questions, thank you.

22 CHAIR HOMENDY: AFA.

23 MR. HEIPLE: No question.

24 CHAIR HOMENDY: FAA.

25 MR. KILGROE: No questions, thank you.

1 CHAIR HOMENDY: IAM.

2 MR. HOLDEN: No, ma'am.

3 CHAIR HOMENDY: Spirit.

4 MS. MEYER: No questions.

5 CHAIR HOMENDY: Great. We're moving on to the Board of
6 Inquiry.

7 I'm trying to understand just I'm looking at your certificate
8 management life cycle process, which is in your FAA order. And
9 just trying to understand what types of audits we're talking
10 about. You have an principal inspector audit, you have a supplier
11 control audit, and you have a quality system audit. What audits
12 are you talking about when you're talking about the 18 plus? Or
13 what's the difference between the three?

14 MR. KILGROE: The principal inspector audits are the 18 plus.

15 CHAIR HOMENDY: Okay. And so when you do, and you've talked
16 about enhanced audits. What's the difference between principal
17 inspector audits and enhanced audits?

18 MR. KNAUP: Enhanced auditing, enhanced oversight activity,
19 was just what we -- a term we had used post the accident to
20 discuss additional activities that we would implement. And I
21 would say at this point those are, those are the -- that's the
22 norm now.

23 CHAIR HOMENDY: So that's the norm now.

24 MR. KNAUP: Correct.

25 CHAIR HOMENDY: Okay. So that that doesn't go away.

1 MR. KNAUP: There is no plan for that to go away.

2 CHAIR HOMENDY: Okay. And so when you, when you're going to
3 do an audit, you said there's a notice. And did I hear a 30 day
4 notice for Boeing? And did I hear 30 to 60 on supplier? I might
5 have heard that wrong.

6 MR. KILGROE: So PI audits, we can do no notice.

7 CHAIR HOMENDY: Sure.

8 MR. KILGROE: We do give them at least a week notice on Pi
9 audits and sometimes more. Now supplier control audits, per our
10 policy, have a requirement to notify what 30 days prior.

11 CHAIR HOMENDY: Okay, then I'm going to go back to -- then
12 what's the difference between the different audits?

13 MR. KILGROE: The Supplier control audit is done at a Boeing
14 supplier.

15 CHAIR HOMENDY: Okay.

16 MR. KILGROE: So like we're going to go to Spirit and do a
17 supplier control audit.

18 CHAIR HOMENDY: Okay.

19 MR. KILGROE: So we give them 30 days' notice to arrange the
20 logistics to support our activities at that supplier. Spirit's
21 not necessarily a good example because we have folks there on
22 site. But say it was a company that we don't have close personnel
23 to, that we're going to have to make travel arrangements.
24 Boeing's going to send their folks to support us. We may need
25 additional security activities to get on site at the supplier, et

1 cetera. So that's why the 30 days' notice, so everyone can get
2 organized.

3 CHAIR HOMENDY: And the quality system audit.

4 MR. KILGROE: Sixty days.

5 CHAIR HOMENDY: Sixty days. And what is that?

6 MR. KILGROE: That is a comprehensive top to bottom audit of
7 the quality system and --

8 CHAIR HOMENDY: Okay. And then you -- oh, go ahead.

9 MR. KILGROE: It involves a larger team, so additional
10 inspectors, engineers, potentially flight test as well. So it's a
11 big team so it's for logistics, not only for internal for us, as
12 well as the production approval holder to make arrangements to
13 have the necessary folks to support.

14 CHAIR HOMENDY: And just briefly, before I go back to
15 principal inspector audits, you said you had people at Spirit. Is
16 this after the accident?

17 MR. KILGROE: No, we had people --

18 CHAIR HOMENDY: Okay.

19 MR. KILGROE: They didn't have a physical space within Spirit
20 before the accident. So the change there is now they have a
21 physical space on site, and we've plussed up one so far.

22 CHAIR HOMENDY: Okay. So I'm -- this -- I'm trying to
23 understand before I go through the rest of the process. Can you
24 pull up Exhibit 11M, page 387. So Mr. Kilgroe, this is your
25 interview with NTSB. In your position, do you know whether -- do

1 you oversee -- the Spirit production system does not have a
2 production system. So who in the FAA would oversee Spirit?

3 Can you scroll down a little? We don't technically oversee
4 Spirit, we oversee Boeing's quality system flow down to Spirit for
5 the production of the articles that they have contracted with
6 Spirit. I'm trying to understand the difference. So could you
7 explain that to me a little bit more?

8 MR. KILGROE: Right. So with -- I'm trying to think of the
9 best way to explain it. When we do --

10 CHAIR HOMENDY: You can take that down.

11 MR. KILGROE: When we do a supplier control audit at Spirit,
12 we're auditing Boeing's oversight of their supplier to ensure that
13 their supplier is building their articles to the design, as well
14 as following their contractual flow down requirements. So Boeing
15 flows down the requirements to Spirit to build their, whether it's
16 a piece part, fuselage, they flow that down to Spirit.

17 Boeing, as the production approval holder, is responsible to
18 ensure their supplier is doing things per their quality system
19 because Boeing requires them to have one, and then meeting their
20 other identified quality requirements. So we're auditing Boeing's
21 oversight of the supplier.

22 CHAIR HOMENDY: Okay. And if there's a problem with the
23 supplier, are you -- do you -- does that count on some input from
24 Boeing?

25 MR. KILGROE: If we, if we have -- if we identify non-

1 compliances or nonconformances, then Boeing generates what they
2 call a SER, an S-E-R for Spirit to resolve the noncompliance or
3 nonconformance. The FAA generates a compliance action or
4 enforcement action against Boeing for not controlling their
5 supplier.

6 CHAIR HOMENDY: Okay. And you said for the 18 you do a risk
7 assessment, and you come up with a risk score. Right?

8 MR. KILGROE: Correct.

9 CHAIR HOMENDY: And what are the inputs to that? What is the
10 score based on?

11 MR. KILGROE: It's based on a series of question in the RBRT
12 tool and ACAIS. It starts out with, in the case of Boeing, or a
13 production approval making -- building airplanes or helicopters or
14 engines, how many of those are they building per year. So that's
15 one of the first steps.

16 CHAIR HOMENDY: Mm-hm.

17 MR. KILGROE: And then it gets into a series of other
18 questions regarding compliance and enforcement activity, staff
19 turnover, willing and able to work with the FAA. I can't remember
20 the full series of questions, but I can obtain those out of the
21 tool for the record if needed.

22 CHAIR HOMENDY: That would be really helpful if you would not
23 mind. Thank you. And you said there are some that require
24 notice, doesn't always have to be notice. Before this accident,
25 how many per year would you do with no notice?

1 MR. KILGROE: I don't have -- I can't -- I don't have a
2 number. I couldn't say. I'd have to go back and look. But our
3 tool really doesn't have a way to capture if it was no notice.

4 CHAIR HOMENDY: Mm-hm.

5 MR. KNAUP: I think it's also important to understand, even
6 when we give notice to Boeing or Spirit, our notice is that we're
7 going to be in the Renton facility to do an audit this week. Not
8 we're going to be in flow day ten to look at you installing X, Y,
9 or Z.

10 CHAIR HOMENDY: Oh no, I understand. There's a sample
11 letter, actually, in your order which states what you're going to
12 be there for.

13 MR. KNAUP: Right.

14 CHAIR HOMENDY: The audit is scheduled for a certain day.
15 You'll -- you are going to do an audit of, say, if the supplier
16 complies with a purchase order or quality requirements. And then
17 it has in here who should be present for the audit, who you want
18 to talk to for the audit, so you can have an -- have that
19 scheduled and everybody there.

20 MR. KNAUP: Right. And just the complexity of the Boeing
21 facilities allows us to -- we say we're going to audit Renton
22 during this week. We don't specify specifically where in Renton,
23 so we might be in wings, or we might be in the final assembly, or
24 we might do preflight. Because of the complexity, there's very
25 little preplanning that can be done by Boeing to ensure they're

1 ready for where we're going to be. And the same thing can be said
2 for Spirit or any of the Boeing final assembly --

3 CHAIR HOMENDY: So would you say most of them are noticed?

4 MR. KNAUP: Most of them have that notice that we're going to
5 be there. The preplanning aspect is incredibly limited for Boeing
6 or Spirit to know we're coming and where we're going to look.

7 CHAIR HOMENDY: And when you do go and you, you state who
8 should be there, do you ever talk to people say on the factory
9 floor who you didn't say should be there?

10 MR. KNAUP: For sure.

11 CHAIR HOMENDY: You just walk up and talk to them, even if --

12 MR. JANGELIS: Yeah.

13 CHAIR HOMENDY: -- not planned.

14 MR. KNAUP: Correct. So the person that is -- we say should
15 be there is the person who goes and gets us, you know, these
16 supplement writing documents that we don't necessarily have access
17 to --

18 CHAIR HOMENDY: Mm-hm.

19 MR. KNAUP: -- or ensures we can pull IP planning, but our
20 ASI's can talk to anyone that's on the floor at any time when
21 they're doing an audit, and we do that.

22 CHAIR HOMENDY: And you do that.

23 MR. KNAUP: Yes. We do not just talk to the person that's
24 listed on the letter that needs to there.

25 CHAIR HOMENDY: Okay. I have further questions. But Member

1 Graham?

2 MEMBER GRAHAM: Thank you, Chair. I'm going to jump around
3 here a little bit, so hang on.

4 ASAP for manufacturing, talked about that. You got to tri-
5 party agreement, I assume that's like a typical MOU for an ASAP
6 program.

7 MR. KNAUP: Yes, but it is the first one that I'm aware of in
8 manufacturing.

9 MEMBER GRAHAM: Okay.

10 MR. KNAUP: But it's typical for what you would see in 121
11 operations.

12 MEMBER GRAHAM: Sure. Who sits on the event review
13 committee?

14 MR. KNAUP: There are two individuals from the FAA, two
15 individuals from Boeing, and two individuals from IAM.

16 MEMBER GRAHAM: Okay. So the IAM is represented.

17 MR. KNAUP: Correct. Yeah.

18 MEMBER GRAHAM: Is what you're saying now. Okay.

19 MR. KNAUP: Yes.

20 MEMBER GRAHAM: No, that's good to know. That's great.
21 That's who I'd expect to be there. Can you talk a little bit
22 about the specifics of how the FAA monitors Boeing's progress
23 while addressing a item of noncompliance?

24 MR. KNAUP: So in general, if we have an alleged
25 noncompliance that turns into a compliance action, Boeing is

1 provided a certain amount of time to present us with a BPSM that
2 we talked about, that includes all of their planned corrective
3 actions. And so our ASI's monitor their non-compliances and
4 compliance actions, ensuring that those BPSM's are provided to us
5 so we can review the corrective action.

6 MEMBER GRAHAM: Thank you. The FAA runs two programs, right,
7 a hotline and a whistleblower program. Correct?

8 MR. KNAUP: Yes.

9 MEMBER GRAHAM: How are those two different?

10 MR. KNAUP: I think it's where the, where the report comes
11 from. Like --

12 MEMBER GRAHAM: Can you give me a little bit of specifics
13 like how -- or is that complicated?

14 MR. KNAUP: I don't think it's that complicated. I just
15 don't know the answer, unfortunately.

16 MEMBER GRAHAM: Okay. Okay. That's fine.

17 MR. KNAUP: Yeah.

18 MEMBER GRAHAM: Could you get us that?

19 MR. KNAUP: We can get you that for sure.

20 MEMBER GRAHAM: That's perfectly fine.

21 MR. KNAUP: Yes.

22 MEMBER GRAHAM: Okay. I'm good with that. Let's see. I
23 think you testified that you don't believe that all the issues
24 from the voluntary disclosure reporting program are closed. Are
25 there any that are open that you could tell us about and give us

1 updates or no?

2 MR. KNAUP: I don't know enough specifics about any of the
3 open cases to give you --

4 MEMBER GRAHAM: Okay.

5 MR. KNAUP: -- specifics.

6 MS. MEYER: Fine.

7 MEMBER GRAHAM: Mr. Silva, you testified that there are
8 formal voluntary disclosure reports and informal voluntary
9 disclosure reports. Can you describe the difference between the
10 two?

11 MR. SILVA: Sure. At a high level, formal voluntary
12 disclosures in the back of our business process instruction, we
13 have a kind of guidelines that will give some criteria for
14 determining what would be formal versus informal. Typically
15 informal would be, for lack of better term, one off type scenarios
16 or situations. Nothing that indicates anything systemic.

17 And then the opposite than formal would be things that could
18 potentially become more systemic, or maybe found more than one
19 case.

20 MEMBER GRAHAM: Okay. Thank you. Nearly every witness has
21 agreed that Boeing safety culture needs improvement. Does the FAA
22 believe that it conducted effective oversight of Boeing prior to
23 the January 2024 door plug accident?

24 MR. KNAUP: Yeah. So I think we, the FAA, we believe we
25 conducted effective oversight of the Boeing Company. That safety

1 culture isn't a compliance thing. We, our job is to ensure
2 compliance to the regulations, and we continue to do that today.

3 MEMBER GRAHAM: Do you think it's better now, your oversight,
4 is it more effective?

5 MR. KNAUP: Yes, I do.

6 MEMBER GRAHAM: Does it need more?

7 MR. KNAUP: We are always learning on how to get better, so I
8 think we will continuously improve on our oversight of Boeing
9 moving forward.

10 MEMBER GRAHAM: When do you all have to start auditing the
11 compliance of the SMS for Boeing?

12 MR. KNAUP: It is, I think it's May of 2027 is the date that
13 it is required. The first step is Boeing submitting an
14 implementation plan. We'll be ready whenever Boeing's ready.

15 MEMBER GRAHAM: So your inspectors are going through training
16 now for SMS.

17 MR. KNAUP: Correct. Yes.

18 MEMBER GRAHAM: Very good. I think my final question here
19 will be for, actually for Boeing, for the IAM, and for the FAA.
20 Tomorrow. Mr. Kelly Ortberg will begin his first day as CEO of
21 Boeing. After two days and I don't know, 20 hours of testimony at
22 this hearing, what is the safety take away that you would like to
23 communicate to Boeing's new CEO. And I'll start with Mr. Silva.

24 MR. SILVA: I don't know that I had enough time to give all
25 the takeaways, but I would say I would certainly want to impress

1 upon our new CEO, and from the limited information I've seen
2 around this person's background, what we talked about in the last
3 panel, the importance of promoting and leading by example a strong
4 safety culture, to demonstrate trust, transparency, and treatment.

5 MEMBER GRAHAM: Very good.

6 Mr. Catlin, how about you?

7 MR. CATLIN: I think the one point that I would like to get
8 across to him is the point I made earlier. We are all in this
9 together, and we all need a seat at the table if we want to make
10 this work.

11 MEMBER GRAHAM: Great. Thank you.

12 FAA, would you have anything to say since you get to go audit
13 them all the time?

14 MR. KNAUP: I guess I'll add something. So I think it's
15 important that they ensure their people are empowered to find
16 compliance to the quality system, no matter what that means from a
17 schedule perspective. That they ensure safety, that their people
18 are empowered to do the right thing when no one's looking for
19 safety, and the right thing when a manager is looking for safety.
20 I think those are the things we would, we would want the CEO to
21 ensure that their folks are empowered to do.

22 MEMBER GRAHAM: Thank you all for your answers and thank you
23 for being witnesses. That's all I have in this section.

24 CHAIR HOMENDY: Thank you. Member Chapman.

25 MEMBER CHAPMAN: Thank you, Chair. I thought the questioning

1 from our team and also from the parties was very good. So I only
2 have just a couple of questions myself.

3 For the FAA, with the enhanced oversight, do you currently
4 have the personnel and resources, or do you feel comfortable that
5 you will be able to secure the personnel and resources to maintain
6 that enhanced oversight?

7 MR. KNAUP: Yeah, I think we -- I feel -- I don't think we
8 have them today, but we have the ability or authorization to get
9 the staff that we need to do the oversight we need.

10 MEMBER CHAPMAN: Thank you. The data we have, and please
11 correct me if I'm wrong in characterizing this data, but the data
12 that we have indicates that during a 12 month period from October
13 2022 to September 2023, through various audits, 68 at least
14 alleged non-compliances were identified for Boeing, and 27 for
15 Spirit. How does -- just sort of annualized and I don't need
16 precise numbers, but your sense annualized, how does that compare
17 on an annual basis with past years?

18 MR. KNAUP: I don't have exact numbers. I think it's
19 probably similar to previous years.

20 MEMBER CHAPMAN: You don't have a sense that there's -- that
21 it represents some sort of a surprising increase, for example.

22 MR. KNAUP: I don't believe it was an anomaly based on, you
23 know, a handful of years before.

24 MEMBER CHAPMAN: And again, just your sense of this. With
25 those sorts of numbers, what percentage or what number might be

1 relatively routine matters versus more serious matters that
2 require further investigation, or further action on the part of
3 FAA?

4 MR. KNAUP: Right. Yeah. There certainly are significant
5 you know, a variation in the severity of the findings that we have
6 and their effect on -- potential effect on safety. The majority
7 are of the less severe nature, and I will say we do have open
8 enforcement actions related to some of those findings that are
9 ongoing where we are continuing to either work with Boeing on
10 corrective actions for those findings or verify that the
11 corrective actions for those findings are implemented and
12 effective.

13 MEMBER CHAPMAN: Thank you very much. Thanks to our
14 witnesses. Thanks to our team, did a great job. And thanks to
15 all the parties and all of you out there who have put up with the
16 heat here today. Thanks.

17 CHAIR HOMENDY: Member Inman.

18 MEMBER INMAN: Thank you, Madam Chair.

19 Regarding, Brian on the left. Sorry. You were talking about
20 your organizational design, but you also have ODA. Is that
21 correct?

22 MR. KNAUP: Correct. We have oversight responsibility for
23 the Boeing, GE, and Pratt and Whitney ODA'S.

24 MEMBER INMAN: How many people is that total?

25 MR. KNAUP: How many people does --

1 MEMBER INMAN: Within that entire structure.

2 MR. KNAUP: So we have around 20 people assigned to oversight
3 of the Boeing ODA, less for the GE and Pratt and Whitney, they're
4 smaller ODA's.

5 MEMBER INMAN: How many people are in the ODA of Boeing?

6 MR. KNAUP: Oh.

7 MEMBER INMAN: That you're 20 are managing?

8 MR. KNAUP: Oh. Well, Boeing has a little over 1,000 unit
9 members, engineering and inspection unit members, along with other
10 regular -- regulatory administrative staff that are part of the
11 ODA unit.

12 MEMBER INMAN: Is that underneath your decision tree,
13 organizational chart?

14 MR. KNAUP: Correct. It is.

15 MEMBER INMAN: So that's at least -- we started with 50,
16 right? But that's -- you have responsibility over the 1,200,
17 1,500.

18 MR. KNAUP: Yeah, there's a lot of people that were
19 responsible for doing oversight of at Boeing, for sure, yes.

20 MEMBER INMAN: So just a couple of questions about that. I
21 guess in general. Are they -- are a lot of these covered under
22 PASS, the Union?

23 MR. KNAUP: Our inspectors?

24 MEMBER INMAN: Yes.

25 MR. KNAUP: Our ASIS are covered under PASS. Our engineers

1 are covered under NATCA from a union perspective within the FAA.

2 MEMBER INMAN: Okay. So there's been a lot of discussion
3 regarding that contract negotiation that's been ongoing and
4 specifically around telework, and the two day. FAA originally
5 tried to go to three day, or excuse me six days per pay period, so
6 it would have been three days per week.

7 MR. KNAUP: Sure.

8 MEMBER INMAN: And moved back from that saying they're trying
9 to get the right culture. And it appears just in the last day or
10 two, they come to an agreement on the two days per week. Can you
11 talk me through, you were talking about being in the -- on the
12 floor in the places. How does telework in this current
13 arrangement after COVID affect -- are your people in the office or
14 are they at home, are they walk in the floor? And these are just
15 your direct reports, not the thousand.

16 MR. KNAUP: Yeah, yeah. So the direct FAA employees that we
17 have doing audits are in the factory doing audits. So they don't
18 telework, you know, two days a week or four days of pay period,
19 they're in the factory doing audits.

20 MEMBER INMAN: So the telework policies are not a hindrance
21 to your activities right now.

22 MR. KNAUP: They are not. Our employees go where they need
23 to go when they need to go there. And it's not an issue that we
24 have had to deal with at all.

25 MEMBER INMAN: Does it make it hard for recruitment whenever

1 you say you actually have to come into a job site?

2 MR. KNAUP: I know we have not had an issue with the
3 recruitment. There are a lot of people that want to come and work
4 for the FAA to, you know, I think they believe in the mission that
5 we have.

6 MEMBER INMAN: Same way with the NTSB. Good. Okay. Let me
7 just clarify something in the resume portion. Earlier, whenever
8 we listed you in the program, it said Lakewood, California.

9 MR. KNAUP: For sure, yep.

10 MEMBER INMAN: That's where your residence, or your office
11 location is.

12 MR. KNAUP: Correct, yes.

13 MEMBER INMAN: And so do you typically commute to these
14 different offices in these different areas? How many, out of a
15 month period, can you give me a breakdown of where you're at or
16 what you're doing besides two days of hearings here.

17 MR. KNAUP: For sure. Yeah. So I traveled probably two
18 weeks out of the month. I've been to Seattle 11 times since the
19 beginning of the year for weeks at a time. So I am -- my job is
20 obviously I have oversight of a number of different production
21 approval holders. And so I work to be in all of the places as
22 much as I can.

23 I am stationed in California. It actually provides a
24 separation so I get a better perspective over all of that that I'm
25 doing, as opposed to if you're in Seattle, you know, I would, you

1 know, there's a potential that I would lose sight of Charleston or
2 Spirit. So being away occasionally actually is --

3 MEMBER INMAN: It's hard to have your kid on the same T-ball
4 league whenever you're trying to do enforcement.

5 MR. KNAUP: That's right. Yeah, that's right.

6 MEMBER INMAN: Okay, fair enough. Am I correct though, in
7 also reading the bio, you moved into this role of AIR-580 in July?

8 MR. KNAUP: Correct. I took this current position in July of
9 2023.

10 MEMBER INMAN: 2023?

11 MR. KNAUP: Correct.

12 MEMBER INMAN: Okay. It was left off about 2023. I didn't
13 know which year it was.

14 MR. KNAUP: Oh, sorry. Yeah.

15 MEMBER INMAN: Just making sure.

16 MR. KNAUP: Sorry 2023.

17 MEMBER INMAN: Okay. That's --

18 MR. KNAUP: Almost just over a year now.

19 MEMBER INMAN: Okay. So I'm just going to go back to a
20 quick, and I've touched on oxygen canisters a couple of times. I
21 know the flight attendants appreciate that I think, but did FAA,
22 did you get a Boeing alert that they had been receiving operator
23 pre-inspection, predelivery, or pre-revenue reports of these
24 issues?

25 MR. KNAUP: I believe, and I'm not the expert here, that came

1 in through the COSP, our continued operational safety process. I
2 am not an expert on this specific issue or, honestly, the COSP
3 process itself, so I do not know how that came in through our
4 system off the top of my head.

5 MEMBER INMAN: Is that a potential disconnect of what
6 operators are seeing before they bring them into revenue?

7 MR. KNAUP: We get a lot of in service feedback that supports
8 our COSP process. Boeing is required to provide that data to the
9 FAA and our COSP engineering staff review all of the in service
10 feedback that Boeing receives, and then we process it through our
11 process to ensure an AD is written as, you know, as needed.

12 MEMBER INMAN: Does COSP pass that off to the inspectors?

13 MR. KNAUP: Yes. So we sit in the normal FAA COSP boards, we
14 have folks in our branch that sit in those, and we identify issues
15 in COSP that could be from quality and then we will, if, you know,
16 if Boeing hasn't provided that info to us, we would go to them and
17 ask what's going on.

18 MEMBER INMAN: Okay. So Lloyd earlier had mentioned that he
19 doesn't believe you have the authority to do your job. Everyone's
20 got an opinion, that's fair. But the, you know, coming out of the
21 FAA Reauthorization Bill and the Aircraft Certification Bill,
22 which were enhancements in that regard, if you need it, what let's
23 say what else could you be given as an enforcement beyond what you
24 have right now that would get -- give you even better granularity
25 or appreciation besides arrest powers.

1 MR. KNAUP: We certainly don't want that. That's for other
2 organizations. I don't know. I was, I was very intimately
3 involved in how the FAA enacted a number of the acts or
4 requirements around the ODA in my previous role. I thought those
5 have -- I've seen those make a difference in how the FAA has, you
6 know, made progress with the ODA to ensure that we meet all of
7 those requirements. Off the top of my head, I can't think of
8 specific quality system legislation that would enhance our
9 ability. So I guess I wouldn't want to say something off the top
10 of my head.

11 MEMBER INMAN: Okay. Well, that that's interesting. It's
12 going to lead me to my next question. I'm going to preface it a
13 little bit because as we discussed earlier, I was at the
14 department during the Max crashes. And there was about two weeks
15 after the second crash, the Secretary of Transportation wanted a
16 briefing on certain items, and we asked two FAA people to come and
17 do some briefings. In fact, one of them in this room today.

18 But by them offering real and unvarnished information that
19 wasn't moved up through the FAA chain, one of those employees was
20 threatened with being fired a couple of times. Now they haven't
21 been, we're lucky. And I'm not saying that happened to you, but
22 who prepped you for today's hearing in the FAA organization, and
23 this is the Brian and Bryan. Who prepped you in this hearing, who
24 did you work with, the murder board, who gave you what your
25 talking points were?

1 MR. KNAUP: Yeah. I mean, I think the folks that are at our
2 witness table are the folks that prepped us for this hearing.

3 MEMBER INMAN: Anybody else in the FAA in management and
4 oversight?

5 MR. KNAUP: Yeah, I mean, so my boss, certainly, you know
6 helped with that. And there were other folks within AIR that
7 helped ensure, I guess, provided experience that have been on
8 this, you know, done this before.

9 MEMBER INMAN: Not their first rodeo.

10 MR. KNAUP: That's right, yes.

11 MEMBER INMAN: Okay. Well, being on the other side of that,
12 I guess and I'm not trying to put you in a tough situation, but
13 were there topics or areas which you were asked to diminish or to
14 stray or stay away from? I noticed earlier to Member Graham, you
15 said you didn't have any details about the -- currently the issues
16 that were recurring. I'm just using that as an example.

17 MR. KNAUP: Sure. No, I can -- no, I wasn't. I you know,
18 I'm here to give my -- what I know, you know, and the complete
19 facts that I have. That was -- that did not happen.

20 MEMBER INMAN: Bryan two, you're not off the hook.

21 MR. KILGROE: No, sir. I think if I said --

22 MEMBER INMAN: Who prepped you?

23 MR. KILGROE: The same group of people.

24 MEMBER INMAN: Okay.

25 MR. KILGROE: And if I was the one who said that, you know, I

1 just, I can't recall that off the top of my head. I'm -- I will
2 get you whatever you would like to know.

3 MEMBER INMAN: I think that sometimes leadership, depending
4 on whether it's political or career, oftentimes wants a certain
5 message out or doesn't want another message out. I'm trying to
6 inquire about it. But obviously, you have the opportunity with
7 our party representatives at some point, if you do have anything,
8 I would encourage you to have that conversation. Not saying that
9 there was any, but it's part of the normal process of prepping
10 witnesses for hearings and testimony.

11 Madam Chair, I think --

12 CHAIR HOMENDY: Thank you.

13 MEMBER INMAN: -- if I can just say thanks to the
14 investigative and Doctor -- he's looking away. Great line of
15 questioning today. Very informative for everyone. The entire
16 team did a wonderful job, but I learned some things today. So for
17 everybody, I know it's been a tough job. We appreciate all their
18 work.

19 CHAIR HOMENDY: Thank you. Although I'm not done yet.

20 MEMBER INMAN: All right.

21 CHAIR HOMENDY: So on -- I just want to pick up where I left
22 off on the process for audits. So I had a question in the
23 factual, it states our factual for manufacturing, it states should
24 noncompliance issues be documented by the audits, the FAA
25 exercised prosecutorial discretion when using compliance,

1 administrative, and legal enforcement actions to ensure that all
2 regulated entities conform their conduct to statutory and
3 regulatory requirements.

4 So you have noncompliance actions which I've seen listed for
5 Renton, ten alleged non-compliances for document control,
6 inspection, inspection and testing, manufacturing. My question
7 is, can you talk about what is a corrective action plan versus
8 enforcement, traditional enforcement?

9 MR. KILGROE: Yeah. So we start at the bottom. It could be
10 an informal corrective action, so we are walking through the
11 factory and maybe we found a piece of FOD on the floor, picked it
12 up, threw it away. To capture that, we do an informal. It was a
13 one off. If we continue walking through the factory and find FOD
14 everywhere we look, then we're going to go to a compliance action.

15 Now when we generate the compliance action, Boeing will do
16 their investigation, root cause, proposed solution, and then
17 implemented solutions, what they call their BPSM. They will
18 provide that corrective action plan to the ASI. The ASI will
19 conduct his review and then we have what we call a BPSM
20 clearinghouse that we get together once a week as a management
21 team, seniors, and also our engineers.

22 And we -- the ASI presents the BPSM to the group and makes a
23 recommendation, and if we concur, we advise, and if we don't, we
24 note why. And then it'll go back to Boeing for further work if
25 needed. If we accept it, then he sends a letter of acceptance of

1 their plan. Boeing will execute. When they have completed
2 executing the implementation plan, they will do their corrective
3 action, corrective action verification, and then we will go
4 conduct our corrective action verification. If that's all
5 satisfactory, it will close the case.

6 CHAIR HOMENDY: So there's some back and forth between the
7 two between -- I'm just trying to understand the process between
8 Boeing and FAA at that point.

9 MR. KILGROE: Yes.

10 CHAIR HOMENDY: Okay. And so how do you determine when,
11 okay, we're not going to do a corrective action. We're moving
12 towards a traditional enforcement. What's the decision making on
13 the, on the line there?

14 MR. KILGROE: That decision comes down to the severity and
15 repetitive nature of the findings.

16 CHAIR HOMENDY: And say prior to the accident, you know, on
17 an annual basis, how many corrective actions versus traditional
18 enforcement would you have?

19 MR. KNAUP: I'll answer that. So we have, currently we have
20 16 open enforcement actions with the Boeing company.

21 CHAIR HOMENDY: As a result of this, or something else?

22 MR. KNAUP: No, no. Complete, in totality today.

23 CHAIR HOMENDY: Okay.

24 MR. KNAUP: Eight of those are post-accident enforcement
25 actions, and eight of those are actions that encompass a timeframe

1 from 2020 till now of open cases. I would say that pre-accident,
2 we had on average four to six enforcement cases with Boeing.

3 CHAIR HOMENDY: Four to six in what time period?

4 MR. KNAUP: Each year.

5 CHAIR HOMENDY: Each year.

6 MR. KNAUP: Yes.

7 CHAIR HOMENDY: And then compliance -- or corrective action
8 plan?

9 MR. KNAUP: Compliance, well, so everything gets a corrective
10 action plan.

11 CHAIR HOMENDY: Okay.

12 MR. KNAUP: Even enforcement cases.

13 CHAIR HOMENDY: Okay.

14 MR. KNAUP: But compliance actions, a round number is 100.

15 CHAIR HOMENDY: Okay. And when you do enforcement and there
16 is a fine, is there a settlement process at some point between
17 Boeing and FAA?

18 MR. KNAUP: I think it depends on the enforcement action. We
19 work with our AGC counterparts. But yes, there are times where
20 there's a settlement as well.

21 CHAIR HOMENDY: Mm-hm. Okay. And are there standards for
22 that type of settlement?

23 MR. KNAUP: I believe there are, but that is beyond my
24 knowledge. So --

25 CHAIR HOMENDY: Appreciate it.

1 MR. KNAUP: I certainly could get that answer for you.

2 CHAIR HOMENDY: And no, I appreciate that.

3 MR. KNAUP: Yep.

4 CHAIR HOMENDY: Okay. I think I'm going to end my questions.
5 Do you have further questions, do you? Oh, we got four minutes.
6 But I want to see if the technical panel has any follow up
7 questions to our questions.

8 MR. CRUZ: We do not, ma'am.

9 CHAIR HOMENDY: Are you sure? I saw a little discussion down
10 here.

11 MR. CRUZ: No, we don't. We don't.

12 CHAIR HOMENDY: Okay. All right. Do you have any -- a bit
13 of administrative discussion you want to have?

14 MR. BRAZY: I do when we get to the adding exhibits or not.

15 CHAIR HOMENDY: Okay.

16 MR. BRAZY: Right after that, I'd like to have 60 seconds,
17 please.

18 CHAIR HOMENDY: Okay. Great. Well -- and the parties are
19 okay with no more questions from the parties, all right. So that
20 concludes our last panel for the investigative hearing. And so
21 again on behalf of my fellow board members, we greatly thank the
22 witnesses. I want to thank all the parties, and certainly I want
23 to thank the investigative team who did an excellent job. It's
24 certainly a lot of work for everyone in preparing for
25 investigative hearings.

1 This information is crucial for conducting our investigation.
2 It provides us facts that we need to help then move into, at some
3 point, analysis phase. Although we may have additional fact
4 gathering. But I want to thank you, and certainly I want to thank
5 my fellow board members and the staff for all their work in
6 preparing for this. And for the massive amounts of ice and
7 chocolate that Member Inman provided throughout the course of the
8 last two days.

9 As a reminder, your -- each of the parties to the
10 investigation have signed a party agreement that lays out the
11 rules of conduct, which remains in effect throughout the
12 investigation. So appreciate your continued cooperation on that.
13 And now I will turn it over to Mr. Johnson to talk about exhibits.

14 All right. According to Mr. Johnson, we have three exhibits.
15 This would require glasses. The 2015 Boeing FAA settlement
16 agreement, the 2015 settlement agreement deferred penalties, and
17 Boeings policy on lateral transfers. Any objections to those?
18 No. Okay. So those will be added to the exhibits.

19 The record, of course, will remain open for additional
20 materials that were requested during the hearing, and the
21 transcript will be made available to the parties and witnesses
22 electronically within seven days. Any corrections to the
23 transcript must be sent to the hearing officer by September 6th.

24 Mr. Brazy.

25 MR. BRAZY: Thank you, Madam Chair. In addition to the

1 exhibits that were just added to the docket, we also had a number
2 of requests for clarifications or answers on questions today that
3 were promised. There were some from Member Inman during panel
4 three to Boeing, Spirit, and the FAA. There were some from Chair
5 Homendy on panel four to Boeing with regard to ASI audits and
6 inspections.

7 Member Graham asked for Mr. Knaup to provide some follow up
8 information about what's a hotline versus a whistleblower. And I
9 think that's a high level summary. Does anyone have any other
10 recollections besides those?

11 CHAIR HOMENDY: The FAA was going to get me the questions
12 that lead into their risk assessment.

13 MR. BRAZY: Jon remembers that one as well. When we get
14 those answers, we will of course add those to the docket. The
15 other item that I wanted to mention was a question, a common
16 question that came up during the breaks to me from many of the
17 folks in the room. And that was what if I have questions after
18 the hearing or what if I have questions for topics that were not
19 covered in the hearing. And I know that we mentioned at length on
20 both -- opening of both mornings, the opportunity to provide
21 submissions. Obviously, those still count.

22 However, the investigation is still ongoing, and we have not
23 done our technical review yet. So the point during an accident
24 investigation where we make sure that there's no further facts to
25 gather is at that technical review. We'd like to have that

1 information before that day, which hasn't been scheduled yet, if
2 we can. So the way to route those questions or requests for
3 information are through your party coordinator who will
4 communicate with the accident investigation group, onto which they
5 were assigned.

6 I can't give you a due date yet. When we announce the public
7 hearing, that's the date after which we will not gather anymore
8 facts. Technical review, excuse me. But we'd like to have them
9 beforehand so we can get ready for that meeting, and we'll discuss
10 that with you. So the route to ask questions that come up after
11 the hearing or happen to be on topics not covered by the hearing,
12 or through your party coordinator prior to technical review. Is
13 that clear? Thank you.

14 CHAIR HOMENDY: Thank you. In addition to -- oh, go.

15 MR. BRAZY: I'm sorry. Heather was raising her hand. I
16 didn't see.

17 MS. MEYER: Yeah, sorry. I just had one other question,
18 Madam Chair. Was Member Brown, did he have some additional
19 questions that some of us were going to have to answer or no?

20 CHAIR HOMENDY: Possibly.

21 MS. MEYER: Okay.

22 CHAIR HOMENDY: We will find out more. So go ahead and
23 expect some, but his special assistant is going to work that
24 through the Mr. Brazy.

25 MS. MEYER: Okay.

1 CHAIR HOMENDY: And communicate with each of you.

2 MS. MEYER: All right, perfect. Thank you.

3 CHAIR HOMENDY: Okay. Thank you very much for that reminder.
4 All right. Again, I want to extend our gratitude to everyone
5 here, but also to Mr. Brazy, our hearing officer, John Lovell, our
6 investigator in charge for this investigation, and all the staff.
7 But I also want to once again thank -- this is a team, a team
8 effort. The office of the Chief Financial Officer, the Office of
9 Chief Information Officer, General Counsel, Managing Director,
10 Aviation Safety, of course, Research and Engineering, Safety
11 Recommendations and Communications.

12 I'd also specifically like to thank Deidre Estes, James
13 Anderson, Brett Johnson, Eric Grosoff (ph.), Jake Marshall,
14 Rochelle McAllister, Carl Perkins, Chris Blumberg, Miriam Vaughan
15 (ph.), certainly Darlene Hatchet (ph.), Brian Curtis, and Dana
16 Schultz, all of which ran around today trying to figure out how to
17 deal with our heat situation. There is -- we will be opening an
18 investigation into that matter as confirmed on Twitter.

19 So okay. Thank you very much. Thank you. Appreciate all
20 your time, all your efforts. We stand adjourned.

21 (Whereupon, the hearing in the above-entitled matter was
22 concluded.)

23

24

25

CERTIFICATE

This is to certify that the attached proceeding before the
NATIONAL TRANSPORTATION SAFETY BOARD


IN THE MATTER OF: ALASKA AIRLINES BOEING 737-9 MAX
LEFT MID-EXIT DOOR PLUG SEPARATION
NEAR PORTLAND, OREGON
ON JANUARY 5, 2024

ACCIDENT NO.: DCA24MA063

PLACE: Washington, D.C.

DATE: August 7, 2024

was held according to the record, and that this is the original,
complete, true and accurate transcript which has been transcribed
to the best of my skill and ability.



Andrew Hirsch
Transcriber