



NATIONAL TRANSPORTATION SAFETY BOARD
Investigative Hearing

Norfolk Southern Railway general merchandise freight train 32N
derailment with subsequent hazardous material release and fires,
in East Palestine, Ohio, on February 3, 2023

GROUP	G
EXHIBIT	
2	

Agency / Organization

NTSB

Title

**Interview Transcript – Scott Deutsch
Northern Regional Manager,
Hazardous Materials, Norfolk
Southern Railway, February 8, 2023**

UNITED STATES OF AMERICA

NATIONAL TRANSPORTATION SAFETY BOARD

* * * * *

Investigation of:

*
*
*
*
*
*

NORFOLK SOUTHERN TRAIN DERAILMENT
IN EAST PALESTINE, OHIO
ON FEBRUARY 3, 2023

Accident No.: RRD23MR005

* * * * *

Interview of: SCOTT DEUTSCH,
Northern Regional Manager Hazardous Materials
Norfolk Southern

Youngstown, Ohio

Wednesday,
February 8, 2023

APPEARANCES:

MARC DOUGHERTY, Investigator
National Transportation Safety Board

SEAN LYNUM, Chief of Pipeline and Hazardous Materials
National Transportation Safety Board

DAVE MECKFESSEL, Accident Investigator
Pipeline and Hazardous Materials Safety Administration

PAUL STANCIL, Investigator
National Transportation Safety Board

I N D E X

<u>ITEM</u>	<u>PAGE</u>
Interview of Scott Deutsch:	
By Mr. Dougherty	5
By Mr. Stancil	18
By Mr. Lynum	32
By Mr. Dougherty	36
By Mr. Stancil	36
By Mr. Lynum	38
By Mr. Stancil	39

I N T E R V I E W

(8:04 a.m.)

1
2
3 MR. DOUGHERTY: Good morning. Today is February 8th, 2023.
4 The time is 8:04 a.m. This interview is being conducted in
5 connection with the Norfolk Southern Railway train derailment in
6 East Palestine, Ohio, on February 3rd, 2023. The NTSB number is
7 RRD23MR005. My name is Marc Dougherty. I'm a hazardous materials
8 accident investigator with the NTSB. We are located at the
9 Doubletree Hotel in Youngstown, Ohio. This is an interview of
10 Mr. Scott Deutsch of Norfolk Southern Railway.

11 And I'll now go around the room and we'll do introductions.
12 It's very important for the recording that we all speak loudly and
13 clearly. All right.

14 MR. LYNUM: My name is Sean Lynam. I am the chief of the
15 Pipeline and Hazardous Materials Division of the National
16 Transportation Safety Board.

17 MR. MECKFESSEL: My name is Dwight Meckfessel. I'm an
18 accident investigator for the Pipeline and Hazardous Materials
19 Safety Administration.

20 MR. DOUGHERTY: Could you spell your last name, please,
21 Dwight?

22 MR. MECKFESSEL: My last name is spelled M-e-c-k-f as in
23 Frank-e-s-s-e-l.

24 MR. STANCIL: My name Paul Stancil, S-t-a-n-c-i-l. I'm a
25 senior hazardous materials accident investigator with the National

1 Transportation Safety Board.

2 MR. DEUTSCH: I'm Scott Deutsch, Norfolk Southern Railroad
3 northern regional manager hazardous materials.

4 MR. DOUGHERTY: And could you spell your last name, please?

5 MR. DEUTSCH: Deutsch, D-e-u-t-s-c-h.

6 MR. DOUGHERTY: Very good. All right. Mr. Deutsch, if any
7 question is unclear or if you don't understand a question, please
8 ask the questioner to clarify or restate the question. If you
9 don't know the answer to any of the questions, it's okay to tell
10 us you don't know. We don't want you to speculate if you don't
11 know the answer to a question.

12 The sole purpose of this investigation is to improve safety,
13 not to assign fault, blame or liability. Our sole mission is to
14 improve transportation safety and prevent accidents. As such, the
15 NTSB cannot offer any guarantee of confidentiality, immunity from
16 any legal proceedings by any other agency, whether it's state,
17 local, or federal.

18 A transcript of the interview will be placed in the public
19 docket for the investigation which will be available via the NTSB
20 website.

21 INTERVIEW OF SCOTT DEUTSCH

22 BY MR. DOUGHERTY:

23 Q. So just to start off, if you could tell us a little bit about
24 your background and education and expertise?

25 A. I've been in public safety for 40 years. I've been a fire

1 chief. I've been a county assistant chief, in Allegheny County.
2 I worked in the chemical industry for 22 years in various
3 positions from a union guy to a shift supervisor. Going over to
4 management side, I was in maintenance and then I laterally moved
5 to EHS, and then I was a plant fire chief at a chemical plant for
6 Eastman Chemical along with some health and safety duties, things
7 like that. From there I went into the private -- I left the
8 chemical industry. I was in a college area for a while and I did
9 EHS stuff for them. And then I looked for other positions, you
10 know, better pay, all that stuff, and I went to the county, became
11 an assistant chief of the county, Allegheny, where Pittsburgh is.
12 And then from there, I went to the railroad.

13 Q. Okay. Perfect. And what positions have you held?

14 A. And I have a bachelor's degree in criminal justice.

15 Q. And so what positions have you held with Norfolk Southern?

16 A. The one I have a right now. I got hired in as the northern
17 regional manager.

18 Q. Northern region manager.

19 A. Um-hum.

20 Q. Okay. And how long have you been in that current position?

21 A. This will be -- this is going on my eighth year.

22 Q. And so what are your current duties in this position?

23 A. We handle FRA violations. We do yard inspections of the
24 cars. We teach and train first responders. We have a safety
25 train; we go around and do that. The community we were just in,

1 we had a tabletop exercise on a derailment in October, Columbiana
2 County. So we did that. Anything that government relations wants
3 us to do as far as training or we have the safety train, we
4 take -- it could be any local politicians or the news media around
5 to see the safety train, show them what we train first responders
6 on.

7 Q. Okay. And who do you currently report to?

8 A. Robert Wood.

9 Q. Okay. So to start off, if you could give us your detailed
10 account of the accident from the time that you were notified up --
11 including through the event burn process up until today. I know
12 it's a lot. To your best recollection.

13 A. Okay. I received a call -- I don't remember the times for
14 none of this. I'll just go in the order that I can remember right
15 now. I received a call from my boss that there was a derailment.
16 The center calls him, he's notified. I was notified -- at the
17 same time, I was notified by I believe Fabian Lowe (ph.) on
18 mechanical or the one above him, I don't remember which one. But
19 mechanical called me too and told me there was a derailment in
20 Columbiana County and the milepost.

21 I started getting ready for that after I talked to my boss
22 and he told me that there was a derailment and there was reports
23 there were fires. Right after that, I called our first
24 contractor, which is SPSI. I knew they have all the fire
25 capability and the tank car specialists and everything. So they

1 were called first.

2 I proceeded down to my vehicle to start heading in that
3 direction. I called two additional contractors to stage outside
4 the area for assistance, and that was EnviroServe and Hepaco. The
5 exact times when I called them and driving there, I don't
6 remember. While I was en route, they said -- I said get me a
7 consist; they got a consist. I don't remember where it came from.
8 That was sent to me.

9 I got another phone call that said we're trying to find out
10 where the derailment starts. That's one of the first things we
11 hear, it's starts in line 25 to 52 or whatever it might be. So
12 they were given that information. They were working on that.
13 Then they told me some of the cars that were actually in the
14 hazard, that were in that line, I believe, which was the vinyl
15 chloride cars, ISO cars. So I knew they were in there, and some
16 lube oil cars, and exact order of where it was. And when I got
17 that, I don't remember, but I was still en route driving because
18 it's about an hour and 25 minutes or more from my house to there.

19 While I was en route I got called by the emergency management
20 coordinator for Columbiana County asking if they should evacuate.
21 I said, what are you seeing? They said there's big fires
22 everywhere. And I knew about the vinyl chloride and the other
23 cars and they -- I think they had a car number or a placard for
24 something because I think she mentioned the vinyl chloride cars
25 and what should they do. And I -- we're not allowed to call an

1 evacuation. You know, we may give guidance. So I told her look
2 at the ERG, what does it say for a tank car on fire? And they
3 said 1 mile. And I said, so that's your guidance, but I can't say
4 go do it, you know. So they said okay and then they hung up.

5 So then a fire chief must have got in contact with her. They
6 called me back and the fire chief -- they said the fire chief
7 wants to know what to do. I said, let me give you a number and
8 I'll give you somebody to guide you through that so that I can
9 continue to drive there, and my phone's ringing with other things,
10 like the contractors, we got this, we got that, we're heading
11 there, all that. So I gave them Robert's number and then I called
12 Robert and said the fire chief's going to call you and give them
13 guidance on, you know, what to do.

14 The next thing, I was on scene. I saw fire probably for the
15 length of the train, like probably 300 yards from my position
16 where I came in. The fire department was everywhere. That's the
17 video I have, will show you the fire department there and the
18 amount of fire and locations. They had dump tanks set up in that
19 hour and a half or so it took me to get there. They had dump
20 tanks set up. They were pumping out of those dump tanks to all
21 the hose lines. I think they had at least four aerial trucks up.
22 And it was, you know, like 7 degrees that night and they were
23 spraying water on the cars and -- and I don't know exactly where
24 they were spraying water, but I saw the position of some of the
25 cars, how they were stacked up all up against each other, and I

1 started going around and telling them you shouldn't be here, you
2 need to get out of this area. And right prior to that, my
3 contractor, Drew, from SPSI arrived and we started walking from
4 the one end where we pulled in, from that gas station, staying
5 back but getting down in there a little bit further like kind of
6 where some of the fire trucks were parked. And we walked that
7 length all the way down to just this side of that blue building
8 before you get to Pleasant Street, Pleasant Crossing, and we saw
9 fire all along there. And we had the discussion we need to get
10 them out of there and that's what we started doing.

11 So we ran into little issues with that, where we would tell
12 this fire chief and he would say that that truck's from another
13 town, you have to find their fire chief. So then eventually I
14 think I called Peggy, I'm not sure, or tracked down who the
15 incident commander on the scene was and said you got to get
16 everybody out of there. So we continued to tell people as we
17 went -- headed back towards our vehicles, back up that area, and
18 start planning out the operation.

19 And I told them just to disconnect their hoses and get out of
20 there. And I explained to -- they had a guy, guys up in an aerial
21 basket. I explained to them if that car vents, you can't get out
22 of that aerial basket and you're too close. And they finally
23 listened and they started putting everything down and getting
24 their trucks out of there. They left all -- you know, they left
25 the hose. I told them just disconnect the hose and go. So that's

1 how we got all of them out of there.

2 That's the initial, now start getting blurry because now it's
3 all going to run together. But we started to try to figure out
4 what was burning, like which cars, you know, that you could still
5 report marks off and things like that. Drew did a lot of that
6 work. Yeah, I can't remember, so many hours, so many days, but --

7 Q. Take your time.

8 A. Yeah, I'm trying to think what was next. I think, I still
9 think we were sizing up the cars for a while to see what was
10 actually burning, you know, and then we had the consist and was
11 looking at that. I remember going to -- was it the fire station?
12 I don't remember what day. So now, you know, I'm having a hard
13 time with that. Then we started going, when other people started
14 arriving, getting into the whole incident command system and going
15 to the command post once we got everybody out of there, and just
16 started working the problem. The rest of that's blurry.

17 The next thing I can remember is we started focusing on the
18 vinyl fluoride cars and watching them vent, but at this time I
19 can't tell you what time or nothing like that. You know, we saw
20 the cars that were all stacked up, some of those cars venting and
21 burning in there. And then, like I said, I watched that for
22 several hours. So I don't know when the days changed, you know.
23 I just remember they went up to check the one day and, you know,
24 they were venting off. And then I went up and I timed it one
25 other day and it was every 2 minutes. So it would vent for 2

1 minutes and shut off for 2 minutes. It would shut completely off
2 like you shut a valve off and it would just stop. And then I sat
3 there and watched the clock. Two minutes went by, it did it
4 again. So it did that for several hours or less on that day. And
5 then that's when the car just -- that particular car just shut off
6 and it didn't vent anymore. And I believe that was the car that
7 we had started planning going in to do better assessment in that
8 hot zone, and that thing didn't vent for 3 hours, I think it was,
9 and then I think around 5:30 or something, maybe a little bit
10 later, they went in there and it vented, when it sat there all
11 that time. So they knew -- they were pretty sure they thought
12 that car was polymerized.

13 Then all the -- you know, after that, that started all the
14 discussions on what we're going to do, let's look at different
15 steps or boxes that we have. And obviously, like we said, at
16 the -- well, their command post meeting, the last one is the vent
17 and burn option. We try to look at the other ones, evaluate the
18 other ones first. But then you had less and less venting out of
19 the cars. That started to make it, you know, is it getting better
20 from the big fires -- did it consume all the material or did it
21 just blow out the -- you know, plug up the relief valve? So that
22 was the thinking, that we had to start worrying about that. And
23 somewhere in there, one of the cars did -- we cleared it, took out
24 all the overheads and everything, and it relieved and it vented
25 continuously, one of them. But I don't remember offhand because I

1 had multiple things to do. There was other people watching that
2 stuff.

3 And then I had to get into the whole command post thing. We
4 got thrown into the press release stuff, and then I was more away
5 from operations then. And then I was in the meetings with the
6 community at their municipal building, and we started explaining
7 to their top people the potential to have to vent and burn and how
8 important it was that no one was in the evacuation zone. Because
9 we had people driving up to us, cars are venting, getting out
10 and -- they were getting around the roadblocks. So then all of
11 that, when the National Guard came, then that all increased the
12 roadblocks, and more state police came and kept that all blocked
13 off. That was pretty important because people were getting in
14 there to take pictures and stuff.

15 We had that meeting, we explained what we think we're going
16 to have to do and that we'd gather more information and be back,
17 but we wanted them to know that and we explained the process to
18 them. Exact order of that and what day, I don't remember. It was
19 in the evening around when I switch shifts, so it's near 7 o'clock
20 probably, somewhere around there, maybe. They had a meeting right
21 prior to us and then we had that meeting.

22 And then we flew the guys in -- or I think they were already
23 there that do all that, from Louisiana. So --

24 Q. Okay. Well, I appreciate that.

25 A. I'm sorry I don't have detailed information. If we had a

1 much smaller derailment, I could tell you probably every hour what
2 I did, but --

3 Q. Perfectly understandable.

4 A. -- several days and this many hours, it kind of goes
5 together, you know, but --

6 Q. That's understandable. So just a couple follow-up questions
7 from me and then I think we'll go around the table and everyone
8 will get a chance to ask some follow-up questions, if you'd answer
9 them to the best of your knowledge.

10 A. Okay.

11 Q. So one of my first questions regarding the first responders,
12 are you able to give a timeline when the first responders were
13 given the hazardous materials information, what was contained on
14 the train?

15 A. From -- you mean like when they got the consist?

16 Q. Correct.

17 A. Oh, I don't -- can I look for something?

18 Q. Sure. Take your time.

19 MR. STANCIL: Yeah, take your time.

20 MR. DEUTSCH: I don't -- I'm trying to see if I -- if they
21 sent me it and I sent it to Peggy, the emergency management
22 coordinator, or if Atlanta did.

23 BY MR. DOUGHERTY:

24 Q. Okay.

25 A. I mean, both might have occurred, but I thought I sent her

1 the consist Friday night.

2 I sent it to her Friday night. My boss sent it to me. Let
3 me see if it -- I sent it at 9:56.

4 Q. And who was that sent to?

5 A. Main line derailment line fire with this train. It was sent
6 to Peggy Clark, Columbiana County EMA, and there is a consist
7 attachment.

8 Q. And so do you know NS policy for the crew paperwork, what the
9 procedure is during a derailment for the crew to communicate or
10 get the paperwork to the first responders?

11 A. Yeah. The crews that still have paper paperwork will, upon
12 request, show or give it to the -- they can't release it, I
13 believe, because the FRA has to have the original paperwork. So
14 they can let them make a copy, they can show it to them, go
15 through it with them. With the fire, though, one of their
16 procedures, they normally disconnect from the train and go to the
17 next crossing or get to what they call a safe area and then a
18 first responder would have to go down there till -- to use it.
19 But we also have the AskRail app that has that consist all in it.
20 If they get one car number on that train, like even way back at
21 the safe end, they got that, they would have the whole consist if
22 they hit "Train" on that app, if they have that app.

23 I don't know 100 percent if the electronic consist that they
24 use the phone on is up here yet because it was being tested in the
25 south and some other places, and I don't know if it made it up

1 here. If they had that version, and at the request, they can
2 email it to them just like I emailed it to Peggy. That's new
3 though, and I don't believe that's systemwide yet.

4 Q. Okay. So per NS policy, does the crew, if feasible, have the
5 obligation to take that paperwork or communicate with the first
6 responders, if able, of the hazardous materials that are on the
7 train?

8 A. I don't believe they leave the train. They don't have the
9 ability to do that.

10 Q. Okay.

11 A. They're going to stay at their locomotive and then if they
12 came up to them, they give it to them.

13 Q. Okay.

14 A. Yeah.

15 Q. Thank you. And another question. So you had mentioned part
16 of your duties is to train first responders, do tabletop
17 exercises. Do you know if Norfolk Southern has worked with East
18 Palestine Fire Department and the volunteer fire departments in
19 this area for any training, tabletop exercises, and, if so, do you
20 know round about when the last one was?

21 A. Yes. The last one was in October. It was in their area of
22 the county and we split the county with Peggy. We did the other
23 half of the county, near Salem, Ohio -- it was held in Salem,
24 Ohio. And this one was held -- let me look at which town, but we
25 did that other part of the county. And several of the firemen

1 that were there for East Palestine were in the tabletop. I
2 remember them. I don't have their sign-in sheet right now, but I
3 can give you the date. I want to see if it's -- there we go.
4 October 27th, CAI tabletop Ohio.

5 Q. 2022. And so what do you typically do during those tabletop
6 exercises?

7 A. It's a consultant comes out of Florida, CAI Consulting. They
8 have a program put together that has screens around the room.
9 Those screens start off with a call that looks like a dispatcher
10 call from a derailment. It says train such and such, such
11 derailed. We have it usually set up to have a gas -- maybe a gas,
12 an acid, and a fire of some type. Not a fire this big, but
13 usually just maybe a fire around a manway or something to make
14 them think through dealing with, you know, a gas or liquid fire
15 and an acidic -- acid in different parts of the train. They throw
16 in injects and it's all on a screen. They tell them what the
17 weather is, they tell them -- maybe a power line came down or
18 different things like that. And the main thing is them to work
19 the problem and get used to the incident command system.

20 A lot of places, they're used to a house fire, one person
21 stands outside and they command the whole thing. And what we
22 stress is a derailment could be, you know, a quarter mile long,
23 several hundred yards long, and you have different things going,
24 you can't stand in one place, you're not going to be able to
25 operate it that way. So we go through all that. We teach them

1 how to have the incident command table. They get trained on a PIO
2 part of it for like the county person that's the PIO, they get to
3 work with that. Some of them we may have somebody from the
4 railroad call in and work with them like a simulated from our
5 corporate comm. We have them figure out the problem, research
6 chemicals, all of that.

7 MR. DOUGHERTY: All right. Thank you.

8 We'll go around the table and any follow-up questions.

9 BY MR. STANCIL:

10 Q. Okay. This is Paul Stancil again. Mr. Deutsch, you
11 mentioned that you were contacting a couple of organizations, SPSI
12 and Hepaco. Could you describe what functions they provide for
13 Norfolk Southern?

14 A. Yes. SPI [sic] can provide just about anything you need.
15 They're one of the few contractors in the country that work for
16 CHLOREP and work for the different manufacturers of acid to be
17 able to respond to that type of incident. Not all contractors can
18 do that. The two that were here, ended up being here was SRS --
19 they're the other one. They're really the only two in the country
20 for fluorine tank cars, for the most part. And they have --
21 they're the high hazard chemical people, for the most part. He
22 also has all the other equipment that I might need. He has --
23 that company has boats, heavy equipment of any kind, all kind of
24 vac trucks, pull-behind vac trailers. So if I deploy them, I can
25 send them anywhere along the derailment and they have the

1 equipment to do it. Some other ones have smaller amounts of that
2 equipment. So his job was going to be the train and the fire.

3 And I assigned the other two to do runoff and go check
4 anything around the tracks, get any kind of runoff stopped and all
5 of that. That's what their function is. And I believe to this
6 day, that's what they did throughout the incident, was work on the
7 contamination that went to the stream. That's what the Hepaco and
8 EnviroServe, the initial ones I called.

9 Once we were here a couple days, then we called Lewis
10 Environmental and backfilled with some additional vac trucks for
11 things that we might have to do, just to work in different places
12 as that stream went further.

13 Q. Was there some sort of accounting for how much equipment they
14 brought initially to the scene, people, resources, equipment? Can
15 you talk about that?

16 A. They would have all of that. We just -- since it's a fire,
17 our foam trailer that's stored there, they pull it for us. And we
18 wanted to get -- it's fluorine-free foam. We wanted to get that
19 there because we didn't want the fire department to use theirs
20 because it probably isn't. And so we have -- they brought, I
21 believe, their foam trailer right away, manpower to operate that,
22 and I believe I requested an engine and telesquirt out of the
23 station. And he came -- he comes out first from their base and
24 then he's assigning other people to bring different equipment for
25 the fire aspect of it. I believe that equipment all came first

1 from there. And then his command trailer came and heavy equipment
2 and other things after that.

3 Q. So after they do a size-up, they ramp up as required; is that
4 essentially --

5 A. No. So we kind of do like a fire department run if I hear
6 there's a fire, this, this and this is out like on the alarm.
7 Okay? So when I call them and I say I got a fire, I want the
8 foam -- I'm going to need foam, I want the engine, I want the
9 aerial truck, you know, and all that comes first. And then -- and
10 a response trailer that has, you know, pads and Pigs and drums to
11 clean up stuff, one of them usually comes also. So as his guys
12 pulled into his place, they start pulling them out in that order
13 to get to the scene.

14 Q. Okay. So how do they coordinate with the local firefighters
15 here, the local first responders?

16 A. It's usually I would coordinate with them and then if we --
17 say we needed additional engines to help our operation, we try to
18 work with the local fire departments as much as we can for things.
19 But there's sometimes we don't want them in certain high hazard
20 areas where we'll put our people in there, you know, to protect
21 community assets and people, and we'll use our assets. But then
22 we might use them down the road at a dump tank or lake and pump
23 water. And usually that's coordinated with one of our hazmat
24 managers, to work with them out of the incident command system.

25 Q. Okay. So what actually happened here with -- you mentioned

1 there was a problem with firefighters being down range and you
2 asked them to pull back. What was going on there?

3 A. They got the call the moment the train derailed, there was a
4 fire, so they responded like they would normally respond. So they
5 laid in -- they knew they had bad water pressure over in that part
6 of town so they set up the dump tank and they went and attacked
7 the fire.

8 Q. And why was that not good?

9 A. Well, it's not good up where the tank cars were. They had a
10 ditch fire down at the one end and they put that out; that was
11 good, down by Pleasant. One of the guys I talked to a couple days
12 later, they said that ditch was on fire and they put that out.
13 And but up at the other end where the tank cars, you don't know
14 where the relief valves are orientated. So if they go up in an
15 aerial truck -- which I'll show you that picture, the cars are all
16 piled up here; the cars are like this. On that angle, you know,
17 like towards, I will say 9 o'clock or 3 o'clock, based on where
18 it's at, if that pool fire and all that's under there heats up the
19 material and pops that relief valve, it'll spray that up there --
20 it'll spray material out first, right? And then it's going to
21 light off from the heat of the fire and they're going to be in the
22 aerial truck.

23 Q. Were any of those situations covered in the training that
24 they would've had with --

25 A. I don't, I don't remember that exact thing, if it was

1 covered. The training, we always talk about the relief valves and
2 worrying about relief valves and don't spray them with water and
3 freeze them up and, you know, like on LPG cars and things like
4 that. We do discuss that in our train training.

5 Q. Did you observe them doing anything that was contrary to the
6 training that they were provided?

7 A. No. Just the situation with the cars and the way they were,
8 we needed to get them out of that area. They were doing
9 everything correct as far as how they established a water supply
10 and they were -- you know, there was a big, long ditch fire, which
11 you'll see in that video. And, you know, they saw that and that's
12 what they were putting out. They had a couple of pallet cars.
13 One pallet car, I seen the one aerial truck spraying water on
14 because it was -- you know, fire was rolling out of that, so they
15 were focused on that.

16 I don't remember for sure the cars that were piled up, what
17 they were spraying there or if they were just trying to protect
18 the building with the water spray. I don't remember for sure
19 right now, but --

20 Q. Okay. And what agencies were on scene when you got here?

21 A. That whole half of Ohio. I don't, I don't know. I don't
22 know. I only remember one aerial truck, that ladder truck that
23 said Salem on the side I walked by. I don't remember what -- all
24 the towns the other ones were.

25 Q. So it's safe to -- it was a mutual aid response?

1 A. Yes. Yes. Yeah, yeah.

2 Q. Okay.

3 A. I think they have like a tanker task force they had put
4 together that responds for all the dump tanks and there was a lot
5 of tankers lined up on the road when I was driving around them to
6 get in there to go to those dump tanks. I don't know what
7 communities though.

8 Q. And again, what time did you arrive on scene?

9 A. I don't know. The best would be -- the video I took, the
10 time on it says 11:45, but I was already walking there, doing
11 things, and then took that video so that I'd have documentation on
12 the length of the fire.

13 Q. Were you the first Norfolk Southern official on scene or were
14 there others?

15 A. I believe there -- I was the first hazmat one. I believe
16 there was other people on scene before me, but I don't know for
17 sure who that is.

18 Q. Okay.

19 A. There are ones that live closer than I do, that live, you
20 know, by the airport. The one DMMO, I believe he might -- he was
21 on scene -- yeah, he was on scene before me and he was working
22 with the incident commander already, and I think I sent that to
23 Peggy and I think he got the consist out of Atlanta possibly at
24 the scene. Because I -- I don't have it on my phone, I don't
25 think, anymore. I had so many calls I deleted it by now.

1 I just saw a fax with his name. He was there I believe
2 working with incident command and doing things, but I can't
3 remember if he was at the fire station when I got there or if he
4 was up on the scene with the -- he was up on the scene in this
5 little trailer they had -- not a command trailer, it was just a
6 trailer in the parking lot and they were standing by that. And
7 then he was talking to them and I went down. He's a Sentinel
8 trained NS employee.

9 Q. Okay. So the --

10 A. That means he went to (indiscernible).

11 Q. Okay. The incident commander was the fire chief for --

12 A. East Palestine.

13 Q. -- East Palestine Fire Company.

14 A. Yeah. I believe on scene it was the assistant chief. I'm
15 not 100 percent.

16 Q. Were either of those two individuals at the training you
17 spoke about in October?

18 A. I don't remember 100 percent if the chief was, but I believe
19 the assistant chief was.

20 Q. Okay. And you mentioned a safety train. Was that part of
21 that training in October?

22 A. No. No. This was just a tabletop exercise.

23 Q. Okay. All right. So the vinyl chloride cars, the PRD
24 actuation, do you know when it first actuated? Were they going
25 when you got here or was it sometime later that --

1 A. No, when I got there they hadn't vent out of relief. I don't
2 believe they -- they weren't venting out of the relief yet.

3 Q. Okay. So about how long after you arrived on scene did they
4 start venting?

5 A. I don't know the exact time because I think I had to go down
6 to the command post they were setting up or something. I don't
7 have the exact time they started venting. Drew and those guys
8 were up in there; they might have it. I don't know. They would
9 have some idea.

10 Q. Who is Drew?

11 A. He owns SPSI. He's the one that came first when I made the
12 phone call.

13 Q. Okay. Was anyone keeping track of the chronology of events?
14 Anyone scribing any of this or recording any data that was being
15 observed?

16 A. Drew might have been doing some because we were -- you know,
17 planned out what we're going to do based on what we're seeing
18 occurring, but right now I don't know. I took little notes for
19 different things I had and people calling me, but I wasn't 11
20 o'clock, 12 o'clock, I wasn't doing that, because I was the only
21 one there at the time. So it's not detailed.

22 Q. So let's go back to the vinyl fluoride cars. It may sound
23 like a simple question, but what caused the pressure relief
24 devices to actuate?

25 A. I'm not 100 percent because I couldn't see in there real good

1 because it's dark, but I believe it had a pool fire and everything
2 underneath it and it heated up the cars. That's my best guess
3 from what I could -- what I could see when I got there, there was
4 fire all around there and I believe there was, I think, maybe --
5 there was a pellet car near there somewhere, too, I think that was
6 on fire. And that pool fire heated up the material and then I
7 believe it, you know, caused that to vent.

8 Q. Do you know what the source of the pool fire was?

9 A. There was a butyl acrylate -- I believe it's butyl acrylate
10 car that was ruptured and that's what spilled into the stream and
11 set the ditch fire. Because that smell, that material is from
12 Pleasant all the way through the site.

13 Q. So butyl acrylate was burning?

14 A. Yes.

15 Q. Okay.

16 A. That's what I think the product was that was burning. There
17 was a couple non-haz lube oils. They'll burn once the fire's hot
18 enough, but butyl acrylate you could smell along the ditch line.

19 Q. So it's our understanding from the consist we have five vinyl
20 fluoride cars in the derailment --

21 A. Yeah.

22 Q. -- correct? You mentioned that some were venting
23 continuously and others did not vent. Can you tell us which ones
24 did which?

25 A. Not off the top of head, I can't.

- 1 Q. All right. How about --
- 2 A. Drew may have them written down, which one -- the numbers.
- 3 Because I think we had to keep using drone footage to try to fly
- 4 over to see and figure out which one's where, and then they used
- 5 where other cars are positioned to try to get the report marks
- 6 because they're burned off the cars.
- 7 Q. Would it be helpful if I showed you an overflight photo of
- 8 the scene? If you could maybe point to which car was venting
- 9 continuously or which ones were throttling? And I'll ask you to
- 10 circle on that photograph if you can do that.
- 11 A. I pulled up in here on the one where I had every 2 minutes,
- 12 and it'll be one of the cars up in here.
- 13 Q. So for the record --
- 14 A. From what I can see on the --
- 15 Q. -- we're pointing to the eastern --
- 16 A. Eastern side.
- 17 Q. -- eastern side of the derailment.
- 18 A. And then I believe the car that did the continuous vent, I
- 19 could be wrong, but it was at the other end of the pile. I'm not
- 20 100 percent which one though. But I believe --
- 21 Q. Are you talking about the westernmost?
- 22 A. The western side, yeah.
- 23 Q. Okay.
- 24 A. I believe.
- 25 Q. So the westernmost vinyl chloride car was venting --

1 A. Because of the way you could see it. But Drew and those guys
2 worked with a drone in the position where to see -- between Drew
3 and SRS together, to try to see each car and what it was doing and
4 identify each car's report marks with the drone from the sheriff.
5 So he probably has a better documentation on that, that you might
6 want, and that information than me. Because I was getting told,
7 you know, on the phone that the cars are venting. I saw it vent
8 when I went up to the scene, but I wasn't there knowing when each
9 one would start to go off. I didn't witness that.

10 Q. Okay.

11 A. To identify the exact car, so --

12 Q. All right, sir. Just a few more questions. You talked about
13 the process that led up to the vent and burn. Could you tell us a
14 little bit more about the decision-making process and how it was
15 determined that vent and burn was the course of action you were
16 going to take?

17 A. So the discussions I was in were also the same, pretty much
18 the same exact thing we told when we met with the community
19 incident commanders. Options, you know, we go in and hot tap it,
20 send that to a pit the same way you do with the operation, vent
21 and burn. And not knowing if there was any vapor space left to
22 hot tap, no one was going to send anybody in to tap a weld on that
23 car like you would do a normal hot tap. They didn't want to --
24 that wasn't going to be safe to do.

25 The way they had witnessed other cars, because these are the

1 crews that do this stuff, and, you know, Chip Day and SRS have
2 done this before also in some places, and they way the car acted
3 with the relief valves venting, venting, venting, if it just kept
4 doing that, I think they were -- you know, we could let it take
5 its course and that's what we did. Then when it shut off, that's
6 when they went in there and they wanted to get temperatures and
7 stuff. So the -- around the protective housings there's no way to
8 put gauges on everything; everything was burned up. When they got
9 in there and they flew the drone down, I believe they could see,
10 you know, different valves burned off and all of that. So the
11 only thing would have been to go towards that hot tap area plan.

12 When they got -- when they went in at one time, that's when
13 that went off again after it hadn't done anything for hours. So
14 that was an indication from, I believe, their experience and
15 possibly the chemist that was there from (indiscernible),
16 discussion that that's polymerized. So that presented a problem
17 where all the other options started to go away.

18 Q. So explain for us what the problem would have been with
19 polymerizing?

20 A. If you let the car continue to polymerize it'll fill up with
21 that material in the entire shell of the car. That'll put
22 pressure then on the outside walls of the car and then it'll
23 catastrophically fail the car.

24 Q. And when you say catastrophically --

25 A. It'll blow the car apart. So your ERG is based on data from

1 other incidents. Okay? So right now the distance, the furthest a
2 tank car apart from that catastrophic failure is three-quarters of
3 a mile, the data that I was always trained on. And that's why the
4 zone is 1 mile for a burning tank. So the -- where we were
5 located, we couldn't have, you know, potentially four, maybe five,
6 cars catastrophically fail when they wanted to and fly out through
7 the community. So it was decided the vent and burn option allowed
8 us to control when that happens, and plan and dig the trench and
9 flare it and do that. So that's why that decision was made.

10 We did explain that to the community, that if we don't -- and
11 I had to explain it in the press conference, that if didn't
12 control it ourself, it would control us, you know, and cause
13 greater harm. So we wanted to have a controlled detonation and
14 venting and liquid coming out of the car. And when it was
15 denotated, the guys on scene said just a tiny bit of vapor come
16 out on the first charge on the top of the vapor space and polymer
17 shot out on fire. So it was polymerized all the way up into the
18 vapor space already. You'll have to ask him which car that was.
19 I don't know exactly what car. But two of the cars did already
20 have polymer come out the vent hole on the top.

21 Q. Did the vent and burn process achieve the desired result?

22 A. Yes. Yeah, so after vent and burn, when you started to see
23 the fires die down on any drone footage you might see, the cars
24 were raging inside burning off the remaining -- they could see
25 it -- I think they flew the drone over again and they can see it

1 down through the manway or the holes where they cut into the car,
2 they could see it all on fire in there.

3 Q. Who did the drone?

4 A. I think that one was the sheriff, too, possibly.

5 Q. Columbiana County?

6 A. Yeah. Unless they got that just from the team that went in
7 to inspect once everything calmed down and the bulk of the fire
8 was out. But they said there was fires still inside the cars just
9 burning off what polymer's probably stuck to the walls of the car.

10 Q. Who else was collecting video during the vent and burn?

11 A. I think only them.

12 Q. It's Columbiana County Sheriff?

13 A. Yeah. We didn't have a drone there, or fly a drone there.
14 They flew the drone. And then one of them -- military or somebody
15 else had another one, I thought, but I'm not 100 percent sure.

16 Q. Did you or anyone else at Norfolk Southern collect any video
17 of the event?

18 A. Of the vent --

19 Q. Of the vent and burn?

20 A. Vent and burn? There's some. There's some of them calling
21 out the countdown. We have that, and then you can see that. I
22 have that.

23 Q. Okay.

24 A. Because one of our guys was with Drew and them. So you hear
25 them through the countdown for the blast and --

1 Q. Okay. So you have that video here?

2 A. Yeah. I can show it to you when we're done.

3 Q. Okay.

4 A. If it's -- and then if you want it, then I can send it to
5 you.

6 Q. Yeah. We would like to have a copy of it.

7 A. I'll have to text it to you. It's on my phone.

8 Q. Okay. Okay. The train crew, were they ever approached by
9 any first responders?

10 A. I have no idea. The transportation department would have
11 handled them, so they would be the ones to answer that question.

12 MR. STANCIL: All right. I'm going to pass it on to my
13 colleague.

14 BY MR. LYNUM:

15 Q. This is Sean Lynum again. That's S-e-a-n, last name
16 L-y-n-u-m, with the NTSB. Just a few questions for clarification
17 for the record. You mentioned that early on in your response the
18 acronym RG. Could you explain what that is?

19 A. ERG.

20 Q. ERG. Okay.

21 A. Yeah, ERG, Emergency Response Guide, the --

22 Q. Got it.

23 A. -- orange book, yellow book. I mean, it's on the phone now.

24 Q. Yes. Another question I have is can you explain who the guys
25 were that flew in for the vent and burn that you mentioned?

1 A. SRS flew in to assist us with that, with vinyl fluoride cars.
2 That was Chip Day and Terry Rockwell, the ones I know. There
3 was -- Kent was with them also. I don't remember his last name.
4 They're from SRS. They're a contractor similar to SPSI.

5 And the guys that flew in are from -- I think it's Explosive
6 Systems International. They're out of Baton Rouge, Louisiana.
7 And I don't remember, right at the moment I don't remember exact
8 name, but --

9 Q. And what exactly --

10 A. They're like the only ones that do this.

11 Q. Right. What exactly do they do when they come in to do a
12 vent and burn? Just try to walk us through that.

13 A. They met with SRS and SPSI. They went over the site, looked
14 at what they had; determined, you know, when they could go in
15 there; set up all the safety protocols that they follow, all
16 these, I believe, these different checklists; and then they
17 determine where they want the material to go and where they want a
18 trench dug, where they want all that. That's between SPSI, SRS,
19 and them. And then they put those charges, the shape charges, I
20 believe they are, in the locations that'll allow the flow to come
21 out of the cars towards those trenches.

22 Q. Okay. I don't want to get in too much detail, but could you
23 just quickly -- you mentioned shape charges. You know, when they
24 send those off or when they set them off, just walk us through the
25 sequence of how that works and what's the purpose of doing that

1 and what happens to the material once they do go off.

2 A. Okay. I'm not the expert on that, but I'll give you from my
3 understanding of it. So you put one high in the vapor space of
4 the car. Okay? You put one low in the liquid level. You
5 detonate the top one first in the vapor space. Just like if you
6 were opening a can or something, to be able to pour it, you got to
7 be able to vent the air off. It's the same system like. So
8 you --- a matter of seconds, and I think you can see it in the
9 video, the top one goes first to vent and then the bottom one goes
10 right after that. So it's like you vent off some pressure and the
11 material starts to come out. And there's flares lined up in that
12 trench and as the material comes it starts lighting off.

13 Q. And this is like the last question on this particular event.
14 About how long did it take for the material, just your best
15 guesstimate, for the vinyl chloride to burn off, for the most
16 part?

17 A. Their estimate was -- that I gave in the news conference was
18 we expected the pit to burn, you know, like pretty good for at
19 least 1 to 3 hours. I know it -- I think it was definitely 3
20 hours or maybe a little bit, but that's a guesstimate on how much
21 you think was consumed, initial venting and all that. That's not
22 an exact science.

23 Q. Let's see. You mentioned earlier a gentleman's title DMMO.
24 Could you explain what that means?

25 A. He's the division mechanical supervisor.

1 Q. Gotcha. Okay. Could you recall -- and again, if you can't,
2 that's okay -- about how soon after you arrived or unless it
3 happened before you arrived, did the -- was an evacuation
4 perimeter set up?

5 A. I don't know. All I know is when I talked to the EMA
6 director on her phone asking about should they and setting up the
7 1 mile. I don't know when they actually did that though.

8 Q. Do you know who put that out, who made the decision to set up
9 the 1-mile perimeter?

10 A. It would have been their incident command, between the fire
11 chief and probably EMA coordinator and their community team. I
12 don't know.

13 Q. And the last question I have is, you mentioned a pellet car,
14 could you explain what that is?

15 A. They're little -- they're the little pellets that are made in
16 the different chemical industry, plastic pellets.

17 Q. I see. And do you recall about how many there were that were
18 involved with the derailment? If you don't know, it's okay.

19 A. I think on your map there's two up there burning in the
20 corner. Without looking at the consist, after all this time, I
21 don't know. I think these two, these are pellet cars.

22 MR. STANCIL: So you're pointing to the two cars at the far
23 east end --

24 MR. DEUTSCH: I believe that's them.

25 MR. STANCIL: -- of the derailment, correct?

1 MR. LYNUM: Those are all the questions I have.

2 MR. DEUTSCH: I'd have to look at the consist to give you an
3 exact number because there could be ones that were in that train
4 that didn't, you know, didn't burn or whatever.

5 MR. LYNUM: No, that's fine. I just -- we're just trying to
6 get an idea what it was and how it affected the fire. That's all
7 I have.

8 BY MR. DOUGHERTY:

9 Q. Just a couple follow-up questions regarding the failure or
10 the potential for failure of the pressure relief devices. Do you
11 have a timeline or know maybe the day and/or time that you
12 realized that the valves were starting to fail?

13 A. I don't. I would think maybe SPSI does, Drew. But -- or
14 SRS. I don't because I got -- I ended up at the command post.

15 Q. Okay.

16 A. So I can't give you an exact time when that started to occur.

17 MR. DOUGHERTY: Okay. That's all I've got.

18 BY MR. STANCIL:

19 Q. Paul Stancil here. Last question for me. You mentioned the
20 temperatures and pressures were monitored; is that right?

21 A. The temperatures.

22 Q. The temperatures.

23 A. With a thermal imaging gun. They went in there -- that's
24 what they were doing when that one vented when they were in there,
25 I believe. Because they went in -- we went in every hour leading

1 up to the detonation. I forget when we started that, but -- which
2 day it was, but we went in every hour and got readings.

3 Q. Okay. Tell us what the temperatures were doing on the cars.

4 A. The one car that was a concern, the biggest concern, I
5 believe is 139. And then it was --

6 Q. 139 what?

7 A. F. F. Yeah, sorry.

8 Q. Okay.

9 A. I think it was like maybe 136, went to 139 F, and then the
10 sun went down and it got a little bit cooler out and that car
11 dropped a little bit. And it was just doing that -- I think it
12 was going up a couple degrees, back down. Then I left. So then I
13 came back for my shift and they were at -- one was at 62 F, three
14 were at 65, and that car, I think, was down to 126, that I can
15 remember from the top of my head, when I returned the one morning.
16 I just remember it because I checked that when I got onto the
17 scene.

18 Q. Was that the most recent reading prior to the vent and burn?

19 A. That -- since that occurred at 4, I don't know what it was
20 later on.

21 Q. Did somebody record those temperatures somewhere?

22 A. Yes.

23 Q. And that would have been Drew?

24 A. Their guys were recording. Let me just -- if I have any kind
25 of date.

1 Q. Are you -- is Norfolk Southern getting any of -- collecting
2 any of the documentation from -- you know, notes or temperature
3 measurements or observations from your contractors?

4 A. I believe we will have all that. It'll all be in a report
5 from them, from SPSI, is the lead contractor.

6 So I do have one text message at 11:30, and I have the car
7 numbers. They all were 65, and 126. And that was on Monday.

8 Q. Monday at 11:30?

9 A. Yes. Because I was sending these to Atlanta when they'd send
10 me a text with the temperatures.

11 Q. Say that again.

12 A. I can give you the car numbers if you want them.

13 Q. Yes, please. Yes.

14 A. Okay. So the first car is TILX402025, 65 degrees Fahrenheit.

15 Q. Okay.

16 A. The next car is OCPX080235, 65 degrees Fahrenheit.

17 Q. Okay.

18 A. The next one is OCPX -- it's a zero, not an O; sorry --

19 80179, 65 degrees; GATX095098, 65; and then the last one

20 OCPX80370, 126.

21 BY MR. LYNUM:

22 Q. Okay. This is Sean Lynum again. I just had one more follow-
23 up question. You mentioned thermal reads. Can you please explain
24 briefly what needed to be done to the cars in order to get the
25 most accurate thermal read?

1 A. Okay. I believe on all the cars, maybe only one they used a
2 thermal imaging camera and there was tears in the jacket so you
3 can get to the internal steel. And they would shoot that there
4 because that's your best temperature because you can't go by the
5 jacket, the insulation and all that. So they had tears in the
6 jacket, so the actual tank was exposed and they shot the thermal
7 imaging there to get their temperatures. If there wasn't a tear
8 in the jacket, the other option is up on a pressure plate because
9 that's a steel that's part of the car and you shoot there. I'm
10 not 100 percent on which cars they shot where, but those are the
11 two locations. And I know because I heard -- we talked a little
12 bit and they said there's a tear in there and we got the
13 temperature at that tear in the jacket and -- on that discussion
14 about getting accurate temperatures.

15 Q. And just for the record, these are insulated cars so there's
16 essentially a tank within a tank, insulation?

17 A. I didn't look this particular car up what they were, but they
18 should -- you know, that's probably correct.

19 Q. Yeah.

20 A. Some don't have insulation; only have a thermal wrap and then
21 the jacket. But I don't -- too much going on, I didn't look if
22 it's a 105 or whatever, you know. So --

23 MR. LYNUM: That's all I have.

24 BY MR. STANCIL:

25 Q. So, Mr. Deutsch, is there anything that you can think of that

1 we haven't asked you that you think might be important for us to
2 know?

3 A. Let me see. I think if you got the first arriving engine on
4 the scene and talked to that crew, they could tell you exactly
5 what they seen because they should have did a scene size-up there,
6 the first arriving unit. The fire investigations we do, that's
7 who we start with, that tell me what the house looked like when it
8 was, you know, burning and stuff. But they may be able to tell
9 you exactly where they saw fire. Because they were spraying water
10 when I got there so the video I have will show you -- it shows a
11 trench on fire in places, but I don't know what they put out. I
12 just know for sure because the next day after the fire in that
13 trench was out, we had an engine come down because there was some
14 crossties started to burn, and that guy goes, we pulled in down
15 here and this whole trench was on fire and we put it out. He was
16 just telling me that. That's how I got that information to tell
17 you, you know. So I knew the fire went all the down to Pleasant
18 Street. But they might be able to give you, you know, a better
19 size-up of what they saw when they initially got there.

20 It's hard to remember which cars started venting when. Drew
21 might have that information. I think that would probably be key;
22 you'd probably want that.

23 That's about it. Or maybe initial drone footage from that
24 sheriff when he first got out. I got a picture of his drone when
25 I was there, where he's in -- he's like in the plume over those

1 cars with that drone. I mean, he had it in there when they were
2 really burning. So he might have really good pictures if you
3 didn't talk to any of them.

4 Q. And who is this again?

5 A. That's the sheriff, the sheriff's department. It's actually
6 the county commissioner who flies a drone for the sheriffs. Let
7 me see. See how he had it in there? That green light at the top
8 of the smoke?

9 Q. Oh.

10 A. Here's another picture. So he flew it right in there. And
11 that's right behind that gas station, because that's where we went
12 up there and he flew out of that gas station's parking lot right
13 over the derailment, and that's where the vinyl chloride cars are.
14 And that's why he was flying because that's what we worried about.
15 But what he did prior to my arrival, he may have footage -- I
16 don't know how long it took him to get there. He would be a good
17 contact, I would think, to see what footage he has.

18 MR. STANCIL: Okay. That's it.

19 MR. DOUGHERTY: Any other questions? If no one has anything
20 else --

21 MR. DEUTSCH: If you want to see this, this is the video I
22 told you about when I arrived on scene.

23 MR. DOUGHERTY: Okay.

24 MR. DEUTSCH: The whole -- you can see the aerial trucks
25 are --

1 MR. DOUGHERTY: Okay. Perfect. All right.

2 Well, I thank you for your time. If there's anything else
3 that you can think of that may be important to the investigation,
4 please --

5 MR. DEUTSCH: Okay.

6 MR. DOUGHERTY: -- feel free to reach out to us.

7 I think it's a good time to stop. So thank you very much.
8 The time is 9:10 a.m. and going to stop recording now. Thank you
9 very much.

10 (Whereupon, at 9:10 a.m., the interview was concluded.)

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

CERTIFICATE

This is to certify that the attached proceeding before the
NATIONAL TRANSPORTATION SAFETY BOARD

IN THE MATTER OF: NORFOLK SOUTHERN TRAIN DERAILMENT
 IN EAST PALESTINE, OHIO
 ON FEBRUARY 3, 2023
 Interview of Scott Deutsch

ACCIDENT NO.: RRD23MR005

PLACE: Youngstown, Ohio

DATE: February 8, 2023

was held according to the record, and that this is the original,
complete, true and accurate transcript which has been transcribed
to the best of my skill and ability.

[REDACTED]

Kay Maurer
Transcriber



National Transportation Safety Board
Washington, D.C. 20594

Transcript Errata

Subj: Transcript Review Request for: Derailment of Norfolk Southern Railway Train 32N with Subsequent Fire and Hazardous Materials Release, East Palestine, Ohio, on February 3, 2023.

Accident No.: RRD23MR005

To: Scott Deutsch, Norfolk Southern Railroad

Dear Mr. Deutsch,

The enclosed transcript of your interview on February 8, 2023, is provided for your review and comment to ensure its accuracy. It is not for public release.

The transcript is investigative information of the National Transportation Safety Board (NTSB) created as part of the NTSB's investigation into the derailment of Norfolk Southern Railway train 32N with subsequent fire and hazardous materials release in East Palestine, Ohio, on February 3, 2023. (NTSB Accident No. RRD23MR005).

NTSB regulations prohibit the public release of investigative information prior to release by the NTSB without the permission of the NTSB Investigator in Charge (IIC). See 49 C.F.R. § 831.13(b). The IIC has not approved public release of this information at this time. Therefore, we request that you refrain from any further dissemination of this transcript.

Kindly review this transcript for accuracy and provide corrections, if any, in the attached table. Please print, sign, and return it to me via email by **April 3, 2023**. Please return or destroy the transcript after providing your comments.

Requests for an extension of this deadline must be in writing and received prior to the due date. If comments are not received by the due date, we will consider the transcript to be final without comment.

Thank you in advance for your attention to this matter. If you have any question regarding the process, please feel free to contact me.

Thank you,

Marc Dougherty

Hazardous Materials Accident Investigator (RPH-20)

National Transportation Safety Board

490 L'Enfant Plaza East, SW

Washington, DC 20594

Cell: [REDACTED]

[REDACTED]



National Transportation Safety Board
Washington, D.C. 20594

Transcript Errata

**TABLE OF CORRECTIONS FOR TRANSCRIPT INTERVIEW WITH: SCOTT DEUTSCH
RECORDED ON FEBRUARY 8, 2023**

PAGE NUMBER	LINE NUMBER	CURRENT WORDING	CORRECTED WORDING
7	17	Fabian Lowe	Josiah Saxe or his boss
11	18	Fluoride	Chloride
18	20	Fluoride	Chloride
22	12	pallet	pellet
22	13	pallet	pellet

If, to the best of your knowledge, no corrections are needed kindly circle the statement “no corrections needed” and initial in the space provided.

NO CORRECTIONS NEEDED. _____
Initials

R. Scott Deutsch

Printed Name of Person providing the above information

Signature of Person providing the above information

03/29/2023
Date