



NATIONAL TRANSPORTATION SAFETY BOARD  
**Investigative Hearing**

Norfolk Southern Railway general merchandise freight train 32N  
derailment with subsequent hazardous material release and fires,  
in East Palestine, Ohio, on February 3, 2023

<b>GROUP</b>	<b>G</b>
<b>EXHIBIT</b>	
25	

Agency / Organization

**NTSB**

Title

**Interview Transcript – Jason Cox, National Representative,  
Brotherhood of Railway Carmen; David Arouca, National  
Legislative Director, Transportation Communications Union  
March 27, 2023**

UNITED STATES OF AMERICA

NATIONAL TRANSPORTATION SAFETY BOARD

\* \* \* \* \*

Investigation of: \*

\*

SAFETY MANAGEMENT AND SAFETY  
CULTURE AT NORFOLK SOUTHERN

\*

Accident No.: DCA23FM015

\*

\*

\* \* \* \* \*

Interview of: JASON COX, National Representative  
Brotherhood of Railway Carmen  
and  
DAVID AROUCA, National Legislative Director  
Transportation Communications Union

Government Affairs Office  
Transportation Communications Union  
Washington, D.C.

Monday,  
March 27, 2023

APPEARANCES:

STEPHEN JENNER, Ph.D., Human Performance and System  
Safety Investigator  
National Transportation Safety Board

ANNE GARCIA, Ph.D., Human Performance and System  
Safety Investigator  
National Transportation Safety Board

MICHAEL HOEPF, Ph.D., Human Performance and System  
Safety Investigator  
National Transportation Safety Board

ROBERT BEATON, Ph.D., Chief, System Safety Division  
National Transportation Safety Board

I N D E X

<u>ITEM</u>	<u>PAGE</u>
Interview of Jason Cox and David Arouca:	
By Dr. Jenner	5
By Dr. Garcia	13
By Dr. Beaton	23
By Dr. Jenner	32
By Dr. Garcia	33
By Dr. Beaton	35
By Dr. Jenner	37
By Dr. Garcia	46
By Dr. Jenner	53
By Dr. Garcia	55
By Dr. Beaton	66
By Dr. Hoepf	77
By Dr. Garcia	81
By Dr. Hoepf	84
By Dr. Garcia	92

I N T E R V I E W

(2:15 p.m.)

1  
2  
3 DR. JENNER: Good afternoon. Today is Monday, March 27th,  
4 2023. The time is 2:15 p.m. My name is Stephen Jenner, and I am  
5 a human performance and system safety investigator with the  
6 National Transportation Safety Board. We are at the  
7 Transportation Communications Union, the TCU, Government Affairs  
8 Office in Washington, D.C. Today, we are meeting with TCU  
9 officials in regard to NTSB's investigation of Norfolk Southern's  
10 safety management and safety culture.

11 I want to make sure on the record that you're okay with us  
12 recording this interview?

13 MR. AROUCA: Yes.

14 MR. COX: Yes.

15 DR. JENNER: Very good. Thank you.

16 What I'd first like to do is go around the room and we'll  
17 introduce ourselves. And if you would, just spell your name, say  
18 your title and affiliation.

19 Again, my name is Stephen Jenner, human performance and  
20 system safety investigator with the NTSB. And we'll first start  
21 with the people in this room.

22 DR. GARCIA: Okay. Anne Garcia -- sometimes we spell our  
23 last names, too -- G-a-r-c-i-a, for the transcriptionist. And I'm  
24 also a system safety investigator for -- human performance and  
25 system safety in the Office of Rail, Pipeline, and Hazardous

1 Materials for the NTSB.

2 MR. COX: Jason Cox, C-o-x, Brotherhood of Railway Carmen,  
3 national representative.

4 MR. AROUCA: David Arouca, national legislative director for  
5 the Transportation Communications Union. Arouca, is A-r-o-u-c-a.  
6 And the Brotherhood of Railway Carmen are a division of TCU.

7 DR. JENNER: Great. And Bob?

8 DR. BEATON: Hi. I'm Bob Beaton. I'm the chief of the  
9 System Safety Division at NTSB. We're located in the Office of  
10 Rail, Pipeline, and Hazardous Material investigations. And our  
11 division, the System Safety Division, winds up supporting any of  
12 the accidents where human performance or group performance, team  
13 performance, is an issue in the investigation. So we appreciate  
14 the opportunity to have some time with you this afternoon and look  
15 forward to hearing what you have to tell us.

16 DR. GARCIA: Mike?

17 DR. HOEPF: And I'm Mike Hoepf. That's H-o-e-p-f. Also with  
18 the NTSB. I hold the same position as Anne and Steve.

19 DR. JENNER: Very good. Thank you.

20 INTERVIEW OF JASON COX AND DAVID AROUCA

21 DR. JENNER: So, in the last few months, Norfolk Southern had  
22 some train derailments on the main line as well as some other  
23 incidents that I think you're familiar with. Norfolk Southern  
24 officials have publicly stated that their goal is to have the  
25 strongest safety culture in the railroad industry. So we'd like

1 to explore your experiences with the work that you perform or  
2 oversee to get some insight on your perception of the current  
3 safety culture. And I know that safety culture means different  
4 things to different people, but I think maybe we can consider, you  
5 know, for our discussion how Norfolk Southern -- how safety is  
6 prioritized and how it's valued.

7 So we have some questions for you, but first, we'd like to  
8 get a little background about who you both are and your work  
9 experience in the industry and how you got to your current  
10 positions.

11 So, David, if you want to -- Jason, if you want to go first?

12 MR. COX: Sure. I hired in the Norfolk and Southern in 1998  
13 as a car inspector. I worked there for about 2½ years before I  
14 was furloughed during the Conrail acquisition and I went to CSX  
15 Transportation as a car inspector there. Shortly after, I got  
16 involved in the union and had three terms as a local chairman  
17 while performing boots on the ground work as a car inspector for  
18 CSX Transportation, where eventually I was promoted to national  
19 representative for the carmen on NS, CSX, and 14 other agreements.

20 DR. JENNER: When did you begin being part of the union in  
21 your capacity that you just described?

22 MR. COX: 2002.

23 DR. JENNER: Okay. What have your duties been in the union,  
24 where have you worked, and what type of tasks are you charged  
25 with?

1 MR. COX: So in the union, like I said, about 2002, I was the  
2 local chairman, the local grievance officer who works with the  
3 men. They bring their grievances to me. And after my promotion  
4 to national rep, I oversee the final stages of arbitration on  
5 multiples of those agreements, as well as handle the safety  
6 concerns of the workers.

7 DR. JENNER: And if you can just tell us about how do you  
8 come to recognize safety concerns from the workers? Do you reach  
9 out to them? Do they reach out to you? Do you see things  
10 firsthand?

11 MR. COX: Usually they pick up the phone and they'll call me  
12 and they will express, you know, certain situations that are going  
13 on. They sometimes will write reports, which I will present to  
14 the company to handle. And other times it's handling issues that  
15 I might recognize to the individual belong in another forum such  
16 as whistleblower or OSHA forum, and I would give them direction on  
17 how to handle that.

18 DR. JENNER: Great. And I'm sorry, just a date for the  
19 national rep, when you became the national rep?

20 MR. COX: That would have been 2011.

21 MR. AROUCA: And you were assistant and then --

22 MR. COX: I was assistant then, yeah.

23 MR. AROUCA: Assistant national.

24 MR. COX: Assistant national.

25 MR. AROUCA: Yeah, that was when he got brought on fully with



1 the union.

2 DR. JENNER: Okay.

3 MR. COX: Yeah.

4 DR. JENNER: Very good. Appreciate the background.  
5 David, you as well?

6 MR. AROUCA: I -- much less interesting than Jason. I've  
7 been at TCU in the legislative department since 2015, July 2015.  
8 Never worked on the railroad myself, but grew up in a railroad  
9 family. Both my parents were lawyers for the rail industry. Mom  
10 spent her entire career doing it. So it was kind of an easy --  
11 easy to jump into this field. And obviously, they've been a  
12 source or a wealth of information on a lot of this stuff,  
13 especially with how the industry used to be to where it is now.  
14 That's a little bit of my background.

15 DR. JENNER: Okay. What keeps you busy? What are some of  
16 your main tasks?

17 MR. AROUCA: This stuff. You know, fighting for these guys  
18 on Capitol Hill to try and ensure that, you know, they have enough  
19 time to do their inspections, to, you know, defend their  
20 positions, their qualifications. You know, as carmen, it's not an  
21 easy role. Any of them will tell you it is a tough, tough gig.  
22 Yeah, you know, I love doing it, advocating for them, whether it's  
23 before federal agencies, on Capitol Hill itself. That's what I  
24 love doing.

25 DR. JENNER: Very good. Thank you.

1 If I can have one of you just take a moment and tell us about  
2 TCU, what is it you guys do, who do you represent?

3 MR. AROUCA: Sure. TCU is about 35,000 or so members active  
4 currently, probably about 30,000 dues paying, about 5,000  
5 retirees. It's primarily a railroad union. We have several  
6 primary crafts though: clerical, intermodal, the carmen,  
7 supervisors, and a host of others, crew callers, etc. It's kind  
8 of a jack of all trades type union. But outside of that, we have  
9 some folks in the transit industry and at Disney World.

10 DR. JENNER: Cool.

11 MR. AROUCA: House Mouse.

12 DR. JENNER: And how long have you guys been around? TCU.

13 MR. AROUCA: 2015, got started.

14 DR. JENNER: No, I mean the union itself, how long --

15 MR. AROUCA: Yeah --

16 DR. JENNER: 2015 is when the union started?

17 MR. AROUCA: Oh, oh, sorry.

18 MR. COX: Oh, no. Oh, no.

19 MR. AROUCA: TCU --

20 DR. JENNER: Yes, TCU.

21 DR. GARCIA: Right.

22 MR. AROUCA: -- was the you guys. 1890- --

23 DR. JENNER: Okay. I was -- yeah.

24 DR. GARCIA: Yeah. We thought it was something like that.

25 DR. JENNER: Maybe it branched off from something and became

1 TCU. So you've been around forever.

2 MR. AROUCA: Right. No, a long time and a lot of  
3 consolidations over the years. It was the Brotherhood of Railway  
4 and Airline Clerks at some point. And, I mean, we have a lot of  
5 very historical crafts that have merged in over the years. The  
6 Brotherhood of Sleeping Car Porters is an ancestor union of  
7 ours -- Philip Randolph, a very famous union. And yeah, the ARASA  
8 folks, the supervisors, merged in I believe in the nineties. And  
9 the carmen I believe merged in, in the eighties, early eighties.  
10 Or something like that.

11 MR. COX: Yeah, that sounds right.

12 MR. AROUCA: We can give you a historical document.

13 DR. JENNER: No, that's -- just a flavor is fine. Thank you.

14 MR. AROUCA: Oh, we merged in with the machinists ourselves  
15 in -- that completed in 2012, and it's the machinist townhouse.

16 DR. JENNER: Got it. Thank you.

17 Well, back to the original purpose we're here. We're  
18 interested in the safety aspect of Norfolk Southern and we want to  
19 know if they're doing their job well or if you have some concerns.  
20 And we're going to leave it up to you to describe what you think  
21 we should know.

22 MR. AROUCA: Should I kick us off?

23 MR. COX: Sure.

24 MR. AROUCA: Well, we got a lot to go through.

25 In a nutshell, not great. It's not great really across the

1 industry, but Norfolk Southern, in particular, has been pretty bad  
2 for a while. It's hard to really give them all a relative grade  
3 to each other, but I'd probably say Norfolk Southern is one of the  
4 worst offenders in some respects, right?

5 MR. COX: That would be correct.

6 MR. AROUCA: Yeah. So as background on what the carmen do,  
7 this is the craft of employees that inspect, maintain, and repair  
8 railcars, both in the freight industry but also passenger as well.  
9 This is a craft that you train to become a full qualified  
10 journeyman carman. It's about 732 working days or about 3 years  
11 to become a journeyman. It is a -- definitely a specialized, you  
12 know, craft in that respect. You want guys that are trained to do  
13 this job and to do it well. They know exactly what they're  
14 looking for when they're looking at cars. A lot of the other  
15 crafts, even though they are allowed, and we'll get into that in a  
16 moment, to inform some of these inspections, they are definitely  
17 not the ones that are qualified to do it in a, what we believe is  
18 a safe manner.

19 So on that -- in that regards, we wanted to kind of walk  
20 through and start with what the regs state. And it's important to  
21 say -- like start there because we can then jump off on what's not  
22 happening. So I brought this little document for you guys. You  
23 guys can each have one. Jason and I will share this. It's just I  
24 literally just pulled the reg language here.

25 DR. JENNER: Right. So you're showing us -- the title is 49

1 CFR 215 --

2 MR. AROUCA: Yes.

3 DR. JENNER: -- Railroad Freight Car Safety Standards.

4 MR. AROUCA: Yeah. That's the part and the subpart there,  
5 215.11. So this is the part of the code that describes  
6 essentially the mechanical standards for the freight car. It  
7 designates an inspector and it even specifies that the person who  
8 is the designated inspector, you know, should be one who can  
9 understand it for compliance with the full part of this section  
10 and make the determinations required. Make the determinations, I  
11 mean, that's very clear to me.

12 So why am I presenting this to you? One of the key parts in  
13 the rail industry is obviously a mechanical inspection of the  
14 train consist. You know, you can do it, you know, before -- you  
15 know, on inbounds or outbounds, but it is supposed to, and in  
16 215.13 right here, at each location where a freight car is placed  
17 into a train, it's supposed to be inspected before the train  
18 departs. That is very obvious and clear about what this  
19 mechanical inspection is supposed to be looking for.

20 And to detail that, I printed off the Schedule of Civil  
21 Penalties for Part 215. So that lists every single thing that we  
22 are legally required to ensure is in working order prior to it  
23 departing, else, you know, the railroad or if it's a willful  
24 violation, the carman himself, is liable for a fine. So this is  
25 not something, you know, oh, you know, you can inspect it, you

1 know -- like, no, this is -- our guys can get fined, the railroad  
2 can get fined if this stuff isn't in working order.

3       So, but jumping back to this section -- well, I guess, before  
4 we jump, I want to stay on the schedule there. Essentially what  
5 it amounts to is about at least 90 points of inspection per side  
6 of a car. And I say at least because when you combine it with the  
7 other schedule of safety appliances, which is, you know, the  
8 handbrakes, the rails, you know, other things that the crews have  
9 to be -- that have to be in working order for the crews to be able  
10 to actually, you know, operate service -- you know, they're  
11 hanging off the side of this thing, you know, they need their  
12 handholds and all that stuff to be in working order, right? You  
13 combine all that stuff together, it's at least 90 points of  
14 inspection per side of the car.

15       And what used to be the standard back in the day -- well, I  
16 should say about 20 years ago there was no standard, it was -- or  
17 time constriction around these inspections. It was when you got  
18 the inspections done, they got done. Then they moved to 3  
19 minutes, on average, per car. And that was, you know, pre-PSR  
20 era. And then PSR came along and they whacked that by two-thirds  
21 and they are now forcing our guys to do these inspections in 30  
22 seconds a side or 1 minute a car, or less. You know, it's very  
23 frustrating.

24       We have a lot of documentation to --

25       DR. GARCIA: Just for an idea for context, what's the length

1 of a car?

2 MR. AROUCA: How long are they? It depends on --

3 MR. COX: About 100 feet.

4 MR. AROUCA: Yeah, 100 feet.

5 DR. GARCIA: About 100 feet. And the inspections, these 90  
6 plus inspections per side, are the length of the car or just in  
7 one area?

8 MR. COX: The length of the car, 30 seconds per side. So you  
9 got a 100-foot freight car and it is sitting on a track that is on  
10 top of loose walking ballast, stone. You're supposed to be  
11 watching where you're stepping, how you're stepping, you're  
12 supposed to be safeguarding your own safety. Walking around a  
13 freight car in a minute, let alone inspecting one, you know, just  
14 think about that.

15 MR. AROUCA: Yeah. It's not at all really feasible. I mean,  
16 maybe if you ran you could do one in 30 seconds, but you wouldn't  
17 be able to keep that pace ever. So that's kind of one of the  
18 things that we've been trying to push back on in the industry for  
19 quite a while to no avail.

20 And, you know, I think there's a lot of folks at the FRA that  
21 are -- that seem to be split on this. Some of them think that  
22 this is completely ridiculous, how can we -- how can they actually  
23 be, you know, performing these inspections adequately? In fact, I  
24 talked to the previous administrator, Mr. Batory, directly about  
25 this and he even said to me, you know, I was out at a railyard

1 once and I sat behind this inspector and I watched, I watched -- I  
2 sat behind this carman and I watched him. He just missed defect  
3 after defect. And, yeah, I totally know what you mean. And I  
4 said, Mr. Administrator, yes, that is the problem. It would seem  
5 that you're in a position to do something about that. And he kind  
6 of gestured to, you know, his higher-ups, a/k/a, you know, the  
7 inherent policy of the Trump administration not to perform -- add  
8 any new regulations. It's two -- the two for one deal, right? So  
9 that was pretty frustrating. You know, even having a confirmation  
10 from an FRA administrator of like he saw it with his own eyes  
11 and -- you know, that's kind of what we're up against sometimes.

12 Yeah?

13 DR. GARCIA: I have a question. And I'm sorry. Normally  
14 it's just one person at a time asks questions, but I'll just ask.  
15 These cars that you're inspecting, do they belong to Norfolk  
16 Southern or is it like in East Palestine, where the cars belong to  
17 someone else?

18 MR. AROUCA: All of them.

19 MR. COX: It's a mix of everybody. You got to remember the  
20 nation's railroads are designed as an interchangeable integral  
21 system. And the health of that system is determined by its  
22 participants, which unfortunately the participants' culture  
23 entirely has degraded to a particular point because they're paying  
24 attention to OR and the stock price rather than the safety of the  
25 public, in my opinion.



1 DR. GARCIA: So the owners of the car might not be the  
2 railroads that you work for?

3 MR. COX: Correct.

4 DR. GARCIA: So you might have no influence or no discussions  
5 on who maintains them, the maintenance requirements?

6 MR. AROUCA: Right. Well, I mean, it's still -- that's why  
7 these schedules of things are detailed for any car placed into  
8 revenue service. So it's not tied to the manufacturer or the  
9 owner of the car.

10 DR. GARCIA: Right.

11 MR. AROUCA: If you're a railroad running these cars, they  
12 have to be in working order. So it is upon the railroad, who then  
13 bills back the owner of the car. You know, and before a car owner  
14 releases their car, they themselves are supposed to go through,  
15 you know, a sheet themselves and kind of inspect things and make  
16 sure that -- you know, it's like renting out a car, right? Like  
17 they're going to make note of any kind of defect or ding, etc., so  
18 they're not getting billed back for things that they didn't  
19 necessarily cause. So that's kind of how that all works.

20 I mean, I couldn't tell you the percentages, but I think the  
21 majority of the cars out on the network are privately owned. You  
22 know, whether it's union tank car, TTX, you know, shippers  
23 themselves. You know, a lot of them are privately owned, but it's  
24 still on the railroad to inspect and maintain these cars to the  
25 effect that they remain in working order and are in compliance

1 with all the regs. Hence, the job of a carman.

2 DR. GARCIA: Thank you.

3 MR. COX: Sure.

4 MR. AROUCA: So I guess -- this is kind of jumping into two  
5 things. I'll come back to the minutes per car. But one of the  
6 problems, since we're already here at 215.13, the pre-departure  
7 inspection. And I inserted a/k/a the mechanical inspection. The  
8 code doesn't say that, but that's what it's getting at. That's --  
9 the whole section is.

10 Again, at each location where a freight car is placed in a  
11 train, the freight car shall be inspected before the train  
12 departs. It can be made before or after the car is placed into a  
13 train. That's pretty easy to understand. And the location where  
14 an inspector is designated under 215.11 -- that's the designated  
15 inspectors portion up there -- shall be -- you know, those  
16 inspections shall be made by that inspector. That's essentially  
17 saying if, you know, Jason, the carman, is on duty or is where  
18 they're at, they're supposed to be doing the inspection.

19 DR. GARCIA: Um-hum.

20 MR. AROUCA: (c), and why I have it highlighted, is the  
21 massive loophole that the railroads are abusing. At a location  
22 where a person designated under this section is not on duty for  
23 the purposes of inspecting cars, as the inspection required,  
24 shall, as a minimum, be made for those conditions set forth in  
25 Appendix D. And that's why I call it the Appendix D abbreviated

1 pre-departure inspection.

2       So this, you know, when written, this makes sense, right? So  
3 you have all these carmen in a yard where you're assembling  
4 trains. You want -- you know, you're supposed to, if a carman --  
5 if you're in a yard, they're supposed to be doing the inspections.  
6 They are trained to look at all these things, right, catch all  
7 this stuff. And, but if you're out on the network, you're picking  
8 up freight from a customer, you know, a block of a cars here or  
9 there, that conductor is going to be needing to do his own little  
10 abbreviated pre-departure inspection, otherwise, you'll have to  
11 carry a carman around with you all over the place. I mean, that  
12 wouldn't be the worst thing for a scope of work, but, you know,  
13 obviously that's why it was written.

14       Unfortunately, this exception to the rule has largely become  
15 the default rule in many respects. They have ended up replacing  
16 all of our carmen with either -- whatever they deem -- utility  
17 workers, or they'll have the traincrews doing it themselves.  
18 Because why? This PSR model is built around the concept of  
19 terminal dwell, right? Get these cars in, get them out as fast as  
20 possible. They don't want anything -- you know, terminal dwell is  
21 what they live on.

22       So how do you reduce times? Well, one thing would be to have  
23 them only do abbreviated pre-departure inspections with the  
24 traincrews, right? So how do you get to that point? Well, you  
25 get rid of all the carmen. You got to furlough the heck out of

1 the craft itself, you know, shuttering yards, etc., etc. Or, if  
2 there are places where you still need to have -- repair tracks,  
3 etc., you create -- what they've been doing is creating these  
4 satellite yards. So they'll say, well, there's no carmen there,  
5 they're over at the satellite yard about 300, 400 yards away,  
6 they're not at a location per the regs. And so that gets them  
7 outside of all this.

8         And what is the result? There are trains going around out  
9 there throughout the network, thousands and thousands of miles,  
10 without a mechanical inspection by a qualified mechanical  
11 inspector, a/k/a carman. And that has been something we have been  
12 raising hell about for a while because it's not just, you know, an  
13 insult to the craft, it's an insult to the industry. And, you  
14 know, there's a lot of people talking about the dignity of work  
15 out there. How dignified is it if you're trained to do  
16 something -- this is what our carmen president, Don Grissom, talks  
17 about, is the only career he's aware of where they train you to do  
18 a job and then fire you for doing it. I mean, that's really --  
19 that really is how it is.

20         I mean, literally right before we came down here, Jason got a  
21 call from, you know, some CSX guy saying they're telling me to rip  
22 off these bad order tags. That's a defect tag.

23         And what did you tell him?

24         MR. COX: Do your job. If you don't do your job, then  
25 something happens like East Palestine, do you really want that on

1 your conscience? But again, they persuade, intimidate and harass  
2 our people in ways with such -- with inspection times and quotas  
3 and everything else, to not do what we're supposed to do. Because  
4 ultimately, they're going to run you off the property, you're not  
5 going to make your mortgage, you're not going to feed your family,  
6 and that's what they do.

7 Can I elaborate on this a little bit?

8 MR. AROUCA: Absolutely.

9 MR. COX: So on this regulation here --

10 DR. JENNER: Which regulation, please?

11 MR. COX: 215.13.

12 DR. JENNER: Thank you.

13 MR. COX: This was written quite some time ago. And when  
14 this was in place, you had a lot more railroads, you had a lot  
15 more terminals, and you had a lot more interchange. So this part  
16 where it talks about where a car is placed in a train would happen  
17 a lot more than it does today. Under the larger railroad system,  
18 they don't have to do that. So they've recognized that the reg  
19 has become deficient under the current structure.

20 And like this section right here, the full 215, as a carman,  
21 if I do what I'm supposed to do and I take exception to the car,  
22 it gets pulled out of the train, it goes to the repair track, it  
23 receives the necessary repairs that it's supposed to receive on  
24 the rip track, including a single car full brake examination.  
25 That work gets done, then the car eventually goes back out into

1 serve. Well, by doing what they're doing here, they realized they  
2 can bypass all that and all we have to do is pick the freight up  
3 and deliver it. The health of the car fleet, thus deteriorates.

4 And if I were to proffer an example that would link in the  
5 most recent disaster, one thing that a car inspector does when  
6 he's doing these inspections under 215, it talks about a loose  
7 wheel bearing seal. What I would do, and I have done personally  
8 as an inspector in the field, when you see grease around those  
9 bearing seals, you'll get your gauge and you'll just give it a  
10 little pry to see if it's loose. If it is loose, that's allowing  
11 particulates into the bearing, it's allowing water into the  
12 bearing, and it's allowing the lubricants to escape. That bearing  
13 will fail, it will burn up, and you will be left with a disaster.  
14 Something that's visual criteria that a car inspector can make the  
15 difference.

16 MR. AROUCA: I'd like to point out that, from the FRA safety  
17 advisory that they released on wheel bearings, the particular  
18 incident in Warner Robins, Georgia, where the bearing blew up out  
19 on the line. It had clearly sprayed lubricating grease all over  
20 the car behind it, indicating that the journal bearing was  
21 defective. They got instructions, the crew got instructions to,  
22 you know, kind of limp along to the next yard for 75 miles and  
23 keep an eye on it, you know, over the next few detectors. It got  
24 to the next yard and then was not inspected by mechanical  
25 personnel or set out for repair before it was added into the next

1 train. It was added into a train and 15 miles down the road it  
2 caused a derailment.

3 I mean, this is insane. This thing blew up out on the line  
4 already. They limped along to the next yard and somehow, because  
5 of the scheme they had put together on the rails, it goes right  
6 out there and causes a derailment. I mean, that's what we're  
7 talking about here.

8 DR. GARCIA: And what is that document again?

9 MR. AROUCA: This is the FRA safety advisory that they issued  
10 shortly after -- what is this date here? Why don't they put a  
11 date on it? That's weird.

12 DR. JENNER: After Palestine, is that --

13 MR. AROUCA: Yes.

14 DR. JENNER: Okay. That's fine.

15 MR. AROUCA: If you look it up, it's the most recent one.

16 So evidence of a lot of this. But here's -- there's two -- I  
17 want to really kind of hit home on the fact that this pre-  
18 departure abbreviated Appendix D, as I kind of put down there --  
19 again, I just kind of copied and pasted a whole bunch of stuff --  
20 it is not -- this is all it's looking for in Appendix D, versus  
21 that.

22 DR. JENNER: That is the Part 215?

23 MR. AROUCA: Yes.

24 DR. GARCIA: Right. So it's this list of --

25 MR. AROUCA: Yes. That's the abbreviated.

1 DR. GARCIA: Roughly a dozen items compared to 90 -- did you  
2 say 90 plus?

3 MR. AROUCA: Um-hum.

4 MR. COX: Yeah, basically, in the abbreviated --

5 DR. BEATON: Steve, can I ask a question?

6 DR. JENNER: Sure, Bob. This is Bob Beaton.

7 DR. BEATON: David, thank you for these comments and insights  
8 as well. I just wanted to follow up on -- I mean, I appreciate  
9 you limiting the scope of our discussion to wheel bearings because  
10 it's most relevant to --

11 MR. AROUCA: Oh, we're not limiting.

12 DR. BEATON: -- your carman and --

13 MR. AROUCA: We just haven't gotten to the rest of this.

14 DR. BEATON: -- East Palestine. But I was hoping that maybe  
15 throughout the course of what you plan to talk about, you could  
16 touch on some of the other issues that carmen might catch when  
17 they have time and opportunity to inspect a car, such as in -- you  
18 know, we've got five or six accidents that have been identified by  
19 NTSB as sort of substantiation for why NTSB's looking at NS's  
20 safety culture -- Springfield, Ohio, Cleveland, Ohio, a few other  
21 ones. And some of these don't involve -- well, most of them don't  
22 involve wheel bearings, but, you know, things like freight --  
23 materials coming loose on freight cars and impaling another train.  
24 I would assume that's something a carman would include in their  
25 inspection. So any comments along those lines.



1           And David, I know I interrupted you. You started to say  
2 what's the evidence for all of this. That was going to be my  
3 second request, which is, you know, any data you have on the  
4 number of poor inspections or the number of improperly inspected  
5 cars, the number of improperly inspected, whether it's bearings or  
6 freight loads or what have you, that would be very helpful to us.

7           MR. AROUCA: Well, I'll start off by kicking it over to Jason  
8 really quick to kind of talk about some of the other things, you  
9 know, that the carmen would flag, even related to other recent  
10 derailments. But go ahead.

11           MR. COX: So -- and I appreciate that question and I'll  
12 highlight some of the things. You brought up Springfield. I  
13 actually participated in part of the investigation. I was there  
14 and I witnessed the aftermath of the derailment myself. And  
15 pertinent criteria to what you're talking about, a loose wheel on  
16 the axle would be something that a car inspector would be looking  
17 for. He would be looking for signs of that. That is part of a  
18 visual criteria.

19           Other visual criteria that could -- that a car inspector  
20 would look at would be the health of the train line trolley  
21 assemblies where the hoses are connected. Because if those bind,  
22 you have a -- you can have a hose separation and an unintended  
23 emergency application of the brakes, which also has been in recent  
24 news, that if the makeup of that train is unbalanced and you have  
25 an emergency brake application, you can take cars off the rail.

1 You know, due to the fact you got 18 loads on the rear or 6  
2 empties in the middle, and these trains are 200 cars plus now,  
3 getting there. We're seeing forces applied on trains that we've  
4 never seen historically.

5 Another thing you would look at on these freight cars would  
6 be the draft system and the couplers themselves. If the draft  
7 system is broken or inoperative, you end up with buffering forces  
8 and slamming between two sections of railcars that you would not  
9 normally see. If you end up with a separation of that train due  
10 to those conditions -- again, historical examples can be cited.  
11 The train separates, the emergency brake application applies, the  
12 rear end does not -- or the front end does not slow as quickly as  
13 the rear end is trying to, and they separate and they pull apart,  
14 and then the rear end catches up and the train basically runs into  
15 itself and causes catastrophe.

16 Other things car inspectors are looking at, binding and  
17 fouling brakes. When you have binding brakes, they heat the  
18 wheels. Heated wheels pick up particulates from the rail, they  
19 also pick up particulates off of the brake shoes and cause a  
20 condition called built-up tread. As this tread builds up on the  
21 surface of the wheel, the wheel actually gets bigger, to the point  
22 that the flange that keeps the train car on the track will rise  
23 above the surface of the rail and the car rides off.

24 Or just not enough braking force in particular. I mean, if a  
25 car's health is properly gauged and properly maintained, if that

1 car -- if that train could have stopped 30 feet earlier, why would  
2 you not want it to stop 30 feet earlier?

3 So those are some examples I can outline for you there. Does  
4 that answer your question?

5 DR. BEATON: Yes, it does. Thanks very much, Jason. I  
6 appreciate that.

7 MR. COX: Okay.

8 MR. AROUCA: What was I going to go into next? Oh, evidence  
9 of a lot of this stuff. So -- so I'm going to hand you guys a  
10 couple of documents from Norfolk Southern. Now it is important --  
11 well, first I'll tell them what it is. This is a consist list.  
12 So this is basically a train in order as it's put together by the  
13 railroad. And then right after that, following it, is an internal  
14 inspection report, and all the numbers, the hand written numbers  
15 along the side correlate to the car's position in the train. So  
16 it's not -- and you'll be able to see 147006 in that train is car  
17 70. So 70, 147006. Got it?

18 As you can see, if you page through this document, there are  
19 cars sitting here right in the first one, 46,000 miles since last  
20 mechanical inspection; 44,000 miles; 19,000 miles, 30- -- this was  
21 the line of questioning in the hearing that Senator Peters was  
22 asking about, because this particular train travels from  
23 Portsmouth, Ohio up to Detroit -- actually Dearborn, I believe.

24 MR. COX: Dearborn.

25 MR. AROUCA: Yeah.

1 DR. GARCIA: So which train was this?

2 MR. AROUCA: Train 422. And you guys can take this document.

3 But even outside of that, and I'll -- well, I'll just kind of  
4 run through some of the -- you know, all of these blown mechanical  
5 inspections. And this is a mileage term here. You're looking  
6 at -- I mean, there was one 72,000 miles. I think there's 90,000  
7 mile in here somewhere. I mean, pretty absurd figures. And when  
8 I showed these to the operating crews, their minds -- their heads  
9 exploded. They were like, is this actually possible?

10 So why did we do this or how did we come across this? Well,  
11 a couple of weeks ago when Jason and I were talking, you know, we  
12 mentioned that -- you know, we had been talking about this  
13 particular issue, this 215 Appendix D issue, right?

14 And you had had a conversation, I believe, with an FRA  
15 inspector at the site of the Springfield derailment.

16 MR. COX: Yeah, the Springfield derailment.

17 MR. AROUCA: And you asked him, you know, if they're not  
18 being inspected the way the railroad's being operated today, if  
19 it's only getting an Appendix D at origination and it's running  
20 right on the main line the entire time from origination to end  
21 user, when is it ever getting a mechanical inspection, a full  
22 mechanical inspection? Because a lot of these trains that go --  
23 they just ping-pong between, you know, shipper and end user. And  
24 you asked that of an FRA inspector and he said, I have no idea,  
25 that's a very good point.

1 MR. COX: To quote him, "That's a good question."

2 MR. AROUCA: And so that's why we started looking for, you  
3 know, one train in particular that could be particularly  
4 egregious, and that's what this one is. It's a coke train out of  
5 Haverhill Coke Company. It travels up to -- travels from  
6 Cleveland Cliffs up in Dearborn to Haverhill Coke Company. This  
7 one's 105-car train. And as far as we're aware -- well, we are --  
8 I'll get to that in a moment. But the mileages here are just  
9 absurd. You would never -- I mean, you read the regs yourself.  
10 They're supposed to be getting a mechanical inspection every time  
11 a car is placed into a train. How is this -- in that sense, how  
12 is this appropriate at all? That doesn't make any sense.

13 And to Jason's point, when these regs were written -- and,  
14 sure, maybe they need updating with the current business model.  
15 When these regs were written, you were running into a rail yard  
16 every 100 miles or so, things getting interchanged, inspected,  
17 carmen all over the place with eyes on train cars. So there were,  
18 you know, these redundancies to create that level of safety. Now  
19 there isn't. So we provided that to the committee. We also  
20 provided it to a couple journalists who are running it down as  
21 well as the FRA.

22 Norfolk Southern came back to one particular publication and  
23 has pushed back and said this is an outdated system, an older  
24 system, it's only used at a few terminals and doesn't represent  
25 some of the inspections that it receives elsewhere in the system.

1 Our guys really challenged that concept. You know, our union  
2 knows exactly where our carmen are. And basically we have never  
3 heard of this train ever getting any inspections. You know, we  
4 had a -- you know, once we heard that back from NS's pushback, we  
5 went back and said, hey, really make sure nobody's inspected this  
6 train. And sure enough, there's like one guy, one carman  
7 somewhere along the line who has been inspecting this train but  
8 only since East Palestine. Before that, there were no inspections  
9 of this train, 422 -- or 423, I think, which is the empty train.

10 MR. COX: 422 is the loaded train; 423 is the empty train.

11 MR. AROUCA: Um-hum. So that's one thing. I mean, it's  
12 clear or it's -- you have to remember that there are no mileage  
13 requirements for inspections, for mechanical inspections because  
14 they never really conceived that it wouldn't get a mechanical  
15 inspection, you know, the way the network was built before.

16 Now, you know, with this train in particular, they even have  
17 an internal policy regarding it that says that all these train --  
18 all these cars should get a mechanical inspection every 3500  
19 miles. They're wildly blowing that in itself. Not to mention the  
20 actual FRA regulation, that they can get fined out the wazoo for,  
21 mileage since last brake inspection. That's supposed to be every  
22 1,000 miles or every 1500 if it's deemed an extended haul train.  
23 And they're blowing lots of those, too.

24 So, you know, this is kind of -- a bit of a smoking gun.

25 DR. GARCIA: You said that the brake inspection is supposed

1 to be every how many miles?

2 MR. AROUCA: 1,000 or 1500 if it's deemed an -- designated an  
3 extended haul. But that's something they have to do with the FRA  
4 and, as you were telling me, they don't really do that anyway.

5 MR. COX: And it's interesting to note, and I hope we're not  
6 overloading you guys with data here, but --

7 DR. JENNER: That's all right.

8 MR. COX: -- it's interesting to note that just because you  
9 perform a brake test on the train, that that does not require the  
10 215 mechanical inspection. So, again, circling back to like I was  
11 expressing at the Springfield derailment, if your train is picked  
12 up and put together out on the line as you're picking up freight  
13 and the crew does the brake inspection and the Appendix D, when is  
14 it still ever required to get the 215 based on that business  
15 model? Again, good question.

16 MR. AROUCA: This is a similar document. That is where they  
17 took an actual just train consist list and literally highlighted  
18 all of them that are in the inspection report after the fact.  
19 This is a broader inspection report that has cars from three  
20 trains all pulled out of a similar location.

21 DR. JENNER: Right. Just to identify it, you have  
22 handwritten Trains 422/423/ -- J02?

23 MR. AROUCA: Yeah, I believe it was J02.

24 DR. JENNER: Okay. Thank you.

25 DR. GARCIA: And this is Document 6? Okay. So what is this

1 again?

2 MR. AROUCA: Sorry. Same internal Norfolk Southern from the  
3 CTMS system. It's a inspection tracking internal report system.  
4 As you can see, we pulled -- it was pulled very recently. It was  
5 pulled the day before the hearing, actually.

6 DR. BEATON: Do those reports exist in any place outside of  
7 the NS internal software system? I mean, are they provided to the  
8 regulator or --

9 MR. AROUCA: I believe they have to furnish them upon  
10 request. But they don't really -- I mean, I was talking to Jason  
11 about this earlier, that the traincrews will just kind of write  
12 these slips up and -- paper and just kind of chuck them later  
13 oftentimes. They do have an alternate, like a different system  
14 for their broader network, I believe, called Fiori or Fiorae or --

15 MR. COX: That's primarily mechanical driven though, nothing  
16 that the traincrews use.

17 MR. AROUCA: Right. Sorry. But I'm talking about for  
18 inspections.

19 MR. COX: Oh, yes.

20 MR. AROUCA: Yeah. So it is possible that, you know,  
21 we're -- they're right and all those cars are getting inspected by  
22 some magical carmen that don't exist on some other, you know,  
23 alternate system. But at this point, especially since this has  
24 now been pointed out to them, I'm sure they're -- well, I wouldn't  
25 put it past them to be doing some backend editing.



1 So that is one particular issue. And the other --

2 DR. JENNER: Okay. Can I just --

3 MR. AROUCA: Absolutely.

4 DR. JENNER: This is Steve Jenner. I just have a few  
5 questions for clarification or just to elaborate. You had  
6 mentioned, I think your words were -- when you were describing the  
7 reduction of time to inspect cars from 3 minutes pre-PSR down to 1  
8 minute to per car, you mentioned trying to push back in the  
9 industry to no avail. Can you walk me through how you were trying  
10 to --

11 MR. AROUCA: That's where I'm going to.

12 DR. JENNER: Okay. Well, then let's hold off on that answer  
13 for a second. Pre-PSR, what was the time you had to inspect cars?

14 MR. COX: You were looking anywhere from 3 minutes to 3.7  
15 minutes. Now, mind you, that's based on a average. Because in  
16 real life as an inspector, if you approach a gondola that has  
17 bowed sides and was built in 1975, you're going to spend a lot  
18 more time than 3 minutes looking at that car than the one that was  
19 built and put into service last month and you can still smell the  
20 paint curing. So --

21 DR. JENNER: Right.

22 MR. COX: But, yeah, on average, 3, 3.7.

23 DR. JENNER: All right. That timeframe, was that adequate?

24 MR. COX: I believe it was, having done the job myself under  
25 those standards.

1 DR. JENNER: Okay. Could your people inspect cars adequately  
2 in less time than 3 minutes? What is -- let me ask it again.  
3 What is the minimum time that you feel is necessary for an  
4 adequate inspection?

5 MR. COX: If you were really moving, I mean, really getting  
6 it, you're probably looking at 2.5, 2.8 minutes per car without  
7 missing something. I mean, because at the end of the day, as you  
8 shorten those times and you expect faster and faster car  
9 inspections, you are adding the probability that you're going to  
10 look over something.

11 DR. JENNER: Okay. Thank you.

12 DR. GARCIA: What's the -- just to jump in. What's the  
13 average number of cars that an inspector would inspect per day or  
14 per hour? Is this a continuous loop? Is that all that's done or  
15 is it just when a train comes in or goes out?

16 MR. COX: Well, you would have trains coming in and you would  
17 also have trains going out. You would have inbound operations and  
18 outbound operations. So when you're inspecting freight cars, a  
19 car inspector would be looking at about 150 to 200 cars. That  
20 would be one inspector.

21 DR. GARCIA: For one train?

22 MR. COX: For possible multiple trains. If it was on the  
23 inbound, you got to remember how trains -- well, you got to have  
24 a -- I'm sorry. You have to have an understanding of how trains  
25 are built. So have you ever seen like videos of the post office

1 where they take the letters and they go down the different chutes  
2 and --

3 DR. GARCIA: Right.

4 MR. COX: -- go to the different destinations? Freight cars  
5 are the exact similar way. The inbound train comes in. It might  
6 have cars in it for several destinations. You switch them out,  
7 you mix them up, they go off into their individual trains. And  
8 then the outbound operation, the carmen, they lace the air hoses,  
9 they do the air brake inspections, and the drafting/coupling  
10 inspections, and then that train is departed. Does that answer  
11 your question?

12 DR. GARCIA: Well, I'm trying to get a feel, you know, for  
13 workload. So you talked about, you know, doing one car in this  
14 amount of time. But is that just one item that he does and then  
15 he goes and does paperwork for the next 3 hours, then he has to  
16 get out and hustle to do another car? That's --

17 MR. COX: Oh, when I'm talking about --

18 DR. GARCIA: -- an exaggerated example, but --

19 MR. COX: Okay. I think I understand what your question is  
20 then. When I talk about the 3 minutes per car, that is just for  
21 inspection. That's not you take 2½ minutes to do your car and  
22 like 30 seconds is spent doing the paperwork for it or something  
23 like that. I'm talking about strictly inspection.

24 MR. AROUCA: I mean, her -- she's probably also, correct me  
25 if I'm wrong, but asking about like what does the rest of the day

1 look like for a carman? You know, he's not -- is he just sitting  
2 there inspecting cars nonstop or does he do that and he goes and  
3 chills and does paperwork for an hour so he's off his feet? Like  
4 that's, I think --

5 DR. GARCIA: Right.

6 MR. AROUCA: -- what she's trying to figure out, how tired,  
7 how exhausting is this job.

8 MR. COX: Oh, the current yard operations, even the yard  
9 operations before, you would just inspect your cars. The  
10 paperwork side of it would usually be a specialized bid job.  
11 Like, for instance, when I was in the craft, one of the  
12 specialized jobs that I had was the form billing to car owners.  
13 When we would repair cars, you would get in the computer, you  
14 would enter in the appropriate codes and you would bill that, and  
15 that would be what you did all day long as your other 8 to 12  
16 counterparts were out there inspecting and repairing the cars.

17 DR. GARCIA: Okay. So basically you're on your feet out  
18 there in the yard inspecting cars from the moment you come in to  
19 the moment you depart?

20 MR. COX: In the rain, in the snow, just like the mailman.  
21 You know, you're out there in the elements, you're doing your job.

22 DR. GARCIA: Thank you.

23 DR. BEATON: So, Jason, let me follow up with a question that  
24 Steve and Anne were beginning to ask you there. This 3 minutes,  
25 give or take, per car, this inspection would typically take place

1 in a yard as opposed to out on the road? Excuse me.

2 MR. COX: Correct.

3 DR. BEATON: I'm down in southwest Virginia where things are  
4 beginning to bloom and my allergies are kicking up.

5 So that 3 minutes, when you said earlier 90 points of  
6 inspection per side per car, that suggests to me that a carman  
7 inspecting a car in the yard is probably at a fast walking pace  
8 looking for open and obvious failures on -- mechanical failures,  
9 or as you called them, visual signs, I think earlier, of a  
10 failure. So if the failure was for whatever reason not apparent,  
11 maybe because it's dark or not in a well-illuminated section of  
12 the yard or it's raining or wind is blowing, there's a -- I would  
13 assume more time would be required to do an adequate inspection to  
14 stop, look, carefully examine, maybe double check yourself, is  
15 that really grease or is that dirt on the bearing or grime on a  
16 wheel. So it seems to me that to do an adequate inspection, that  
17 3 minutes grossly underestimates the total amount of time that's  
18 really required per car. And that doesn't include necessary  
19 activities like walking to the car or climbing over the trash  
20 that's on the wayside or what have you. It --

21 MR. COX: Or walking the distance of the car to get to other  
22 end.

23 DR. BEATON: Yeah, yeah. And, you know, and then I assume  
24 that they're walking one side, they go to the end and cross over,  
25 and then they do the same thing coming back, as opposed to going

1 in between the cars and inspecting both sides and then moving to  
2 the next car.

3 MR. COX: Or sometimes you work in teams. You have a car  
4 inspector on each side.

5 DR. BEATON: Okay. All right. Good. I'm just wondering,  
6 you know, how realistic is this 3 minutes? I mean, where does  
7 that number come from? Did somebody get out there and just do a  
8 stopwatch study on a skilled inspector working --

9 MR. COX: We're getting to that.

10 MR. AROUCA: We're getting there. We were just about to get  
11 into the inspections part.

12 DR. JENNER: Right. Before we interrupted you.

13 DR. BEATON: That's a subtle way of telling me to --

14 MR. COX: No, it's good. It shows critical thinking, that  
15 you're following what we're saying.

16 MR. AROUCA: Yes. So --

17 DR. JENNER: But I do have a couple more questions.

18 MR. AROUCA: Okay.

19 DR. JENNER: Because you raised interesting issues.

20 MR. AROUCA: Um-hum.

21 DR. JENNER: You said something along the lines of the way to  
22 reduce to time is through abbreviated car inspections.

23 MR. AROUCA: Yes.

24 DR. JENNER: But the solution was getting rid of carmen.

25 MR. AROUCA: It's both.

1 DR. JENNER: How does getting rid of carmen reduce the time?  
2 What's the correlation? What's the connection?

3 MR. AROUCA: Because the regulation states that at a location  
4 where a designated inspector, a/k/a a carmen, is present, they  
5 should be the one performing the inspection, and then they do a  
6 full mechanical inspection.

7 DR. JENNER: All right.

8 MR. AROUCA: Versus if they're not, then the traincrew can do  
9 their abbreviated.

10 MR. COX: The Appendix D.

11 DR. JENNER: I see.

12 DR. GARCIA: So that's the -- the conductor, for example,  
13 would get out and do the 12-item list instead of the 90-item list  
14 that the qualified inspector would do?

15 MR. AROUCA: Correct.

16 MR. COX: Correct. Your conductor, he's basically -- to  
17 simplify it: Are the wheels on the track? Yes, they are. Is the  
18 car not leaning? No, it is not. Is it coupled adequately? Yes,  
19 it is. Okay, I can take this car and go. Whereas, a car  
20 inspector, he's going to be looking at the freight car and, based  
21 on his knowledge and years of experience, he is going to be  
22 assessing the overall health and performance of that freight car.

23 For instance, one sign -- as a car inspector, when you look  
24 at the trucks where the wheels are on these cars, if I were to  
25 see, let's say, a shining effect, where it looks like the springs

1 are vibrating or rotating in their assemblies, that tells me that  
2 the trucks are doing a condition which is called hunting. And  
3 basically, the side frames look like this as they're going down  
4 the rail at 70 mile an hour trying to meet each and the car's  
5 literally trying to vibrate itself apart. That's something a car  
6 inspector would know that a trainman would not.

7 DR. JENNER: Got it. Thank you.

8 Two more. Do you, TCU, do they have a suggestion about how  
9 many miles -- if there were a standard or a regulation, how many  
10 miles can a car travel before it should go to a higher level of  
11 inspection? I mean, right now there is no mileage criteria.

12 MR. AROUCA: Mechanical, yeah.

13 DR. JENNER: Right.

14 DR. GARCIA: Brake it's a 1,000 or 1500.

15 DR. JENNER: Right. Do you have suggestions -- not you  
16 personally, but, you know, the industry?

17 MR. AROUCA: We -- I don't know personally, and I don't know  
18 if you guys do, but --

19 MR. COX: I might have a suggestion.

20 MR. AROUCA: Yeah, go ahead.

21 MR. COX: So, you know, there's criteria set on the mileage  
22 that is required in order to perform a brake test, like David said  
23 earlier, 1,000, 1500. I don't think it's unreasonable that the  
24 mechanical inspections should somehow also be linked with the  
25 brake test. You're looking at the cars anyway, so why wouldn't



1 you do the full mechanical inspection? That seems perfectly a  
2 reasonable compromise. Or if they're doing the Appendix D because  
3 the car is coming from a shipper, then at some point, maybe at the  
4 next terminal along the way, do it there. Of course, you would  
5 have to be careful how they do that, because knowing the  
6 railroads' mind-set, their solution to the problem would be sell  
7 all the terminals. So, I mean, but --

8 MR. AROUCA: Yeah. I think Don had an idea, whenever there's  
9 a crew change after picking up a shipment, is usually -- where  
10 there are crew changes it's at a place where there tend to be  
11 carmen. You know, that might be a good placement for how to  
12 actually tackle this in the PSR era. You know, I -- somebody's  
13 got to figure it out, and it makes -- all we know is what's going  
14 on right now is not adequate by any means.

15 DR. JENNER: Fair enough.

16 MR. AROUCA: Yeah.

17 DR. JENNER: And what --

18 DR. GARCIA: We have about half an hour left.

19 MR. AROUCA: Sure.

20 DR. JENNER: I can go further beyond that. So at some point  
21 if you would comment on the FRA safety advisory, what your thought  
22 is about that? So you can do that now or you can do that some  
23 other point.

24 MR. AROUCA: The one talking about the bearings?

25 DR. JENNER: That came out after Palestine, yeah.

1 MR. AROUCA: I'll talk about that later.

2 DR. JENNER: Okay.

3 MR. AROUCA: I feel like --

4 DR. JENNER: All right. I'm done interrupting you.

5 MR. AROUCA: -- we really want to get into --

6 DR. JENNER: Yeah.

7 MR. AROUCA: Yeah. No worries. So here is a few time  
8 studies beginning in 2014, so pre-PSR Norfolk Southern, showing --  
9 and this is from Engage. They're an outside third-party group  
10 that was contracted by Norfolk Southern to do these periodic time  
11 studies. And by the way, it's very hard for us to like get  
12 documents out of the railroad.

13 DR. GARCIA: Right.

14 MR. AROUCA: It is like, you know, smuggling out of the CIA  
15 sometimes. It's very difficult.

16 MR. COX: People are literally putting their careers on the  
17 line to do it.

18 MR. AROUCA: That's -- correct -- 3, 3½ minutes in the  
19 outbound/inbound inspections. You might have a longer one on one  
20 versus the other depending on where they decide to do the  
21 mechanical inspection, either on the inbound or the outbound.

22 Am I right in saying that?

23 MR. COX: Yes.

24 MR. AROUCA: Yeah. So, as you can see, 2014; 2017, 3, 3.6;  
25 2018, 3, 3.6 again. That's just a continuation of the other one.

1 And 2019, just 3 months after they announce their implementation  
2 of PSR, we're already down to 2.5 and half a minute. And that  
3 continues into 2020, until we reach 2022.

4 This is Norfolk Southern's -- I know it's tiny and I really  
5 apologize -- this is their own internal score card. This is a  
6 great document, by the way, because it shows, and I highlighted  
7 here, inbound man minutes per car, outbound man minutes per car.  
8 They're down to 1.1 and 1.7. So this -- it's important to say,  
9 look, this is -- I believe this was one -- is this one yard? The  
10 Engage?

11 MR. COX: Yeah, that's -- yeah.

12 MR. AROUCA: But representative of like where they were at  
13 the time as a company. And you can see all of these different  
14 yards along here where their different times are. And it doesn't  
15 mean like that's their policy necessarily. This is the actual  
16 results. This is like their report card, right?

17 This is their policy that was shown at the hearing, blown up  
18 by Senator Cantwell.

19 MR. COX: This should open your eyes.

20 DR. JENNER: This is the Train Inspection Class Brake Test  
21 Yard Air for Locomotive.

22 DR. GARCIA: Document 9.

23 MR. AROUCA: As you can see down here highlighted in blue, it  
24 clearly states -- and this is what's called a standard work  
25 document in Norfolk Southern. Any employee wondering how to do

1 certain tasks, they can pull these up in their internal system,  
2 print them off or look at them or whatever. Obviously this is  
3 kind of a snapped photo. Everything here is just like, you know,  
4 leaked snapped photos.

5 DR. JENNER: Right. So we'll be sensitive to all these.

6 MR. AROUCA: Yeah. And furthermore, this is an email from  
7 senior general foreman of the Dearborn Division for Norfolk  
8 Southern from --

9 MR. COX: Destination where that train goes.

10 MR. AROUCA: Yes. Actually, yeah, the destination.

11 MR. COX: I just noticed that.

12 MR. AROUCA: And "These numbers show we are slacking off in  
13 the train yard. Have no need for more help though we are  
14 struggling to keep up. Not good at all. The latest plan calls  
15 for 90 seconds on both the inbound and outbound. No, we can do  
16 better than that. Let's make this happen." This is August 2020.  
17 Again, showing further pressure to inspect cars in less and less  
18 time.

19 And final thing that I would want to show you guys is a video  
20 that one of our guys took showing a local manager threatening  
21 discipline if they don't get their inspection times down.

22 (Video played)

23 (Conversation while video is playing)

24 DR. GARCIA: Can you see that?

25 DR. BEATON: I can (indiscernible). Yes, I can see it.

1 MR. AROUCA: We redacted the rest of the audio and just kind  
2 of subtitled it to protect the guy's identity -- could probably  
3 read the subtitles.

4 (Video ended)

5 DR. JENNER: Okay.

6 DR. GARCIA: What level manager is that?

7 MR. COX: Senior general foreman, the highest on-property  
8 manager you can get for mechanical operations. And he's referring  
9 to, in his statement, his bosses are telling him to do this. So  
10 right there is an immediate link to railroad-wide policy, not just  
11 some rogue single manager.

12 MR. AROUCA: Right. And --

13 DR. GARCIA: Can we get a copy of the video?

14 MR. AROUCA: Yes. Can it not be shared? Can it be -- can it  
15 remain private to the NTSB?

16 DR. JENNER: We're going to have to verify that with our  
17 people. I'm unclear of that.

18 MR. AROUCA: A little background on this. We put it out  
19 there on Twitter initially and, you know, the guy knew what we  
20 were doing with the video, we intended to show it Senate Commerce,  
21 we got it kind of late. And then I think he had some buyer's  
22 remorse. Somebody on the property asked him a question about it  
23 and he felt scared, and so he asked us to take it down. So we  
24 have taken it down, but my bosses told me I could, you know, show  
25 it to you guys as part of this meeting.

1 DR. GARCIA: Thank you.

2 MR. AROUCA: Yeah. I'll -- yeah, if you can figure out  
3 whether or not this can remain private, I think that'd be great.

4 MR. COX: The retaliatory nature of this industry cannot be  
5 underexaggerated. And I hope you can understand that.

6 DR. JENNER: I do.

7 DR. BEATON: Yeah, I just want to be clear, David and Jason,  
8 I mean, all NTSB investigations are done with a party system. So  
9 we would not be able to guarantee that parties to the East  
10 Palestine investigation would not have access to this. We do have  
11 a mechanism for official use only, and Steve and Anne can talk to  
12 our general counsel about what can we offer for restricted access.  
13 But, in general, parties have access to any information that we  
14 gather throughout the course of the investigation.

15 MR. AROUCA: So Norfolk Southern, their counsel would be able  
16 to see this?

17 DR. GARCIA: No, not if we get permission from our general  
18 counsel to make it restricted access for official use only.

19 MR. AROUCA: Gotcha.

20 DR. GARCIA: And we don't want to accept it until we have  
21 that from them.

22 MR. AROUCA: Noted. Okay.

23 So a couple -- this is now, I think, pretty -- this is about  
24 a mountain of evidence as it comes to, you know, forcing of these  
25 inspection times to get down and down and down and down. And this

1 was not commonplace before PSR kind of invaded the industry. It  
2 was not commonplace in Norfolk Southern, obviously, as you can  
3 see.

4 MR. COX: Can I expand on something real quick?

5 MR. AROUCA: Absolutely.

6 MR. COX: To -- it just dawned on me in realization of a  
7 question you asked earlier about the fatigue of the carmen  
8 workers?

9 DR. GARCIA: Right.

10 MR. COX: When they engaged in this practice and this policy  
11 and they were getting rid of the carmen, the carmen that were  
12 left -- and I didn't have access to documents on CSX, but like --  
13 or from NS, but from CSX I showed that this business model runs on  
14 like a 30 percent overtime. Because if I can lay off a third  
15 employee and get the other two employees to pick up overtime to  
16 cover him, I don't have to pay his retirement or pay his other  
17 benefits and I can work the dog out of these two --

18 DR. GARCIA: Right.

19 MR. COX: -- to make up that difference. And I have  
20 numerous, numerous, numerous complaints about forced overtime, 16  
21 hours a day, 5 days a week, put to paper where our guys are  
22 saying, I'm so freaking tired I can't see straight, let alone look  
23 at a car.

24 DR. GARCIA: Do you know if this is specific to a yard,  
25 specific locations, or is it throughout Norfolk Southern or

1 throughout the industry? What's your thought?

2 MR. COX: Throughout the industry. But, yes, Norfolk and  
3 Southern engaged in it just like anyone else.

4 DR. GARCIA: So, again, if you have -- do you have access to  
5 time cards or the hours worked?

6 MR. COX: If those individuals will supply them to me, I  
7 would be more than happy to try to get them for you.

8 DR. GARCIA: Okay. But that's the type of evidence that  
9 would be useful. And what is the --

10 MR. COX: Would it work if it had a name redaction?

11 DR. GARCIA: I would think so. Employee 1, Employee 2.

12 MR. COX: Okay. I'll have to see what I can do about that.

13 MR. AROUCA: The -- yeah, he's spot on. We did a -- in 2019,  
14 we began doing this. We put out a survey of our own, a PSR safety  
15 survey, and started collecting a lot of responses. We didn't  
16 leave it out there for too, too long. Our goal was to try to  
17 submit it as part of testimony for a state of the railroad  
18 workforce hearing in, I believe, of June of 2019. And we did, we  
19 submitted it there, and there were a lot of these submissions, a  
20 lot of these comments about, you know, just being worked to full  
21 exhaustion. And I've heard that from Jason, I've heard it from  
22 our other reps on the other properties, that --

23 DR. GARCIA: Was there a report from that survey?

24 MR. AROUCA: Yeah. You know, as much as I could.

25 DR. GARCIA: Yeah. Could we have that?



1 MR. AROUCA: Yeah. I'm going to -- I'll note to send you  
2 that.

3 MR. COX: And to link this into the business practices and  
4 the safety culture, in general, there are multiple statements out  
5 there where the carmen would report -- and I don't know if they  
6 submitted it in that survey or not, but they would report, well,  
7 they're telling us they won't work us all the extra overtime if we  
8 just stop loading the repair track with bad order cars. In other  
9 words, you know, play ball with us and we'll play ball with you.

10 MR. AROUCA: Right, stop finding defects. That's kind of  
11 messed up.

12 The last thing I do want to note, especially because it's  
13 pertaining -- and you can speak to this better than I can --  
14 across the industry, pre-PSR, there were these labor-management  
15 safety committees. It was a great forum for employees to be able  
16 to voice their issues, whether it's, you know, yard specific or  
17 industry specific, and I think each of the railroads had different  
18 versions of them. But one by one, as PSR invaded the industry,  
19 they all got wiped out. That's another thing that is so  
20 unbelievably stupid in my mind, why you would get rid of these  
21 things.

22 We have heard since, through the grapevine, that, you know,  
23 one of the reasons why they didn't want to do them anymore is  
24 because they felt it opened them up to further liability in FELA  
25 claims if a safety issue was brought to their attention and they

1 didn't do anything with it. I think I mentioned that on the phone  
2 the other day. It still, you know, boggles the mind. But this  
3 is, again, not just NS, but every railroad has done away with  
4 them. And I -- it's so very frustrating.

5 Do you want to talk about how NS's safety committee was in  
6 particular?

7 MR. COX: Yeah.

8 DR. GARCIA: Now this is at what level union and NS  
9 management? At what level?

10 MR. COX: Local.

11 DR. GARCIA: It's all local? Okay.

12 MR. COX: All local, at all their locations as a matter of  
13 their policy. So what would -- under pre-PSR what would happen is  
14 you would have a safety committee man from, say, the car shop and  
15 local motor shop and the yard operation and the track repair  
16 operation and the signal operation, and they would all gather on a  
17 specific date in a conference room or something or the  
18 trainmaster's office and they would all talk about outstanding  
19 issues in the yard: Hey, we have a huge drainage hole that has  
20 formed between track such-and-such, you know, what can be done to  
21 get that repaired, what we can do to limit access, you know. And  
22 these were part of the culture for a very long time.

23 When precision scheduled railroading came down, that was  
24 looked upon as a waste of resources and expenditure that was not  
25 required. There were no more safety committees. There were no

1 more safety meetings. And these issues were not discussed in  
2 general because no repairs were being done unless it was  
3 immediately necessary, you know. Nothing was fixed unless it  
4 actually got to the point that it broke.

5 DR. GARCIA: Now it was about a year plus ago when Norfolk  
6 Southern implemented their risk reduction program that the FRA  
7 required to be implemented, and it mentioned safety committees in  
8 there that the unions participate in.

9 MR. COX: Those went away.

10 DR. GARCIA: Those went away?

11 MR. COX: Those went away. Those safety committees --

12 MR. AROUCA: Those safety committees. The ones from the risk  
13 reduction program, we were talking about this earlier, it hasn't  
14 been an engagement operation. It has been a "this is what we're  
15 doing."

16 MR. COX: So they would have -- and I participated myself in  
17 these. They would have a online conference meeting and you'd log  
18 onto the meeting and it wasn't a what should we do to implement  
19 this; it was this is what we're going to do.

20 MR. AROUCA: I was actually on one of those and I was like,  
21 is that it?

22 MR. COX: Right. Right.

23 MR. AROUCA: It was like -- it was a joke.

24 MR. COX: And there was pushback from the organizations about  
25 it and things that were brought to light. And basically the

1 answer was, well, we've already submitted our structure for  
2 approval, we told you what we are going to do and this is how  
3 we're going to do it.

4 MR. AROUCA: Yeah. It was box checking 101. They have no  
5 actual --

6 MR. COX: That's a good way of putting it.

7 MR. AROUCA: No holistic look at these things. And that's  
8 why, you know, the elimination of these safety committees is just  
9 so utterly insane to me. I mean, this is -- you're dealing with  
10 unstoppable/immovable forces here in a very dangerous environment  
11 (indiscernible) rail industry.

12 DR. GARCIA: Right.

13 MR. AROUCA: And why would you not want to have just a bare  
14 minimum, a periodic check-in with your local workforce at a shop,  
15 a yard, what have you, to say, what's on your mind, guys, safety-  
16 wise? Anything we can do to improve? But the culture of the rail  
17 industry in the PSR era is not anywhere close to that. You know,  
18 it's just very crack the whip.

19 MR. COX: And I know this isn't on NS, but I'll share for  
20 context. In Chattanooga, Tennessee on the CSX line, there were  
21 positions at one end of the yard where they -- where people were  
22 stationed, that they would no longer station them after they cut  
23 the workforce back and everything else. And everybody was telling  
24 management that, hey, that's a vital position, they're looking out  
25 for train movements and everything else, without that guy there

1 someone could get killed. A carman who was finishing his track  
2 and dropped his lockout/tagout, which was what we call blue signal  
3 in the industry, was crossing the main connecting ladder of track  
4 to get to his work vehicle and he was ran over by a non-manned  
5 remote control locomotive in the exact scenario that they were  
6 told. He went under the plate of the locomotive.

7 DR. GARCIA: What was the location?

8 MR. COX: Chattanooga, Tennessee.

9 DR. JENNER: About what year was that?

10 MR. COX: I want to say 2019.

11 DR. JENNER: We may have done that.

12 DR. GARCIA: I think so. Chattanooga.

13 DR. JENNER: Do you recall if NTSB was investigating that  
14 incident?

15 MR. COX: Since it involved a fatality, I would assume.

16 DR. JENNER: Probably. Yeah, I recognize Chattanooga, so --  
17 yeah, we'll look into that, too. Thank you.

18 MR. COX: Um-hum. I mean, they're -- the ultimate  
19 investigation, for transparency, led to other contributing  
20 factors, but the main thing was, is without that person there  
21 watching that remote control locomotive, like they were told.

22 DR. JENNER: Right.

23 MR. COX: Regardless of any other outside factors that was  
24 involved with that individual, that individual could have been  
25 saved.

1 DR. JENNER: Something just I'm curious about. You just said  
2 ultimate investigation. What is the ultimate investigation?

3 MR. COX: When it was all said and done, I believe -- the  
4 individual, I believe, had intoxicants.

5 DR. JENNER: Okay. Let --

6 MR. COX: Oh, I'm sorry, the person who got killed.

7 DR. JENNER: Right.

8 MR. COX: But to my point, what I'm saying is, had that  
9 position been there --

10 DR. JENNER: Oh, no, I --

11 MR. COX: -- watching the remote control locomotive like had  
12 been done, a life could have been saved.

13 DR. JENNER: Right. No, that point's not lost on me. I was  
14 just --

15 MR. COX: Okay.

16 DR. JENNER: Right. I was just -- if you could talk about  
17 when there is an incident, about the quality of the investigation  
18 that goes on? Are they -- when their investigation is going on  
19 post-incident, are they looking to blame an individual? Are they  
20 looking to improve the overall system safety?

21 MR. COX: Well, that's --

22 DR. JENNER: If you could talk about that and if it's changed  
23 through the years? So I'll let you speak on that.

24 MR. COX: No, it has not changed through the years. As a  
25 matter of fact, in the scenario that I just talked to you, I

1 believe it was proven or outlined in that investigation that  
2 supervision gained access to the individual's lockers and  
3 automobile and everything else prior to the NST [sic] -- to you  
4 guys getting there, which from my understanding is a big you don't  
5 do that.

6 MR. AROUCA: Oh, I remember that. Yeah.

7 DR. JENNER: But not speaking specifically on that, but are  
8 you part of investigations? Are you ever part of someone gets  
9 injured and there -- is there investigation?

10 MR. COX: There's -- so particularly on the Norfolk and  
11 Southern line, if you experience an injury and it is reported,  
12 there will be a discipline hearing on you 100 percent of the time.

13 DR. GARCIA: If you report injury --

14 MR. COX: A discipline hearing, yes.

15 DR. GARCIA: -- there will be a disciplinary hearing?

16 MR. COX: There will be a disciplinary hearing. I've never  
17 known any railroad is as flagrant about that than the Norfolk and  
18 Southern is. And it's a blame, it's a finger-pointing mission, I  
19 guess would be the way -- best way I could describe it.

20 MR. AROUCA: What's the funny thing you said about that?  
21 What is the joke you guys have about that, about getting injured?

22 MR. COX: Not that I recall.

23 MR. AROUCA: I'll remember it later.

24 MR. COX: I remember when they made safety fourth.

25 MR. AROUCA: That's true.

1 DR. JENNER: Are there occasions where there are positive  
2 changes following an incident that you can cite?

3 MR. COX: Not that I'm aware of. I mean, my experience with  
4 it, it's all a finger-pointing expedition. It's the employee's  
5 fault. He's the reason, hey, this is -- it definitely wasn't the  
6 railroad's problem.

7 DR. GARCIA: What about when an unsafe condition is seen or  
8 believed might be occurring? Employees report that? There's a  
9 process to do that?

10 MR. COX: There's a process to do that, but there is very  
11 little engagement right now because of the retaliatory culture  
12 that I've alluded to previously.

13 DR. GARCIA: So is there an anonymous system? I know that  
14 Norfolk Southern and Class I's just signed up for the NASA one,  
15 the CS --

16 MR. AROUCA: C3RS.

17 MR. COX: So if there's an anonymous system to coming to  
18 light, that would be a nice improvement. But there's been a lot  
19 of reluctance to participate in that because if you throw your  
20 name out there, you are the thorn in the side, you are the man who  
21 is looked at. And you will be looked at in such a way that they  
22 will tell you they are looking at you, they will let you see them  
23 looking at you, to make you nervous enough to get you making a  
24 mistake. They will watch you until you make a mistake.

25 MR. AROUCA: The carmen are particularly unique in that



1 respect. It is very -- I don't think a lot of other crafts  
2 necessarily have -- I mean, perhaps some of them do, but as you've  
3 seen from what the carman job is on a daily basis and knowing what  
4 we're legally held to out there on the property, like legally have  
5 to make sure everything -- it is very easy -- if you put a target  
6 on your back, it is incredibly easy for them to discipline you in  
7 the week following. All they have to do is walk around and make  
8 sure you miss a safety handhold or whatever. They write you up,  
9 you know, and say, well, you missed all this stuff. You know,  
10 they're the ones forcing you to miss all of it or even often  
11 telling you to take the -- rip the bad order tags off. I mean,  
12 it's really -- that's why it's so hard, so rare to get a lot of  
13 this stuff out. These guys are very, very scared in a lot of  
14 respects.

15       And the other thing I do want to make mention of and I'll be  
16 super duper fully honest with -- and you know this and every  
17 single one of my other -- the other carmen reps tell me this all  
18 the time, our guys do not necessarily see -- and it's highly  
19 dependent on property -- do not see the FRA rank and -- their  
20 field folks as their friends. They do not see them as their  
21 friends. They see them as friends of the bosses. Oftentimes they  
22 show up on these properties, the local inspectors, they spend  
23 about 20 minutes in the shop and then they all go to lunch with  
24 the management. It is incredibly too comfortable, in my opinion,  
25 for a regulator to be that close to those who he regulates, he or

1 she.

2 We have had issues where our guys have raised issues through  
3 us all the way to the top of the FRA to the head of the safety  
4 office. We have issued complaints, and then 2 days later, our  
5 local chair in that yard has an angry voicemail from his manager  
6 saying whoever keeps calling the FRA, he's got to stop.

7 So I'm frustrated, and that's not -- you know, that's a one  
8 anecdotal thing, but that's the culture that a lot of our carmen  
9 see. And again, it's highly dependent on the yard and on the  
10 inspectors themselves. Some of them great, but a lot of them, you  
11 know, it feels very revolving door-ish, you know, where they're  
12 just way too tight with the industry and, you know, you issue --  
13 they're supposed to be the ones that when you have a safety issue  
14 you can go to them and say this isn't good what we're doing here,  
15 this isn't the right way to run things, etc., etc. They can't. I  
16 mean, the environment is such that a lot of the shops, a lot of  
17 yards, these carmen do not feel at all okay talking to the FRA  
18 when they show up, because they'll just have a target on their  
19 back the following week. And if it isn't the following week, it's  
20 a couple of months the road. You know, it'll wait till there's  
21 not a direct cause and effect, you know. And maybe if the -- you  
22 know, they'll wait until the, you know, the DOL changes over, you  
23 know, they're not interested in, you know, pursuing OSHA claims.  
24 You know, they'll wait, but they will get theirs and that  
25 retribution will be swift. And it's just tough.

1           So, I mean, that's why it's very hard. I feel like I've  
2 presented you guys kind of quite a bit of information now and I  
3 haven't even talked about the other railroads, regarding the  
4 pressures on inspection times, and yet, the chief safety officer  
5 at the FRA apparently is still walking around saying, yeah, it's a  
6 lot of perception, it's a lot of perceived pressure. I don't know  
7 how much more evidence I can provide our government that this is  
8 happening out there and that it's an inherently unsafe practice.  
9 Like this is a safety inspection, it's a mechanical inspection and  
10 it's principally about safety. So why are we placing time  
11 constraints, especially really restrictive time constraints?

12           And, you know, that's what the hearing was about, a lot of  
13 the back and forth. And particularly, Senator Vance asked Clyde  
14 Whitaker, the conductor guy, about, you know, inspection times,  
15 and Vance asked Ian Jefferies, the president of AAR, whether he  
16 thought 30 seconds to inspect a railcar was enough time. And even  
17 Ian said, that doesn't seem like a lot of time to do an in-depth  
18 inspection. I mean, duh.

19           MR. COX: And it's really convenient for the railroads to  
20 turn around and promulgate 30 seconds a side on a railcar and  
21 then, if something is missed and they're taken accountable to it  
22 because something was missed, to come back and scapegoat the  
23 inspector for missing it.

24           DR. JENNER: Um-hum. Sure.

25           MR. COX: They have their cake and eat it, too.

1 DR. JENNER: Sure.

2 DR. GARCIA: We've been going for an hour and half now. I  
3 need to move my car.

4 DR. JENNER: Okay.

5 DR. GARCIA: If we can continue?

6 DR. JENNER: Yes.

7 DR. GARCIA: Because 4 o'clock it turns -- so do you want to  
8 take a break?

9 DR. JENNER: Sure.

10 MR. AROUCA: Sure.

11 DR. JENNER: Well, let me ask you before we do. How much  
12 longer do you --

13 MR. AROUCA: We're almost -- I think we're almost done,  
14 unless you guys, unless you guys -- it depends on how many follow-  
15 up --

16 DR. JENNER: I don't have any follow-ups.

17 MR. AROUCA: -- questions you guys have.

18 DR. JENNER: You've been very clear about that. So let me  
19 just throw it the people --

20 DR. GARCIA: I'm good.

21 DR. JENNER: -- to Mike and Bob.

22 DR. HOEPF: Yeah, thanks. You know, I've got a few follow-up  
23 questions that I could ask, you know, if -- Anne, if you want to  
24 hit the road and we can follow up as an entity. Or --

25 DR. GARCIA: Well, no, I don't want to --

1 DR. HOEPF: -- you know, if you just want to close it down  
2 now today --

3 DR. GARCIA: Sorry, Mike. I don't -- Mike, I don't want to  
4 cut you off, but I want to be here for the entire interview. So  
5 if it's going to take more time, then we can just take a break and  
6 I'll go move my car and come back.

7 DR. HOEPF: Okay.

8 DR. GARCIA: So, Bob, what are you thoughts?

9 MR. AROUCA: Are you on a metered spot?

10 DR. BEATON: Well, I do have --

11 DR. GARCIA: No, but the street had a sign up that said 4  
12 o'clock to have your car moved.

13 DR. BEATON: -- I'd like to follow up on and, you know, if I  
14 can get 10 minutes, I think I can get through it.

15 DR. GARCIA: Well, let's take a break. We'll take a break --

16 DR. JENNER: We'll pause.

17 (Off the record.)

18 (On the record at 4:02 p.m.)

19 DR. JENNER: Okay. We're back on the record, and it is 4:02  
20 p.m.

21 MR. AROUCA: So one thing I wanted to make sure that you guys  
22 had were a few documents that show -- and I know this is your --  
23 perhaps outside of the scope of your investigation into the safety  
24 culture of specifically Norfolk Southern, but to show that it's  
25 commonplace throughout the industry as PSR has invaded the

1 industry, this is a memo from a Union Pacific shop foreman at  
2 Proviso Yard in Chicago to its carmen detailing new instructions  
3 on time limitations regarding inbound and outbound car  
4 inspections.

5 We also have a time claim dating back to 2016 when PSR was  
6 just invading CSX, and the --

7 I mean, this is -- we're okay with submitting this, right?

8 MR. COX: Yeah.

9 MR. AROUCA: Yeah. It allows us -- I mean, this is kind of  
10 the first time we were really trying to fight against this, you  
11 know, when it invaded the DUS Class I's, and -- or the Big Four, I  
12 guess, and details the 1-minute per car directive from the company  
13 as well.

14 DR. JENNER: And the title of this?

15 MR. AROUCA: That is a time claim, so it's a claim that the  
16 Brotherhood of Railway Carmen filed with the company challenging  
17 their -- you can speak more to that document, right?

18 MR. COX: Yes.

19 MR. AROUCA: Does that -- did I get it right?

20 MR. COX: Yes. Yes. They -- when they respond to it, they,  
21 for the first time -- it was really hard to get any documentation  
22 or anything in writing, but when they responded to that claim,  
23 they made a statement to me in their response that the industry  
24 standard is 1 minute per car. And that's why that's -- that's  
25 why, because any other time -- it was the first time they ever

1 committed it to writing.

2 DR. JENNER: Industry, so across the Class 1 railroads,  
3 right?

4 MR. COX: Um-hum.

5 DR. GARCIA: So who is this? This is directed to the  
6 director of labor relations.

7 MR. AROUCA: CSX.

8 DR. GARCIA: CSX. Okay.

9 MR. COX: CSX, yeah.

10 MR. AROUCA: So that was that. And then I wanted to provide  
11 a copy of Don Grissom, who was then an assistant general president  
12 of the carmen, now is general president of the carmen -- this is  
13 his testimony before the House railroad subcommittee last June  
14 detailing a whole number of issues in the industry, you know,  
15 pressure not to shop cars, the inspection times in general, 1  
16 minute per car, being commonplace.

17 DR. GARCIA: What does it mean to shop cars?

18 MR. AROUCA: Not to send cars to the shop for repair.

19 DR. GARCIA: Okay.

20 MR. AROUCA: Yeah, to bad order them, you know, find defects  
21 essentially. You know, one would think that if a car's defective,  
22 a car's defective. Well, not in the rail industry. A car is  
23 defective if we have time for it to be defective, which is kind of  
24 odd.

25 MR. COX: Or a dangerous outlook in the industry is that if

1 the car will make it to the next carrier, then -- they proffer  
2 this idea, let it make it to the next carrier because it's no  
3 longer our problem.

4 MR. AROUCA: Right. This is a -- along those same lines,  
5 this is a signaling system they actually had -- I believe this was  
6 a CSX shop, right? Yeah.

7 MR. COX: Yes.

8 MR. AROUCA: They called it a traffic light. It specifically  
9 detailed how many cars were in the shop, and therefore, if it was  
10 three reds, they got way too many cars in the shop, and so that's  
11 an indication to the carmen going out and inspecting, don't find  
12 any more defects, we can't handle them right now. And I remember  
13 we challenged CSX on that, right, and then they said, oh, that's a  
14 holdover from a previous era. Well, they just lose the whole  
15 thing internally to a secret --

16 MR. COX: Behind a firewall.

17 MR. AROUCA: -- computerized system with the exact same  
18 culture, you know, saying whether or not they have the ability to  
19 do, you know, do these fixes.

20 And then -- I kind of went through the safety audit, but I  
21 actually want to talk specifically about this list here, because  
22 that comes -- this comes back to, again, the industry practice for  
23 moving our carmen from these yards and replacing them with either  
24 these utility clerks or utility crews, which are not trained  
25 carmen to do these inspections, or just having the traincrews do



1 themselves. This is one of the primary, you know, in my opinion,  
2 probably one of the primary ways they've been able to reduce all  
3 this terminal dwell. Again, coming back to the 215 mechanicals,  
4 if you replace all these carmen in all these shops with utility  
5 folks who are not trained to do it, when --

6 DR. GARCIA: And this is all UP?

7 MR. AROUCA: This is UP, yeah. This is CSX.

8 DR. GARCIA: Um-hum.

9 MR. AROUCA: Yes, CSX. This is Union Pacific, in particular.

10 And then, yeah, we kind of get into some of the fatigue.  
11 It's got some of the fatigue issues, you know, that Jason has  
12 described previously about guys sleeping in their cars, 16-hour  
13 days, 5 days in a row. You know, and this isn't a 16-hour day  
14 sitting in your office, this 16-hour days on your feet working  
15 around heavy dangerous equipment. It is not, in our opinion, the  
16 right way to go about any kind of an industrial job.

17 DR. GARCIA: So to ask a question that I think I know the  
18 answer to, these are not safety-sensitive positions and there's no  
19 hours of service regulation?

20 MR. COX: Yeah, not safety sensitive under the definition of  
21 the FRA, you are correct. So there's no hours of service linked  
22 to them.

23 MR. AROUCA: Correct.

24 DR. GARCIA: Okay. Thank you.

25 MR. AROUCA: And some of the stuff I've detailed, this is

1 actually the same -- this is the same email correspondence as part  
2 of that claim, right --

3 MR. COX: Yes.

4 MR. AROUCA: -- back in the day?

5 MR. COX: Yes.

6 MR. AROUCA: That one says 2021, though. Or is that when you  
7 forwarded it to me? Or when Don forwarded it?

8 MR. COX: Yeah, this is right here where I re-explain to them  
9 that the from day 1 we have contested the policy 1 minute per car.

10 MR. AROUCA: Yeah. Right. Yeah. Yeah.

11 And then the UP document that you have and the score card as  
12 well. But that's a copy of the docs --

13 DR. JENNER: Right. It looks like you have a few more  
14 documents.

15 MR. AROUCA: Actually this --

16 DR. JENNER: Oh, is that it?

17 MR. AROUCA: This, I was just going to give you guys because  
18 we pulled them today as proof, because for some odd reason,  
19 according to Senator Vance in the Senate hearing, the industry is  
20 saying that they don't need to visually inspect bearings. And,  
21 well, here's the manufacturer's instruction guides and their full  
22 manual or larger manual on installing and maintenance, and both of  
23 them say that they should receive visual inspection every time  
24 they're in a terminal or a repair track, which is in line with the  
25 FRA rules and guidelines.

1           So these guys, I don't know what they're doing, what they're  
2 thinking with this business model. It's clearly gone pretty far.  
3 And, yeah, we're just hoping to shed a whole bunch of light on  
4 this industry, on NS, but the industry as a whole as well, because  
5 this practice is pervasive. So --

6           DR. JENNER: Okay. I want to be respectful of my colleagues'  
7 time here. So, Bob, you had a lot of questions, perhaps?

8           DR. BEATON: Yeah, thanks, Steve. I'll try and be brief.  
9 And, Jason, David, thanks for allowing us to go over a little bit  
10 on our scheduled time here.

11           There's a couple things I want to talk to you about and ask  
12 you about, not in any particular order. So let me, you know,  
13 apologize in advance for being a little random here in my  
14 questions. But I want to start with this time to inspect a car by  
15 a carman, 3 seconds -- or 3 minutes, I'm sorry, per side. Jason,  
16 I can see his eyes light up.

17           MR. COX: If the railroads have their way, we'll get there.

18           DR. BEATON: Yeah. No, no, I don't think we will.

19           The carman trade presents a truly unique trade for us in the  
20 system safety/human performance division at NTSB because your job  
21 is, as I understand it, based entirely on visual inspections and  
22 then some -- to detect an anomaly and then maybe some follow-up  
23 with a measurement or a probe or a gauge to verify. And when I  
24 hear a number like, you know, 3 minutes or 3-point whatever, and I  
25 look at this visual inspection task, I know, just based on 40

1 years of doing this stuff, not all in the rail industry, but from  
2 a visual inspection point of view, there's a lot of variability,  
3 there's a lot of dependencies on the conditions in which the  
4 observations are being made, that is, the environment, there's a  
5 lot of dependencies on the carman himself and their visual acuity,  
6 the corrective glasses, the sunshades or sunglasses, what have  
7 you. So a number like 3 seconds, to me --

8 MR. AROUCA: Minutes.

9 DR. GARCIA: Three minutes?

10 DR. BEATON: -- is one of these numbers -- I'm sorry? What  
11 was that?

12 MR. COX: You said 3 seconds again.

13 DR. BEATON: Oh, I apologize. Three minutes. Thank you for  
14 correcting me. Three minutes feels to me like a number that's  
15 been derived by some group of people, skilled or not in measuring  
16 human performance, coming up with an average value with no  
17 attention being given to the variability, or in the language of  
18 the statisticians, you've got an average value but you don't have  
19 an indication of the variability or the standard deviation. And  
20 anybody that's involved with quality control processes would say  
21 that the average is meaningless without some indication of the  
22 variability because you have no idea of what the acceptable range  
23 of times are.

24 So having given you my mini lecture on that, I apologize, but  
25 wanted to set the context, can we do anything to collect some data

1 or some observations on the carmen actually inspecting cars under  
2 different, maybe different conditions with different number of  
3 defects, to get an idea of how realistic or unrealistic is this 3-  
4 minute number? I mean, and I don't think I want to go on NS  
5 property, but would there be a railroad that would allow us and  
6 would TCU provide some carmen to us to allow us to go maybe spend  
7 a day in a yard doing some time studies of the task of inspecting  
8 a car?

9           Because the other point I wanted to make here is, I don't  
10 believe that 3 minutes is inclusive of the time it takes the  
11 carman to do the job. The carman has to walk to the car. The  
12 carman has to walk the length of the car, bend down and assess the  
13 defects that they detected, and then, I assume, take notes or  
14 dictation or get on a handheld computer and type something in. I  
15 don't think there's a bar code that he scans for every defective  
16 handle that he finds, so --

17           Yeah, I'd like to capture the entire job of inspecting one  
18 side of a car. So my -- I --

19           MR. AROUCA: We would love that.

20           DR. BEATON: -- but could TCU help us identify a railroad  
21 that would work with us and identify some carmen that would work  
22 with us to make some deliberate observations of inspecting for  
23 defects?

24           MR. AROUCA: My initial thought is I am -- I can near  
25 guarantee that the company is not going to do that for us.

1 DR. BEATON: Okay.

2 MR. AROUCA: They are already well aware of the line of  
3 questioning we're kind of already going down here and as exemplified  
4 on Capitol Hill in that hearing. For you guys, I have no idea if  
5 you have the ability to say, hey, we're coming here with our stop  
6 watches.

7 DR. JENNER: Well, I think Bob put out the possibility of any  
8 railroad.

9 MR. AROUCA: Yeah.

10 DR. JENNER: It doesn't have to be any one that --

11 MR. AROUCA: But all of them are same --

12 DR. GARCIA: All would have the same reservations?

13 MR. AROUCA: -- the same model.

14 DR. JENNER: Okay.

15 DR. GARCIA: But to Steve's point, Bob, we could ask Norfolk  
16 Southern for that opportunity independent of the union.

17 DR. BEATON: Yeah. I don't think Norfolk Southern's going to  
18 give us the carmen or the cars and allow us access under, you  
19 know, day and night conditions or different illumination  
20 conditions. I just want to try to do something to get a feel,  
21 because I think people are going to grossly abuse this number, 3  
22 minutes a car.

23 MR. AROUCA: So it's funny that you say that, because one of  
24 the things that we were talking about earlier today with our  
25 leadership was the concept of putting together a video showing,

1 you know, what an inspection looks like and --

2 DR. GARCIA: There we go.

3 MR. AROUCA: -- and clocking it. I know it wouldn't be  
4 necessarily as holistic as, you know, spending an entire day and  
5 watching carmen rain or shine, night and day, and averaging them  
6 all out, but it would give the layman a better understanding of  
7 what exactly goes into a car inspection.

8 DR. GARCIA: Um-hum. And the video could be done in  
9 nighttime conditions and raining conditions.

10 MR. AROUCA: Yeah. We were contemplating going to a railroad  
11 museum, actually. Because all these -- all the mechanics of these  
12 cars are -- they're still the same. I mean, that's why like the  
13 regs haven't really changed all that much. It's the same  
14 technology that's been on the rails for -- I mean, minor, you  
15 know, adjustments here or there.

16 DR. BEATON: They're still using a Janney coupler, so --

17 MR. AROUCA: Yeah.

18 MR. COX: And for some transparency of what's happening in  
19 the industry, with the new car inspectors that have been coming on  
20 over the years, the railroads have focused their training criteria  
21 more on the idea of delayed prevention versus finding actual  
22 defects with the cars.

23 DR. BEATON: Okay.

24 MR. COX: In other words, you know, you're focused on --

25 MR. AROUCA: Preventing the delay of the train.

1 MR. COX: Yeah. You're focused on the non-separation of the  
2 air hose versus looking at the safety appliances. There's been a  
3 shift in the way they train all these new carmen that are coming  
4 on, that they're not as in depth at assessing that total health of  
5 the freight car as much as they are of move the freight at any  
6 cost.

7 DR. BEATON: In my world, Jason, the language I would use to  
8 describe part of the issue you're bringing up to me is time  
9 stress. They're putting stress on carmen to get the inspections  
10 done as quickly as possible and not delay the movement of the  
11 trains. And we know that time stress is one of the factors that  
12 leads to errors. So by -- you know, whether we want to point a  
13 finger at PSR or we want to point a finger at, you know,  
14 operational efficiency, whatever language we want to use, we're  
15 working against ourselves from the point of view of allowing a  
16 carman to do a better and better job, we're actually forcing the  
17 carmen to do a job that puts them more at risk of making errors,  
18 which is not helping public safety.

19 MR. COX: Yeah. And --

20 DR. GARCIA: Just to note --

21 MR. COX: -- would taint your study.

22 DR. GARCIA: Right.

23 DR. BEATON: Yeah.

24 DR. GARCIA: Just to note here, my battery is running low so  
25 at any moment -- it gives me like a 30-second notice, which was



1 about 25 seconds ago --

2 DR. BEATON: Well, let me just ask one other question.

3 DR. GARCIA: No, Steve is trying to call up on his phone so  
4 we can make sure that you're still plugged in.

5 DR. BEATON: Okay. And I think Steve may have asked you this  
6 over the break, but you've given us a lot of great information  
7 today, you've given us a lot of evidence. We would like the -- to  
8 preserve a spot with you to come back for some follow-up  
9 questions. So I don't think I need to get all the answers to my  
10 questions today, but I would certainly welcome the ability to give  
11 you a call or send you an email to follow up with you, if not to  
12 have you come over to L'Enfant Plaza. You know, we have a great  
13 food court downstairs, if we do go to lunch, you know, have lunch  
14 together.

15 MR. AROUCA: Absolutely. Yeah, just a couple Metro stops  
16 down. Happy to do it.

17 DR. BEATON: Excellent. Thanks, David.

18 (Noise interruption)

19 DR. GARCIA: Yep. And it's shutting down. That was perfect  
20 timing.

21 MR. AROUCA: There we go.

22 MR. COX: All right. We've successfully swapped the devices.

23 DR. GARCIA: Can you see any of us now?

24 DR. JENNER: They're looking at the ceiling.

25 DR. GARCIA: Yeah, they're looking at the ceiling. Hold on.

1 MR. COX: Oh, there you go.

2 MR. AROUCA: That work?

3 DR. BEATON: There we go. Now -- that's good. Now I see  
4 Jason.

5 MR. AROUCA: Or do you want landscape?

6 DR. BEATON: I'm not hearing anybody, but --

7 MR. AROUCA: Uh-oh.

8 DR. BEATON: -- I'm getting good video.

9 DR. GARCIA: We're here. Can you hear us?

10 MR. AROUCA: No. Microphone.

11 DR. BEATON: There you are.

12 DR. GARCIA: Now can you hear?

13 MR. AROUCA: There we go.

14 DR. BEATON: Now I can hear you, yeah.

15 DR. GARCIA: Can you hear me now?

16 MR. AROUCA: Okay.

17 DR. BEATON: Perfect. Thank you.

18 MR. AROUCA: All right. We're back.

19 DR. GARCIA: Good.

20 MR. AROUCA: Yeah, we're absolutely happy to continue  
21 participating. You know, let me know about the video and whether  
22 we could transcribe it. That would be probably amendable. We'd  
23 have to go back to the guy and ask, but -- absolutely. And, you  
24 know, I would love to follow along with you guys as this  
25 progresses. What's your -- you mentioned you have a tight

1 timeline on this. What does that mean? How do you --

2 DR. BEATON: Right. As of Friday, this past Friday, NTSB's  
3 still planning on have the hearing out in East Palestine around  
4 June 22nd, 23rd. We have to be completely dressed up with a  
5 factual report that's been vetted through the party members on the  
6 East Palestine investigation and passed our editors. So we've got  
7 realistically, you know, between now and the end of April to get  
8 the bulk of our factual assessment done. So -- and this is very  
9 unusual for an NTSB investigation, but we're trying to be very  
10 responsive to what the chair promised in her -- or the press  
11 release from the agency, that we'd be doing a -- I don't want to  
12 say deep dive, but a comprehensive assessment of Norfolk  
13 Southern's safety management and safety culture.

14 And I probably should comment. Safety management to us is  
15 what, David, what you said before, let's start with the  
16 regulation. We got 49 CFR 271. Let's see what Norfolk Southern's  
17 doing with respect to that. They've got a FRA-approved plan. So  
18 how well is that plan being executed? You know, we'd like to go  
19 to the properties that were named that is justifying this  
20 investigation and talk to carmen, talk to T&E crews, to see what  
21 their safety management vis-à-vis 271 is really -- how is that  
22 affecting daily operations. Safety culture is a little bit more  
23 nebulous and want to do interviews with carmen, T&E crews, and  
24 others, to -- you know, kind of what we were talking about here  
25 today, get an indication of, yeah, they may have things on the

1 books and they may be compliant with the spirit of the regulation,  
2 but it's not getting translated to the workers. If nobody wants  
3 to use the C3RS because of retaliation, that's a culture problem.

4 DR. GARCIA: Yeah. Bob, could I just pause for a second? I  
5 just want to make sure that if we want to push any of this  
6 conversation to when we go off the record or --

7 DR. BEATON: Okay. Yeah. Well -- thanks for that. Yeah.  
8 No, I think I'm done. I just wanted to explain that to David and  
9 Jason so, you know -- let's give them the context of how they can  
10 help us do what we need to do.

11 MR. COX: Yeah. And you talk about, you know, interviews of  
12 the workmen and stuff like that. I will draw upon my own personal  
13 experience with what I've seen in the industry with the FRA.  
14 Like, for instance, the FRA will come on the property and say, if  
15 you don't mind, I would like to talk to inspector so-and-so, and  
16 supervision on the property will say, oh, sure, I have no problem  
17 with letting you talk to inspector so-and-so, let me get him. And  
18 he hauls him into his office, and the foreman sits down next to  
19 him and says, okay, what questions do you have for him? And the  
20 foreman sits right there staring at the guy the whole time. I  
21 mean --

22 DR. BEATON: Yeah.

23 MR. COX: -- you know what I'm getting at.

24 MR. AROUCA: Hence my earlier comment that our -- it is --  
25 the FRA is not necessarily viewed favorably by a lot of mechanical

1 personnel or the operating crafts. They're viewed as somebody  
2 that can get them in trouble.

3 DR. BEATON: Right. Well, they are the regulator and they're  
4 usually out there on the property not to have lunch, but to find  
5 violations, right? That's their job.

6 MR. AROUCA: One would hope. That doesn't seem to be the  
7 case often, unfortunately.

8 DR. BEATON: Yeah. Yeah.

9 MR. AROUCA: We have a lot of frustrations with that.

10 DR. BEATON: Understood. Okay.

11 MR. AROUCA: Is there a possibility, if you guys do come onto  
12 the property and meet with carmen, that, you know, that it could  
13 be in a separate setting or off of -- preferably off of the  
14 property, like going through our locals and setting up a local  
15 meeting?

16 DR. BEATON: Yeah.

17 MR. AROUCA: That would --

18 DR. BEATON: Yeah, we could certainly do that.

19 MR. AROUCA: Yeah, that would go so much better than meeting  
20 in that -- you know, the break room at --

21 DR. BEATON: Yeah. And we've done that. And I understand  
22 that entirely. So, you know, maybe we get a -- meet in a local  
23 hotel, you know, get a meeting room or something like that.

24 MR. AROUCA: Yeah. Jason can help set that up, too.

25 MR. COX: Yeah.

1 DR. BEATON: Excellent. Well, I know I've taken up more than  
2 my 10 minutes, so I'm going to stop here and just thank you both.  
3 It's been a great conversation today.

4 MR. AROUCA: Oh, thank you, Bob.

5 DR. JENNER: I'm going to throw it over to Mike. Do you have  
6 some questions?

7 DR. HOEPF: Yeah, I do. I do. And I'll try to be quick. I  
8 know we've been going for a while. Is everybody doing okay?

9 DR. JENNER: Are you guys okay to --

10 MR. COX: Oh, yeah, we're good.

11 MR. AROUCA: Yeah.

12 MR. COX: Whatever's needed.

13 DR. HOEPF: Okay. Awesome. I'm going to try to stay on the  
14 topics we've already covered and just kind of quickly go through a  
15 couple things. So on the topic of those inspections, I think  
16 we've covered this pretty well in terms of the (indiscernible),  
17 but just to kind of summarize briefly. You know, I think there's  
18 a lot of value that could come from that, how long does it take it  
19 to inspect a car. But it sounds like from what you're telling us,  
20 it's -- that would be looking at the issue too smally, to say, oh,  
21 it's definitely a matter of -- that's making the assumption that  
22 we've got a qualified mechanical inspector or carman doing those  
23 inspections. It sounds like a lot of what you told us today is  
24 that's not that necessarily happening. It sounds like the number  
25 of inspections are being minimized -- I see you're nodding your

1 head there, but -- so, yeah, maybe we can just kind of summarize.  
2 So that's -- the mechanical inspections are being deliberately  
3 avoided; is that something you're telling us?

4 MR. AROUCA: Oh, yeah.

5 MR. COX: Yeah, yeah.

6 DR. HOEPF: Okay. And --

7 MR. COX: And even in --

8 DR. HOEPF: Oh, sorry. Go ahead.

9 MR. COX: -- situations where the regulation, you know,  
10 basically says, you know, the mechanical inspection is not  
11 required, with the way that the railroads are currently  
12 structured, they can get away with that indefinitely and basically  
13 run these -- run the wheels off the cars, I mean, for lack of a  
14 better explanation. I think that puts it in layman's terms quite  
15 well.

16 DR. HOEPF: Yeah. Right. And so it's -- thank you. And  
17 don't let me cut you off if you want to add something to that. But  
18 it sounds like you've also said that they're pushing those  
19 inspections to people who are perhaps less qualified. Is that an  
20 accurate summary?

21 MR. COX: By design in their current training, yes.

22 DR. HOEPF: Okay. Okay. So there's the issue of the time  
23 sensitivity but there's also the issue of avoiding inspections and  
24 there's also the issue of qualification with regard to those  
25 inspections. Is that that -- did I miss anything?

1 MR. AROUCA: You nailed all three.

2 DR. HOEPF: Okay. Okay. Great.

3 MR. AROUCA: Those are -- that is the summary.

4 DR. HOEPF: I just wanted to make sure we're --

5 MR. COX: Big picture stuff, yes.

6 MR. AROUCA: Yes.

7 DR. HOEPF: Okay. Awesome. And we'll follow up with you  
8 guys on the data and that sort of thing.

9 So the bigger picture we're here to talk about is culture,  
10 you know, safety culture, safety management system. And we've  
11 definitely talked about that, but I just kind of want to hear some  
12 of the words come out of your mouth. So some of the words that --  
13 or this is not nuanced stuff. I've heard the words harass,  
14 intimidate, threaten, retaliate, people have been instructed --  
15 oh, another issue I forgot to talk about on the inspections,  
16 people have been instructed to effectively not find defects. So  
17 that's another issue with -- it's not so much a matter of they  
18 don't even -- I mean, a lack of time is one thing, but it seems  
19 like they've specifically incentivized to not find issues. So --

20 MR. COX: Incentivized to not find issues.

21 DR. HOEPF: Is that an accurate summary?

22 MR. AROUCA: No, you're right. That nails it.

23 MR. COX: Yeah. Incentivized not to find issues in many,  
24 many horrific tactics, yes.

25 DR. HOEPF: Okay. Thank you.



1 MR. AROUCA: I mean, you saw the video or maybe perhaps you  
2 couldn't -- you heard it over the computer, but, you know, that  
3 was from, sadly -- we kind of went back and forth internally on  
4 this for a minute, but that was a supervisor that our guys like.  
5 He's a decent guy. He's not, you know -- but you can hear it in  
6 his voice that the bosses are making me do this. And that's why  
7 our guy went back and asked, who? What bosses are making you do  
8 this? The district manager of operations, the district mechanical  
9 manager of operations.

10 And so it's really this top-down stress. I mean, that's  
11 what's so frustrating to me, by the way, like they're going to --  
12 the guys up top in their ivory towers are going to say, I knew  
13 nothing, I knew nothing about this, I don't know what -- I just  
14 took over last year, how could I have known anything? Crap.  
15 Absolute crap. They've known the culture shift at this company  
16 for years.

17 And, you know, by the way, not for nothing, he said -- Shaw  
18 says repeatedly in the hearing that I reached out to -- well,  
19 first, he said, I reached out to all my major union heads to talk  
20 to them about safety. Our bosses didn't get calls. I have no  
21 idea who he called. Probably just the operating crews, the  
22 conductors and the engineers. They didn't call us. And you would  
23 think he would call us, considering the Brown-Vance bill. Section  
24 4 is all about railcar inspections. And your train derailed from  
25 a blown bearing.

1 DR. HOEPF: So --

2 MR. AROUCA: You know, you would think that would be an  
3 issue.

4 DR. HOEPF: Yeah.

5 MR. AROUCA: But that's, that's them right now. And you'd  
6 think that he would have gone back, at least in that -- like prior  
7 to prepping for that hearing, and ask his chief mechanical  
8 officer, hey, do we have any time constraints, any policies  
9 regarding railcar inspections, anything like that? Maybe a sheet  
10 detailing inspection times? Have we ever pressured our guys in  
11 the past?

12 DR. HOEPF: Right.

13 MR. AROUCA: Just a concept.

14 DR. HOEPF: Well, I guess what I'm getting at is -- no, and  
15 this is really good stuff. But, I mean, it sounds like what  
16 you're saying, and correct me if I'm wrong here, but it sounds  
17 like you're saying Norfolk Southern does not have a safety culture  
18 to support effective mechanical safety inspections.

19 MR. AROUCA: Correct.

20 DR. HOEPF: Okay. Okay. Great.

21 DR. GARCIA: If I could jump in there, Mike, just for --

22 DR. HOEPF: Yeah.

23 DR. GARCIA: -- a point of clarification? When you mentioned  
24 using people unqualified to do the inspections, that wasn't the  
25 way that I heard that. I heard it that relying on the traincrew

1 to the do the 12-point inspection, who aren't qualified to do the  
2 more than 90-point inspection.

3 MR. AROUCA: Yeah.

4 DR. GARCIA: But that's all within, that's all within the  
5 regulation, right?

6 MR. AROUCA: Correct.

7 DR. GARCIA: So that's permitted?

8 MR. AROUCA: Permitted, perhaps. It depends on who you ask  
9 at the FRA.

10 DR. GARCIA: Okay.

11 MR. AROUCA: I've had conversations with -- like half the  
12 folks I talk to at the FRA, 10,000 percent agree with me, the  
13 other one -- the other half are like, well, I think it's okay,  
14 like, you know, it seems like it's an okay way to do it.

15 DR. GARCIA: Yeah, the Appendix D.

16 MR. AROUCA: Yeah. And they're like -- but if you read the  
17 reg, I mean, read it -- any layman with reading that would say,  
18 okay, so really what they're saying is it should get this  
19 mechanical inspection, unless there's not a carman there, then it  
20 can get the Appendix D. Not for that to be the default rule.

21 DR. GARCIA: Right.

22 MR. AROUCA: It's supposed to be the exception when, on  
23 occasion, when a carman's not there, conductor can do it.

24 DR. GARCIA: So perhaps, for that, instead of using people  
25 unqualified to do the inspection, it's using a limited inspection

1 versus the full inspection?

2 MR. AROUCA: Correct. But I guess they wouldn't be qualified  
3 to perform the full mechanical. That's my -- that's our point in  
4 saying that, you know.

5 DR. GARCIA: Right.

6 MR. COX: And even the train crewman -- and I like this  
7 layman's explanation. They will say that the train crewmen holds  
8 the associate's degree in car inspection, whereas the carmen holds  
9 the doctorates.

10 MR. AROUCA: Whitaker said that in the hearing. You know,  
11 they're the -- the carmen are the Ph.D.s, we just have an  
12 associate's. It's like, yeah, looks about right versus these  
13 guys, yeah, they have gauges, all this stuff to ensure  
14 everything's, you know --

15 DR. GARCIA: Okay. But they're not using the conductors to  
16 do the full 90-point inspection.

17 MR. COX: A conductor does not even know how.

18 DR. GARCIA: Right. Right. But that would qualify for  
19 unqualified to do it. He's qualified to do the 12-point  
20 inspection.

21 MR. COX: Correct.

22 MR. AROUCA: Um-hum.

23 DR. GARCIA: Okay. But the railroad's using a loophole for  
24 Appendix D to do more of the 12-point inspections and less of the  
25 full inspections.

1 MR. COX: Yeah. They have taken advantage of the system to  
2 take what was supposed to be a secondary type of inspection  
3 criteria in order to get the freight to a terminal or something,  
4 where the primary inspection criteria would be followed to gauge,  
5 like I said before, the overall health --

6 DR. GARCIA: Right.

7 MR. COX: -- of a freight car.

8 MR. AROUCA: Right.

9 DR. GARCIA: Okay. Sorry to interrupt your train of thought,  
10 Mike. I just wanted --

11 DR. HOEPF: No, no. Thank you, Anne, for -- yeah, I  
12 appreciate you jumping in to clarify that. That was a good thing  
13 to clarify.

14 So on the topic of safety culture, and again, I want to be  
15 respectful of people's time here, but it sounds like this is a --  
16 what you're telling me is that this safety culture issue  
17 undermines other safety programs as well. So, for example, I  
18 heard you talk about there was a replacement of one safety  
19 committee with a new safety committee; whereas, the old safety  
20 committee was effective and the new one is not.

21 MR. AROUCA: Well, previously there was a labor-management  
22 safety committee structure, and they were on -- they were at, you  
23 know, location by location. And that was, you know -- that is a  
24 globally recognized best practice, as I'm sure you guys are aware.  
25 And then PSR entered and apparently -- I mean, this is the excuse

1 I've heard, you'd have to ask them, but they were concerned about  
2 being too liable for FELA suits if issues are raised and they  
3 didn't address them and someone got hurt, which I think is a  
4 terrible reason, frankly. I think that's exactly why you should  
5 address it.

6 But they did away -- all of them did away with the labor-  
7 management safety committees when PSR kind of entered their  
8 railroads at the same -- at certain times, which -- the other one  
9 you were talking about is the risk reduction programs that have  
10 been, you know, put in place for, what, a year and a half or so.  
11 And they're kind of a joke. Like Jason mentioned, it was a Zoom  
12 call where they just said this is what we're doing; okay, end  
13 call. There was no back and forth interaction, really nothing. I  
14 mean, I got, I think, something in the mail once, a big stack of  
15 papers, and I'm like, what the heck am I looking for?

16 DR. HOEPF: Yeah. So would you say that that's an accurate  
17 assessment, to say that they replaced one safety committee that  
18 was effective with one that is not?

19 MR. AROUCA: Yes.

20 DR. HOEPF: Or are these two totally different -- okay, you  
21 agree with that? Okay.

22 I think you had also talked about a close call reporting  
23 system, and I think you said it's not anonymous and I think you  
24 said that employees, for fear of retaliation, don't utilize that  
25 close call reporting system? So is that --

1 MR. AROUCA: Well, they just --

2 (Crosstalk)

3 MR. AROUCA: -- they just agreed to start using the C3RS.

4 My concern about the C3RS in itself is that at the end of the  
5 day, even if NASA is the one that's holding the data over there,  
6 at the end of the day it's the FRA that's going to be the one  
7 utilizing and accessing the data, and frankly, our guys don't  
8 really trust the FRA, at least, you know, some of them don't, you  
9 know, in the Office of Safety, not the leadership leadership. In  
10 the Office of Safety it's been fairly problematic, and there have  
11 been issues raised at the D.C. level that our guy ends up getting  
12 chewed out by his manager because they called the FRA. I mean,  
13 how is that handling complaints seriously? How is that making  
14 sure that you're providing a culture where people want to speak  
15 up?

16 DR. HOEPF: Right.

17 MR. AROUCA: So --

18 DR. HOEPF: So, just see if I can clarify. So there's two  
19 close call reporting systems. There's an internal Norfolk  
20 Southern one that's not anonymous. There's incoming close call  
21 reporting system, C3RS. And you're saying neither one is  
22 effective? Sorry to cut you off, but is that accurate?

23 MR. AROUCA: I'm not aware -- is there an internal one?

24 MR. COX: Not that I'm aware of.

25 MR. AROUCA: Yeah, we're not aware of an internal one

1 existing currently. NS just announced that they're going to  
2 participate in the C3RS program --

3 DR. HOEPF: Oh. Okay.

4 MR. AROUCA: -- administered by NASA.

5 DR. HOEPF: Okay. So currently there is no close call  
6 reporting system. So right now, or at the time of the East  
7 Palestine accident, if a carman were to have an unsafe situation,  
8 there is no system for him to report that, or her?

9 MR. AROUCA: No.

10 DR. GARCIA: Well, they just joined -- they said they were  
11 join or joining the --

12 MR. AROUCA: Oh, right. Yeah. Who knows?

13 DR. HOEPF: Okay.

14 MR. COX: Well, before the C3 -- I'm not familiar with the C3  
15 system you're talking about, but the current practice in the  
16 industry was if there was an unsafe industry, especially after  
17 they got rid of the safety committees, the only way to really  
18 handle it is just take it directly to your supervisor. And if  
19 you're in a system of retaliation, is that going to be your first  
20 option, is that what you're going to choose to do? Are you going  
21 to be the one to jump up and down and raise your hand, say choose  
22 me next?

23 DR. HOEPF: Okay. Okay. So, just to summarize, there was no  
24 close call reporting system in place at the time of the accident  
25 that you are aware of. And --



1 MR. AROUCA: Not for mechanical personnel. I couldn't speak  
2 to -- for the operating crews.

3 DR. HOEPF: Okay. No, that's a -- yeah, I can clarify. This  
4 is just to your knowledge. This is just, you know -- I don't want  
5 you to speculate or anything like that.

6 And because of the safety culture issue, your experience has  
7 been -- with the carmen have been, for fear of reprisal or  
8 retaliation from Norfolk Southern management, they would be  
9 hesitant to report safety issues to their managers; is that what  
10 you're saying?

11 MR. COX: Absolutely that's what I'm saying.

12 DR. HOEPF: Okay.

13 MR. AROUCA: 100,000 percent.

14 DR. HOEPF: Okay. Okay. I just -- just making sure we're --  
15 you know, I'm just trying to summarize these issues and make sure  
16 we, you know, cover this.

17 MR. AROUCA: Mike, it's not just that, it's that it's so bad  
18 that it's a joke now on the property. And that's what I was  
19 trying to remember whatever the --

20 MR. COX: Safety fourth?

21 MR. AROUCA: Not just the safety fourth, but like if someone  
22 says like they got -- someone gets hurt on the railroad, you say,  
23 no you didn't. No you didn't, because then all of a sudden you're  
24 going to be targeted. And I've heard that across our carmen reps  
25 and you -- I think you've told me that a couple of times, right?

1 MR. COX: Yeah. NS is the worst for it. There's not an  
2 injury that does result in a disciplinary investigation procedure.

3 MR. AROUCA: Right.

4 DR. HOEPF: Right. That's right, you said that. So it's not  
5 just close calls but even -- there's even in a -- would you say  
6 that there's -- that employees are disincentivized to report  
7 injuries then because of fear of retaliation? Okay.

8 MR. COX: Yes. Also 1,000 percent accurate.

9 MR. AROUCA: 1,000 percent.

10 DR. HOEPF: Okay. I've got -- I'm getting to the end of my  
11 questions here. I really appreciate you guys' time here. Are  
12 there any other major programs that we should be aware of, major  
13 safety programs that have similar issues because of a safety  
14 culture that doesn't support them, or we covered kind of the  
15 important ones as far as carmen go?

16 MR. COX: You have to have a safety program to take issue  
17 with it.

18 MR. AROUCA: I don't know if you heard Jason. He said you  
19 have to have a safety program to take issue with it.

20 DR. HOEPF: Okay. Okay. Definitely. There's not really any  
21 major safety program. Okay.

22 MR. AROUCA: I mean, they did -- they changed -- it used to  
23 actually -- I remember it was safety first back in the day when I  
24 first started at TCU. I remember somebody had like a whistle, a  
25 little NS whistle that said "Safety First." And now it's

1 literally fourth on their like internal, you know -- now it's --  
2 the first three are get stuff out the door and the last one is and  
3 do it all safely. That's their new mantra that's up on the walls  
4 everywhere. So --

5 DR. HOEPF: Yeah.

6 MR. COX: I believe I've provided you examples of that.

7 MR. AROUCA: Right.

8 DR. GARCIA: Could you forward those to us?

9 MR. COX: Yeah.

10 DR. HOEPF: No, I appreciate what you're getting at. I mean,  
11 I think what you're painting is a picture of safety being a low  
12 priority. Would you say that's accurate?

13 MR. COX: Yes. Yes. The prior business model before  
14 precision scheduled railroading arrived with Hunter Harrison was  
15 that the product delivered by the railroad was a product of  
16 safety. In other words, you got the train there safe, you got the  
17 goods there safe, everything stayed on the rail. You didn't have  
18 to process claims for the goods being delivered because everything  
19 got there safe. Now under the precision scheduled railroading  
20 model, that is not the priority. The priority is just get it  
21 there, get it there fast, and get it there by any way possible.

22 DR. HOEPF: Gotcha. Gotcha. Okay. Great. That'd be great  
23 (indiscernible). Thank you. All right. Just one last question.  
24 I'm done with the safety culture questions, although, you know,  
25 Anne and Steve may have some more for you. But one of the

1 accidents that we're looking at occurred in Pennsylvania. It was  
2 a roadway maintenance machine. There was some mechanical issues  
3 that that roadway maintenance machine. Do you guys cover roadway  
4 maintenance machines or can you direct me to who would be a better  
5 craft trade to talk about for that?

6 MR. AROUCA: You mean maintaining the machines themselves?

7 DR. HOEPF: Yeah.

8 MR. AROUCA: Those would be the machinists.

9 DR. HOEPF: Well, so -- so looking at -- it's three of the  
10 four horns were corroded, so they were not operational.

11 MR. AROUCA: Yeah. The maintenance --

12 DR. HOEPF: So mainly -- somebody like that?

13 MR. AROUCA: The maintenance of locomotives and track and  
14 road trucks and all the kinds of equipment is performed by the  
15 machinists union and I can put you guys in touch with them.  
16 Actually, I printed off this directory in part to give it you.

17 DR. HOEPF: Okay. No, that's okay. We can talk about that  
18 off the record. I just meant to say, so when we're talking about  
19 pre-trip inspections, we're not talking about roadway maintenance  
20 machines, we're talking about trains? And you -- you're nodding  
21 your head yes?

22 MR. AROUCA: Sorry. Say that again.

23 DR. HOEPF: So I just wanted to say, all these inspections  
24 we've been talking about, we're talking about trains, not roadway  
25 maintenance machines, right?

1 MR. AROUCA: Yes.

2 DR. HOEPF: Okay.

3 MR. AROUCA: Railcars specifically and that's it.

4 DR. HOEPF: Okay. Perfect. Perfect. Thank you so much.

5 That's all the questions I have. Thank you, guys very much.

6 DR. GARCIA: I have a question. So getting back to finding a  
7 defect on a car. Then you would tag it and report it, and what  
8 happens then? Is that car placed out of service until it's fixed  
9 or does it matter what level of defect it is?

10 MR. COX: Well, essentially --

11 DR. GARCIA: Some triage going on?

12 MR. COX: Yeah. It depends where the defect is found. If  
13 it's found on the delivery side inside of the yard, then when the  
14 cars are shifted out to be put into those different trains, you  
15 would take ahoid of that defect and you would drop it down to the  
16 shop track. Or if it was in the outbound train, the outbound crew  
17 would pull their train up to the defective car, separate it, pull  
18 it up and shove it back and cut away from it, and then tie their  
19 train back up and depart. Either way, the cars all end up at the  
20 repair track, where they're hauled in. And depending on when the  
21 last time they've had a single car air brake test or other  
22 maintenance criteria performed on them, they would get that defect  
23 repaired and then all that other maintenance criteria under the  
24 double-AR would also be performed. And by doing away with the 215  
25 mechanical inspection, by doing away with that process, you're

1 also doing away with the cars coming to the shop and having the  
2 additional double-AR maintenance performed on those cars to bring  
3 them into performance spec.

4 DR. GARCIA: Okay. Thank you. And so you mentioned pressure  
5 about removing tags.

6 MR. COX: Yes.

7 DR. GARCIA: Could you tell us more about that?

8 MR. COX: So as a car inspector, as I'm going down there and  
9 I'm performing my inspection, I'll reach in my back pocket and  
10 I'll pull an orange tag out and it'll have blank spots on there.  
11 Put the car number on there, write the defect that you discovered  
12 on the car on the tag, put the date on there, and if it has a  
13 movement restriction -- let's say I recognize that the car is  
14 unsafe to move more than 3-mile-an-hour yard speed, I would put  
15 that restriction on there. I grab my stapler, staple it to the  
16 defect card holder on the side of the car. And it'll be a bright  
17 orange tag. You know, it's meant to be that way so it's visible,  
18 so if a traincrew sees that car they know that there's potentially  
19 something unsafe with that freight car. Because I may have  
20 shopped it for a loose handhold. A crewman goes grabbing that  
21 handhold to hold onto that car and falls off that car in motion,  
22 that's a very serious -- I mean, I'm sure you've investigated --  
23 okay.

24 So there are instances where carmen have been harassed or  
25 told by the supervisor, oh, I don't see that as a defect, you need

1 to go out there and remove the tags from the car. Or the  
2 supervisor, he'll go out in the yard and the tags will disappear  
3 from the car and the cars get released in the system. I have been  
4 in trials over the years where a car was released, went to another  
5 destination, shopped by a carman there. They hold the carman in  
6 investigation for shopping a car, just to find out, I discovered,  
7 that the supervisor released the car from another terminal. That  
8 was not on NS.

9 DR. GARCIA: So when you put the tag on, does it get entered  
10 into a computer base someplace?

11 MR. COX: If a car inspector shops the car, there's a 98  
12 percent likelihood that it got put into a database somewhere.

13 DR. GARCIA: Okay. And when you put a tag on, would it  
14 always get shopped, that car always get shopped, or is it just the  
15 level of defect?

16 MR. COX: No. Once a tag goes on a car, the car is  
17 official -- it's shopped.

18 DR. GARCIA: Okay.

19 MR. COX: Yeah. It's -- that means an exception has been  
20 taken to the safety of that freight car on some component.

21 DR. GARCIA: So in the shop, then, what is the process for  
22 actually getting the tag removed and having the car put back in  
23 service? Who does that?

24 MR. COX: When the car comes to the shop -- and this is one  
25 of the jobs I've performed in the field. You have what's called a

1 double-AR write-up inspector. He goes out there and he inspects  
2 the car for all the double-AR criteria, which also is above the  
3 FRA criteria, which is also included in that inspection. You  
4 write them all up on a bill of repair. The car gets pulled into  
5 the shop and the carmen working the shop necessitate all the  
6 repairs. And if they happen to see anything, they will add it to  
7 the bill when they necessitate those repairs. The bill would come  
8 back into the double-AR write-up man. He would get into the  
9 computer system. He would bill the car to the car owner, the  
10 repairs to the car owner, and then go into that system and his  
11 name would be on the bill as releasing the car. And the tags are  
12 pulled by the inspectors on the shop, and then the car gets pulled  
13 out -- gets put out the other side of the shop. Transportation  
14 comes, ties onto the cars, takes them up to the shifting yard or  
15 switching yard, where they find their ways back into the  
16 appropriate train destinations for delivery.

17 DR. GARCIA: Okay. Thank you. So there's no tracking of  
18 these tags and whether the car is taken out of service and repairs  
19 done until it hits the shop. So when the inspector puts it on, if  
20 that tag disappears after the inspector leaves, the car doesn't go  
21 to the shop?

22 MR. COX: If -- yeah. Yeah, correct. If the tag is pulled  
23 or something is done with it prior to the data being put into the  
24 system, then, yeah, it would be like the shop never existed.

25 DR. GARCIA: Okay. And that's what you're saying, you have



1 people who have said that's been happening?

2 MR. COX: Right.

3 MR. AROUCA: Got a call about it today, literally about an  
4 hour before you guys got here.

5 DR. GARCIA: Do you have any list of that or any  
6 documentation to -- that you could --

7 MR. AROUCA: It's very difficult -- you know what would be  
8 good to look at is the safety survey that we put out there where a  
9 lot of guys reported that happening. But we try to tell our  
10 carmen you push back and you say give me that in writing. And  
11 some of them do, but again, because of the culture now and all of  
12 a sudden now you have a target on your back if you don't comply, a  
13 lot of guys don't. They just say, okay, sir, you know. And  
14 that's -- they have a million ways to get you, is what I'm trying  
15 to get across.

16 DR. GARCIA: Right.

17 MR. AROUCA: And so if you don't comply with their regime of  
18 an inspection process, not what you were trained and what you're  
19 qualified to do, you know, you're -- yeah.

20 DR. GARCIA: Right.

21 MR. COX: So a railroad safety book -- I mean, to expand what  
22 he just said. A railroad safety book, it's going to be about this  
23 thick and it's going to contain --

24 DR. GARCIA: About an inch thick?

25 MR. COX: Yeah. And it's going to contain operating rules,

1 thousands of them. And a supervisor will tell you -- if you are  
2 extremely good at your job, he will tell you, you know, I'm not  
3 looking today, but tomorrow I might be out in the train yard, you  
4 know, while you're out there doing whatever it is you're doing,  
5 and I'm pretty sure that out of these 3,000 rules there's probably  
6 something in there you did wrong. I mean, that's real-life world  
7 stuff that's happening.

8 MR. AROUCA: This would never happen in the airline industry.

9 DR. GARCIA: Right. Right.

10 MR. AROUCA: It's kind of absurd.

11 DR. GARCIA: Have there been instances where you've been told  
12 or some of your inspectors have been told while they're inspecting  
13 a train, and perhaps they're not meeting the time requirements  
14 that management is pushing for, been told just to stop inspecting  
15 it and let it go?

16 MR. COX: Yes. Or if there's particular time crunches,  
17 there'll be a rail that may have been ready to work and be  
18 inspected, and they'll say we're just going to have the crew take  
19 the air out of those cars so that we can switch them into the  
20 trains and you guys can get the inspections later. So they switch  
21 the cars out. Those carmen on first shift, as an example, go  
22 home, the carmen on the next shift go on. Do you think anyone  
23 told them that those cars in the outbound train needed a 215  
24 mechanical inspection? No.

25 DR. GARCIA: So there's no records of that that are kept

1 there are handed off to the next shift coming in?

2 MR. COX: I can only think of, I can only think of one  
3 potential example, but it's still not 100 percent accurate.  
4 Trains on some lists will show that they need an MI, a mechanical  
5 inspection, but that's not a practice of the Norfolk and Southern.

6 DR. GARCIA: Okay. To go to a slightly different tact,  
7 another aspect about safety that we always look for are the safety  
8 of the individuals that are performing tasks. So can you think of  
9 any safety issues in actually performing your work that have come  
10 up for the people, the individuals who are doing the work?

11 MR. COX: Yeah. Walking conditions is usually a big one.  
12 The fact that they're not maintaining the yards and the spaces for  
13 which you do walk in, or hastily making repairs putting main line  
14 ballast down in place of where walking ballast used to exist. You  
15 know, you're talking about gravel, like graded stone that you  
16 would walk on versus -- yeah, this stuff that's made out of  
17 granite and does not settle or anything, and it always shifts  
18 under your feet.

19 DR. GARCIA: Yeah, that's 4 or 5 inches in diameter.

20 MR. COX: Yeah. And to circle back, in the prior part of my  
21 conversation where I told you, you know, you're walking around  
22 these cars also trying to mind your own safety. Because like I  
23 told you, on Norfolk and Southern, if you get injured, there will  
24 be an investigatory proceeding about that injury and how it's  
25 going to be all your fault. So you're trying to pay attention to

1 walk around safety -- safely around these cars in 30 seconds a  
2 side and still do the inspection? You tell me how it's possible.

3 MR. AROUCA: I would throw fatigue in there, too, as being a  
4 major problem.

5 MR. COX: Yeah.

6 MR. AROUCA: Yeah. When you're -- I cannot imagine it is  
7 wise to have people so tired, so exhausted, being around these  
8 unstoppable forces. It's just -- you doze off for a second, you  
9 walk into the -- like walk on a wrong track, you're, you know, a  
10 bug in a windshield. And we have, you know, Chattanooga, you  
11 know, that guy just walked across and there was a remote train  
12 and -- you know, I don't know if it was fatigue or if he -- yeah,  
13 if he was intoxicated himself, but --

14 MR. COX: So a carman has these wheel gauges. One is -- you  
15 might actually have a picture of it.

16 MR. AROUCA: I don't have --

17 MR. COX: But one is a finger gauge and the other one is a  
18 consolidated wheel gauge. One goes onto the flange of the wheel  
19 to determine if the flange is too thin. If the flange is too  
20 thin, it can pick a switch and actually one part of the car can  
21 actually start going down the wrong track compared to the rest of  
22 the train.

23 DR. GARCIA: What is this a picture -- oh, that's --

24 MR. COX: That's a picture of carmen gauges. Only carmen,  
25 only carmen have those. But this would be the flange gauge that I

1 was telling you about. One's for a locomotive and another one's  
2 for a freight car. And then this right here is the finger gauge,  
3 because the other thing you're determining is if the wheel rim is  
4 thick enough or if it's worn to the point where the FRA says it  
5 presents a shatter risk, where the wheel will just, you know,  
6 it'll break. So these are things that you're looking for. And if  
7 you could imagine being so exhausted that you make the misjudgment  
8 of working or being on the wrong rail and you got these gauges up  
9 on the actual wheel and someone couples this thing and pulls it on  
10 you.

11 MR. AROUCA: Yeah. I mean, it -- all of this is going to be  
12 downstream of fatigue. You know, the -- I don't think necessarily  
13 the -- and please correct me if I'm wrong, but the circumstances,  
14 the safety circumstances don't necessarily -- haven't really  
15 shifted, like the situational issues haven't necessarily shifted,  
16 so much as people being exhausted and being rushed. You know, I  
17 think being rushed at anything creates, you know, dangerous  
18 instances, dangerous occurrences, you know, and -- so, you know,  
19 that's, in a general sense, I would say the fatigue issue.

20 MR. COX: I do have an NS example of being rushed. So the  
21 car inspectors on this particular train missed an applied  
22 handbrake, manual handbrake. The train departed and shortly after  
23 departing a hot box detector detected the wheel at over 500  
24 degrees. They stopped the train -- and I have the Atlanta  
25 dispatcher's document from this, a very rare thing to get, but

1 they just instructed them perform a set and release on your train  
2 and take it to destination. Don't -- God forbid, don't get out  
3 and look at it. Don't inspect it.

4 MR. AROUCA: Oh, that's right.

5 MR. COX: Yeah, that's the document right there. So --

6 MR. AROUCA: I had forgotten what that was.

7 MR. COX: Yeah, I was --

8 MR. AROUCA: I didn't want to give it to you without knowing  
9 that.

10 DR. GARCIA: Is that for us?

11 MR. AROUCA: No, you are, you are --

12 MR. COX: I can do it from memory.

13 MR. AROUCA: Oh.

14 MR. COX: So --

15 MR. AROUCA: But can we give this to them?

16 MR. COX: Yeah. Oh, yeah.

17 MR. AROUCA: Okay. Can you walk them through, explaining,  
18 you know, what that is?

19 MR. COX: Yeah. So that's the dispatcher's instructions to  
20 the traincrew.

21 MR. AROUCA: Okay.

22 MR. COX: And they say perform a set and release but don't  
23 inspect it. And then it goes through the next detector and it's  
24 still at over 300 degrees. They still didn't stop the train.  
25 It's very reminiscent of East Palestine, where they talk about

1 they pulled -- just kept pulling it. That train, because they  
2 pulled it so many miles without the wheels turning, slide the  
3 wheel so flat that it actually spread the rail and derailed the  
4 train. So there's a real-world example for you of what fatigue  
5 and these inspection times will do.

6 MR. AROUCA: And now they're punishing our carman --

7 MR. COX: The inspector for missing the handbrake. Of  
8 course, of course they are, because like I told you earlier,  
9 they're having their cake and they're eating it, too.

10 MR. AROUCA: Even though they ran the train twice over hot  
11 box detectors, just said keep going. And yet they're blaming a  
12 carman. It's very frustrating. I mean -- and by the way, I  
13 wanted to make sure that you mention the supervisor that got  
14 fired.

15 MR. COX: Yes. So he --

16 MR. AROUCA: Not necessarily our guy, but --

17 MR. COX: Yeah. He was a high band officer, and I heard, I  
18 heard through the -- of this through a contact of mine, but  
19 basically what this supervisor had the -- he was in a place to  
20 make a judgment call if he was going to stop a train or not for a  
21 non-secure load. And what had happened is at three places prior,  
22 this pipe -- and what I mean pipe, I mean steel pipe; it's this  
23 big around; it's about that thick, okay, and it's the length of a  
24 freight car. It's coming off the freight car. Okay. And this  
25 has happened three places prior and they eventually determined

1 that the shipper just did not secure this load in a way that was  
2 safe to move. He stopped the train and got fired for stopping it.  
3 He's handing that through litigation at the moment and I'm trying  
4 to see -- I'm talking to the person who is handing his litigation  
5 to see if he'd be willing to come forward on a more official  
6 capacity.

7 MR. AROUCA: He'd be a good person to talk to.

8 DR. GARCIA: Do you all also look at the load, what's in the  
9 car?

10 MR. COX: Yes. When a car inspector, especially when he's on  
11 the outbound, there are two load criteria that will draw an  
12 inspector's attention. Number one is there has to be a buffer of  
13 non-hazardous material between the locomotive and the hazardous  
14 material cars. If that buffer does not exist, a carman will call  
15 the attention to the yardmaster that the train needs to be shifted  
16 differently in order to be in compliance.

17 The other thing a car inspector will do is, while he's making  
18 his inspections, he will assess the load. And if it appears safe  
19 or shifted in some way, then he will shop or take exception to the  
20 load of that car for being an unsafe condition.

21 DR. GARCIA: Okay. Thank you.

22 MR. AROUCA: I got to wrap this up.

23 DR. GARCIA: Yeah.

24 MR. AROUCA: Can we continue at a later date, it sounds like  
25 maybe?



1 DR. JENNER: We can.

2 MR. AROUCA: Or remotely or whatever?

3 DR. JENNER: We can. And we'll -- we're going to digest some  
4 of this here and --

5 MR. AROUCA: It's a lot to digest.

6 MR. COX: A lot to chew on.

7 DR. JENNER: -- we'll make future plans.

8 DR. GARCIA: Well, let's go off the record and we can --

9 DR. JENNER: Well, before we go off the record, is there  
10 anything else you'd like to add at this point?

11 MR. AROUCA: Not at the moment, no.

12 DR. JENNER: Okay. Any immediate questions from Bob or Mike?

13 DR. BEATON: No, thank you. None from me. Thank you.

14 DR. JENNER: Very good. So I do want to thank you for taking  
15 time and talking to us.

16 MR. AROUCA: Sure. Thank you guys for doing what you're  
17 doing.

18 DR. JENNER: And we've heard that you are open to further  
19 discussions, so we appreciate that. If there are no other  
20 questions, then we will go off the record. It's 5:07 p.m.

21 (Whereupon, at 5:07 p.m., the interview was concluded.)

22

23

24

25

CERTIFICATE

This is to certify that the attached proceeding before the  
NATIONAL TRANSPORTATION SAFETY BOARD


IN THE MATTER OF: SAFETY MANAGEMENT AND SAFETY  
CULTURE AT NORFOLK SOUTHERN  
Interview of Jason Cox and David Arouca

ACCIDENT NO.: DCA23FM015

PLACE: Washington, D.C.

DATE: March 27, 2023

was held according to the record, and that this is the original,  
complete, true and accurate transcript which has been transcribed  
to the best of my skill and ability.

  
\_\_\_\_\_  
Kay Maurer  
Transcriber