

UNITED STATES OF AMERICA

NATIONAL TRANSPORTATION SAFETY BOARD

* * * * *

Investigation of:

*
*
*
*
*
*

CAPSIZING OF THE LIFTBOAT *SEACOR*
POWER SOUTH OF PORT FOURCHON,
LOUISIANA, ON APRIL 13, 2021

Accident No.: DCA21MM024

* * * * *

Interview of:



Via Microsoft Teams

Wednesday,
April 21, 2021

APPEARANCES:

ANDREW EHLERS, Investigator in Charge
National Transportation Safety Board

MARCEL MUISE, Marine Accident Investigator
National Transportation Safety Board

MICHAEL RICHARDS, Meteorologist
National Transportation Safety Board
(Via Microsoft Teams)

CAPT TRACY PHILLIPS, Chair
U.S. Coast Guard Marine Board of Investigation

LT [REDACTED] [REDACTED] Recorder
U.S. Coast Guard Marine Board of Investigation

[REDACTED] [REDACTED] Member
U.S. Coast Guard Marine Board of Investigation

LTJG [REDACTED] [REDACTED] Search and Rescue Controller
U.S. Coast Guard

[REDACTED] [REDACTED] Member
U.S. Coast Guard Marine Board of Investigation

JOHN PRESTON, Chief Surveyor Offshore
American Bureau of Shipping (ABS)

MICHAEL CENAC, QHSE Manager, Designated Person Ashore,
Chief Security Officer
Seacor Marine

I N D E X

<u>ITEM</u>	<u>PAGE</u>
Interview of [REDACTED] [REDACTED]	
By Mr. Muise	7
By Mr. Ehlers	16
By Mr. Richards	19
By Mr. Ehlers	20
By Mr. [REDACTED]	21
By Mr. Richards	23
By Ms. Phillips	23
By Mr. Preston	25
By Mr. Muise	26
By Mr. [REDACTED]	26
By Mr. Muise	42

I N T E R V I E W

(14:46 p.m.)

1
2
3 MR. MUISE: This is Marcel Muise. It's 14:46 on the
4 East Coast with the NTSB. We're online today investigating or
5 interviewing Lieutenant [REDACTED] from Coast Guard Cutter Glenn
6 Harris, who was one of the first responders for the capsizing of
7 the Seacor Power on April 13th. Lieutenant [REDACTED] can you
8 spell your name for us and give us your title?

9 MR. [REDACTED] Yes, sir. [REDACTED] is the first name, [REDACTED]
10 [REDACTED], last name [REDACTED] [REDACTED].

11 MR. MUISE: And you can consent for me to record this
12 interview?

13 MR. [REDACTED] Yes.

14 MR. MUISE: Okay. Also online with us from NTSB, Drew?

15 MR. EHLERS: Hey. Good afternoon, Lieutenant [REDACTED] My
16 name is Drew Ehlers; I'm the investigator in charge of this
17 accident investigation for the NTSB. My name -- last name is
18 spelled E-H-L-E-R-S.

19 MR. MUISE: Anybody else from NTSB? Mike Richards?

20 MR. RICHARDS: Mike Richards. That's R-I-C-H-A-R-D. I am
21 the NTSB weather Group Chairman.

22 MR. MUISE: And Captain Kucharski?

23 MR. KUCHARSKI: Good afternoon, Lieutenant [REDACTED] Mike
24 Kucharski, National Transportation Safety Board, and I am the
25 Group Chairman of operations. Spelling my name is K-U-C-H-A-R-S-

1 K-I. Thank you for being here.

2 MR. MUISE: And from the Coast Guard, please?

3 MR. [REDACTED] Hey. Good afternoon, Lieutenant. This is
4 Lieutenant Junior Grade [REDACTED] [REDACTED] with the U.S. Coast Guard.

5 MS. PHILLIPS: Good afternoon. This is Captain Tracy
6 Phillips, last name P-H-I-L-L-I-P-S. I'm the chair of the Marine
7 Board of Investigation.

8 MR. [REDACTED] Lieutenant [REDACTED] [REDACTED] A-L-G-E-R, Coast Guard
9 Marine investigation.

10 MR. [REDACTED] This is [REDACTED] [REDACTED] with the Coast Guard, [REDACTED]
11 [REDACTED].

12 MR. [REDACTED] [REDACTED] [REDACTED] with the Coast Guard, [REDACTED]
13 [REDACTED].

14 MR. MUISE: And from ABS. Mr. Preston, are you there?

15 MR. PRESTON: Yes, sir. This is John Preston from ABS, J-O-
16 H-N, P-R-E-S-T-O-N. American Bureau of Shipping.

17 MR. MUISE: And from Seacor?

18 MR. CLERC: Good afternoon. This is Tim Clerc, vice
19 president of engineering for the Seacor Marine based in Houston.
20 Selling of my last name C-L-E-R-C.

21 MR. MUISE: And --

22 MR. CENAC: Michael Cenac with Seacor Marine, C-E-N-A-C.

23 MR. MUISE: And there's somebody online from [REDACTED]?

24 MR. PENTER: Yes, sir. Good afternoon. This is Lieutenant
25 Commander [REDACTED] with Coast Guard District 8

1 (indiscernible).

2 MR. MUISE: And somebody else online from [REDACTED]?

3 MR. [REDACTED] Hello, sir. Yes. This is Lieutenant, junior
4 grade, [REDACTED] [REDACTED] with the Coast Guard.

5 MR. MUISE: Okay. Thank you. So Mr. Ehlers, I forgot tell
6 you Commander [REDACTED] is from District 8 legal, he's on the line
7 with us. If you need to take a break and talk to him at any time,
8 we'll do that, and you guys can go offline and chat if you want.

9 MR. EHLERS: Thank you, sir.

10 MR. MUISE: Okay.

11 MR. EHLERS: And I think, Marcel --

12 MR. MUISE: Yes, sir.

13 MR. EHLERS: This is Drew here. We asked for -- and I'm
14 sorry, one member from each party only in the investigation -- or
15 in the interviews with the exception being the Coast Guard. And I
16 see both Tim Clerk and Michael Cenac online.

17 Michael and Tim, do you want to take a second and just decide
18 which one of you wants to participate here? I'm not trying to
19 leave anyone out, but if we have too many folks on the line it
20 just becomes cumbersome. So if you want to take a minute to do
21 that, we'll step over or we'll halt for a second.

22 MR. CENAC: Thank you, Drew. And I'll remain online and Tim,
23 thank you for your attendance.

24 MR. CLERC: Okay. Yes. Just update me later, Mike. I'll
25 leave it with you guys.

1 MR. MUISE: Okay. Thanks again, Captain.

2 INTERVIEW OF [REDACTED] [REDACTED]

3 BY MR. MUISE:

4 Q. So just to get started I'd like to get some background
5 information. Can you tell us a little bit about yourself and how
6 you got to be Captain of a brand new FRC?

7 A. Yeah. Thank you there, sir. Lieutenant [REDACTED] [REDACTED]
8 here. I graduated from the Coast Guard Academy here back in 2012.
9 Following my graduation I went onto my first tour in Kodiak,
10 Alaska on board the national security -- or excuse me, high
11 endurance cutter, Douglas Munro.

12 Following that, I moved down to San Diego in support of one
13 of our deployable special forces unit in San Diego (indiscernible)
14 specific tactical law enforcement as an officer in charge and
15 deployable team leader on the enforcement units on allied
16 deployment, allied naval vessels for counter-drug deployments.

17 Following that tour, I was there for three years. I was a
18 staff officer at Pacific area. Following that I was the combat
19 systems officer on the Coast Guard Cutter Stratton, the National
20 Security Cutter in Alameda, California. I was there for two years
21 and I just departed that unit (indiscernible) reported end of
22 February to Bollinger pro command there at Bollinger Shipyards to
23 start the pre commissioning process for the Coast Guard Cutter,
24 Glenn Harris.

25 Q. Okay. Thanks. Can you tell us a little bit about the Glenn

1 Harris? And actually the 154 in general.

2 A. Yeah. So Glenn Harris is the hull number 1144, it's the 44th
3 hull out of the shipyard Bollinger, it's 154-foot fast response,
4 it's about three quarters of the way through the procurement of
5 those FRCs. Glenn Harris and hull 44 are being assigned to our
6 Far East unit, that's in Bahrain. It will be used out there to
7 support the Sixth Fleet commander as well as mission sets that are
8 out there in the Persian Gulf.

9 Q. Okay. The 154 in general, can you tell us a little bit about
10 the capabilities and seakeeping characteristics of it?

11 A. Yeah. So still a little new with getting familiar with the
12 particular specs, but 154 has two MTU diesel engines, two
13 generators, capabilities can come up to, you know, roughly 29
14 knots, the fixed propellers. And seakeeping was -- the only thing
15 that I can really remember is a beam to knot wind with a constant
16 -- I actually don't have that number correct, I'd have to pull
17 some of the ship data to answer that, those numbers more
18 accurately.

19 Q. Okay. And I understand you have a small boat as well?

20 A. We do have a small boat. It's one of our -- it's our, what
21 we call the Mark IV, it's the fourth iteration of our over the
22 horizon small boat (indiscernible).

23 Q. So on the day of this accident, you guys left Bollinger and
24 were underway doing sea trials? Is that accurate to say sea
25 trials?

1 A. No, sir. So this day underway was a training day for the
2 crew. So Bollinger assigned certain days where (indiscernible).
3 This was the second of two days where Bollinger sea trial crew
4 gets us underway and teaches us a little bit about the
5 capabilities of the cutter.

6 This day in particular we were prescribed to see the
7 limitations and capabilities of the ship, and to also do a little
8 bit of maneuverability for the crew while in open ocean. We We,
9 due weather and in this event, we weren't able to do that training
10 for the day.

11 Q. Okay. I understand. So speaking of the weather, and again
12 this is before the accident, do you remember what the forecast
13 might have been before you got underway?

14 A. Yeah. So the forecast for the day was definitely in the
15 marginal category, roughly in the 30 to 40 knot wind and upwards
16 into the possibility of some heavy seas. I don't -- I can't
17 recall the exact number, but the offshore wind and (indiscernible)
18 the predicted wind was definitely in the marginal. We were -- we
19 definitely had cause for concern that was within our risk
20 mitigation and we talked about it. Yeah.

21 Q. So do you have a favorite source for getting weather
22 information?

23 A. Yeah. So for us because we were, technically, in the student
24 mentality, I wasn't in -- other than just to be informed about the
25 sea state, I wasn't using what I would now use as the CO of a

1 cutter to get underway. So I wasn't very -- looking at weather in
2 a detailed form. But we looked -- we used applications like Windy
3 and then looked at a weather buoy. I can't recall what that exact
4 data is -- that I was looking at from those two sources.

5 Q. Okay. You actually brought up a point that I missed. Can
6 you describe, briefly, the relationship between the -- or who
7 owned the vessel at that point and what was going on with people
8 on board?

9 A. Yep. So Bollinger was the -- Bollinger Shipyard was
10 responsible for all things of the Cutter Glenn Harris at that
11 time. At that time I was responsible for the crew. So the
12 morning of the ship, the unmooring ship, driving the, the plan,
13 the navigation, and all of that is under the -- was under the
14 responsibility of Bollinger. Specifically the master captain was
15 Captain Leonard Guidry. He was the sea trial master and captain
16 of the vessel and is the mastering captain for majority of the
17 FRCs.

18 Q. Okay. The bridge of the FRC, what do you have for radio
19 sources up there? Is it our weather fax?

20 A. We have the ability to tune to a radio station, but we do not
21 have a printout or a way to receive a weather fax, like for
22 example on the NS -- the National Security Cutter has an entire
23 system that receives that type of data.

24 Q. How about a navtex receiver?

25 A. Can you say that again, sir?

1 Q. Have you ever heard of a navtex receiver?

2 A. No, sir.

3 Q. Okay. Do you remember seeing -- hearing about a special --
4 any special marine warnings that were issued starting at noon that
5 day?

6 A. No, sir.

7 Q. Okay.

8 A. I would say -- when I say hear, I wasn't in a mental state to
9 be on the lookout and hearing or paying attention to those things.

10 Q. Of course. Okay. So what I'd like to do now is -- just as
11 much detail as you can remember, just recount the -- from the time
12 of the response or the distress call to when you left the scene.

13 In fact I'll turn my camera off, so you don't have distractions.
14 Just talk to the computer and let us know what happened out there.

15 A. Yes, sir. So we were (indiscernible) to get underway from
16 the Bollinger Shipyards volunteer shipyards pier give or take
17 around 1300 local that day.

18 The reason why it was so late is that some of our training
19 was prescribed to do evening ops so the plan was to spend most of
20 the afternoon and into the evening conducting training.

21 We had gotten underway from the Port of Fourchon, through the
22 channel and we went -- we turned left and then I think went to the
23 East, right outside of the Grand Isles waterfront there and that's
24 where we, kind of, we were positioning ourselves through training.

25 When we arrived into a little safe haven area away from a lot

1 of the rigs that were out there, that is when the weather system
2 had came over top of us and we saw it on radar and it approaching.

3 We began our training and went into passing control of the
4 ship to various watchstanders and then the weather system had come
5 on top of us pretty quickly at that point.

6 The weather system was very cumbersome and it definitely
7 engulfed us. Our visibility have reduced all the way to a point
8 where we could barely see the bow of our cutter.

9 At that point we were also observing winds ranging from 50
10 miles per hour up to 80 miles per hour locally on board the
11 cutter. Our visibility was reduced because of the rain and at
12 that point is when -- as time had just generally began as that
13 system stalled over top of us, is when we started to hear and
14 queue into a lot of the other merchant vessels in need for
15 support.

16 So there was a handful of, sounded like, crew boats or
17 tugboats that couldn't -- that were a little late with getting
18 into safe haven. So we were closely monitoring as we were station
19 keeping and keeping our bow into the weather. We were just
20 listening to some other vessels struggling with fighting into the
21 elements and getting into safe haven.

22 I think, eventually, all of them that we were able to listen
23 to either had a support vessel there with them, or the weather had
24 subsided to a point where they were able to get into a, for
25 example, Grand Haven or Grand Isles, excuse me.

1 When the system had, kind of, gone over the top of us and
2 visibility starting to improve, we heard from a merchant vessel
3 that was out there. I think it was the merchant vessel Rockfish,
4 that there was an overturn platform.

5 At that point we were roughly five nautical miles away, we
6 were barely in visual range of that. We were repositioning to,
7 kind of, assist or slash identify what was actually happening.

8 When we had gotten closer and arrived on scene, if you will,
9 was when we -- one of my crew members were on the cutter's forward
10 looking infrared camera and FLIR camera. And we were about two
11 miles away from the rig at this point and the camera was what
12 helped us identify that there were people on the overturned rig.

13 We were, at that point, just remaining quiet because on the
14 radio there was a lot of other merchant vessels that were closer
15 into the rig and, kind of, down swell and they were finding a lot
16 of debris in the water, and so we were just trying to listen to
17 them and hear what reports they had.

18 Once we identified that there were folks on board the rig,
19 was when we -- the Captain Guidry decided to insert the cutter
20 into the case at that point and into the scenario.

21 As we were able to get a clearer picture, we were able to
22 identify five individuals climbing on the overturned rig, on the
23 white part of superstructure, taking shelter from the waves that
24 were hitting the structure at that time. I'm going to pause there
25 just to see if there's any questions before proceeding forward.

1 Q. Of course. Thank you, Captain. So just to confirm that the
2 first distress call you heard was the Rockfish's, for this
3 incident. You were responding to the Rockfish and not some other
4 tasking.

5 A. Yes. That is correct, sir. We heard nothing from the actual
6 vessel that overturned, the liftboat, or anyone else. The
7 Rockfish was -- I'm pretty confident it was the Rockfish was the
8 one that made the initial report, kind of, to follow the vessels
9 in the area that there was an overturned liftboat.

10 Q. Okay. And can you tell me a little bit about the liftboat's
11 condition when you arrived, what position it was in, and how much
12 of the superstructure was exposed?

13 A. Yeah. So the -- I still to this day can't -- I can't do a
14 good job of telling which sides the forward or port, the starboard
15 side of the liftboat. But there was a corner of the liftboat --
16 I'm unassuming the liftboat is more of a square, but there's a
17 corner of the liftboat that one of its spuds that were protruding
18 out of the water, and that's what you can see in most photos.

19 In terms of the level -- thanks for providing that. In terms
20 of what could be seen, there is the white superstructure --trying
21 to make this a little bit bigger.

22 Q. For the record we're looking at the -- an outboard profile of
23 the Seacor Power, which I've inverted and flipped horizontally, so
24 it actually looks like the port side.

25 A. Yeah. So the white superstructure, that I think -- which is

1 level 2 that top level underneath, I think that's the bridge, was
2 the -- what could be -- what was seen. The (indiscernible) --
3 even the bridge was a bit in the water and those windows were
4 being splashed by the waves. It was just about that first deck
5 that looked to be -- first to second deck to looked to be out of
6 the water.

7 Q. So when you say the first and second deck, you mean what the
8 Coast Guard would call the main deck and the oh-one deck.

9 A. No. I'm working my way down from the top of the master --

10 Q. Okay.

11 A. -- and that first check down, first or second deck down.

12 Q. Okay. And where were these five survivors at that time?

13 A. So I would say -- it's kind of hard to tell from this image,
14 I know there's a few local or a few photos that were released from
15 -- released into the media that provide a little bit better
16 description. But I think it's between the first and the second
17 deck, that ladder -- behind that ladder is where there was a bit
18 of a covey, if you will, that they were able to take shelter
19 behind.

20 Q. So can you see my mouse? Right here, is that what you're
21 talking about?

22 A. Down -- or sorry. Higher.

23 Q. Oh, okay.

24 A. Higher in the rig, yeah.

25 Q. This is the (indiscernible) hole here. This is what they

1 call the main deck. There's a door to the galley here.

2 A. Okay.

3 Q. And forward of that is a door that goes forward into the
4 engine room. You can't actually see the door on this drawing.

5 A. Yeah, yeah. That that makes sense now. I just re-looked at
6 a photo. So I would say that main deck area where your -- that
7 ladder was definitely, kind of, a hiding spot that they were using
8 to tuck themselves into a corner.

9 Q. Okay. Were these doors -- any of them open when you arrived?

10 A. So it was hard for us tell that. It was definitely later, I
11 think, and I'll get to this later in the narrative --

12 Q. Sure.

13 A. -- but there was a hatch that was opened by the two remaining
14 survivors, hard to tell what hatch that goes to or what it's for.

15 MR. MUISE: Okay. Somebody else had a question, let's see.

16 MR. [REDACTED] I think it was Drew.

17 MR. MUISE: Sorry. Drew, go ahead.

18 BY MR. EHLERS:

19 Q. Yeah. And sorry, I'm going to back play up here just a
20 little bit and go through some questions. You mentioned doing a -
21 - looking at the weather and I think doing a risk assessment. Was
22 -- when you were looking at that weather information, was that
23 something internal to your Coast Guard crew or was that something
24 you did with the Bollinger crew?

25 A. Yeah. So the conversation that we had -- we had two

1 conversations, one was with my crew. My crew was a bit concerned
2 about, you know, risk versus gain, this being training, it was our
3 last day in Bollinger. So there was just -- there was some angst
4 amongst my crew that I wanted to leave and give them a bit of a
5 certainty.

6 And when we did our overall safety brief with all hands, it
7 was talked about by Captain Guidry about, you know, we're not
8 going to continue to stay out there if they think that things
9 become burdensome or we're not able to complete training, so and
10 it was often in two different places.

11 It definitely didn't get the level of scope that, you know,
12 Coast Guard operations usually gives to risk assessment but
13 that's, you know, that was -- it wasn't our cutter, it wasn't our
14 risk assessment to make.

15 Q. Okay. All right. And did you have any authority to, I'll
16 call it stop-work authority, when it comes to these training
17 voyages?

18 A. Yeah. I felt like I had a say, and I had an authority to
19 make a comment or make a decision to Captain Guidry if I felt or
20 if I was getting levels of uncomfortable and uncomfortableness
21 from the crew, (indiscernible).

22 Q. Okay. And fast forwarding to when the system hit, you
23 mentioned the whiteout conditions or visibility going down. Do
24 you have a sense of what the winds were at that point?

25 A. Yeah. And a whiteout is a really good word to describe it.

1 I would, you know, I would also throw a phrase of a true
2 definition of a squall. But winds ranged from -- at the start of
3 on scene there from 50 to 80 mile per hour winds on the least
4 locally observed on board the cutter when it first came over. As
5 the night had moved forward, we continued to see 35 to 40 knot
6 winds went alongside the rig.

7 Q. Okay. So you'd say about the time the accident happened, 50
8 to 80 knot winds?

9 A. I don't know the time -- the exact time of when the boat
10 capsized. But when we were in whiteout conditions, it was -- we
11 saw 80 knot winds.

12 Q. Okay. And I believe you said this, but correct me if I'm
13 wrong, you were about 5 miles away from where the accident
14 location was at the time that the winds hit. Is that correct or?

15 A. Yes. So by the time that we could get our, kind of, our
16 clarity of seeing where we were, and that's when the motor vessel
17 Rockfish reported that the boat was overturned. We were -- from
18 that -- from Rockfish, where about five nautical miles away.

19 Q. Okay. And how long would you say the heavy rains and the
20 wind lasted? The period that, again, the squall hit to the time
21 that you were able to regain your bearings?

22 A. I would say that that experience was from 30 to 45 minutes of
23 a pretty cool whiteout squall condition.

24 Q. Okay. And I believe you said prior to that squall hitting,
25 Coast Guard folks were taking turns at the controls and, correct

1 me if I'm wrong, did -- number one, is that correct? And number
2 two, did the Bollinger crew take back control -- take the controls
3 once the squall hit?

4 A. Yes, sir. So we (indiscernible) my Coast Guard crew were
5 giving controls of the cutter to the (indiscernible) as we were
6 making our way through the squall. At the time that we heard the
7 report of the liftboat, that is when Bollinger took over controls.

8 MR. EHLERS: Okay. All right. Thank you very much.

9 MR. MUISE: Mike Richards, you had a question?

10 MR. RICHARDS: Yes, sir. Mike Richards, NTSB.

11 BY MR. RICHARDS:

12 Q. I don't think you mentioned sea state. Do you have an
13 assessment of what seas were while you were in the white out
14 conditions, specifically, (indiscernible) during the squall?

15 A. Yeah. So when we were -- when we had gotten underway, we
16 were looking at about one to three foot of waves, no major swells
17 of any sorts. When we got into the squall, those waves had picked
18 up to just wave tops here, had picked up to about four-to-five-
19 foot waves, still no swells.

20 By the time we got to the liftboat, we were -- we saw a good
21 amount of swell developing, that developed all the way into a 6-
22 foot swell with waves on top.

23 Q. So this was -- if you were in whiteout conditions for about
24 45 minutes, the swells you say developed at least 45 minutes after
25 the initial impact of the squall.

1 A. Yes. When we first got underway, and when we first got hit
2 by the squall, we didn't have any -- nothing more than a notable
3 swell, so I would say there was nothing more than a two-foot
4 swell. When the swell came through, it just produced a lot of
5 waves, bigger waves, messy, you know, kind of, white chop waves
6 that were in that 4-foot category. By the time we had
7 repositioned and, kind of --

8 MR. EHLERS: Marcel, I lost him.

9 MR. MUISE: Yeah. I lost him too. Give him a minute.

10 MR. EHLERS: Okay. We may have to have him repeat that.

11 MR. [REDACTED] I think I'm back; I think I dropped there for
12 a minute.

13 MR. MUISE: Sure. Go ahead. We lost you when you were
14 talking about the sea state.

15 BY MR. EHLERS:

16 Q. Yes, sir. So you when you were -- we can't see you, but we
17 can hear you, and you were in the middle of describing the
18 evolution of sea state as you experienced from the initial squall
19 event through the (indiscernible).

20 A. Yes, sir. So during this, when we had first arrived to our
21 training box, we likely saw a swell of about 1 to 2 feet waves,
22 about one to two. When this squall came over top, we saw a grow
23 in wave height, up to the four to five category. We weren't
24 really seeing a big swell at that time. We were seeing -- we were
25 feeling a lot of sea wave and a lot of wind pressure, by the time

1 or visibility cleared --

2 MR. EHLERS: Oh, he always gets to that point and then we
3 lose him, must be important.

4 MR. [REDACTED] Hello.

5 MR. MUISE: Hey, Captain.

6 BY MR. [REDACTED]

7 A. So I think I know where you guys lost me there, it was, kind
8 of, the transition from when the squall became an issue with us.
9 So by the time that 45 minutes of being in a whiteout condition to
10 learning about the liftboat, swells were generating fast. By the
11 time we had got into the liftboat, we were then looking at about a
12 four to a five-foot swell.

13 And I want to point something out, that we were in two
14 different sections of water. So our training ground was a little
15 bit closer aboard the shore, whereas the liftboat was out in
16 deeper water than where we were initially, where we were initially
17 were hit by the squall.

18 Q. Okay. Thank you. This is really helpful. You had said that
19 you had been anticipating by the (indiscernible), 30 to 40 knot or
20 mile per hour winds, but I don't think you said what type of seas
21 were you expecting. Were you expecting one to two? Do you know,
22 Marcel, I don't know if video is not required, it might help if he
23 used the audio phone.

24 MR. MUISE: Yeah. Yeah. I agree, maybe it'll help with
25 bandwidth if we secure the video on his end.

1 MR. EHLERS: Okay. Sir, if you can hear us, we've lost you.
2 You may want to re-connect by phone.

3 Hey, Marcel. Try sending him a chat and just ask him to call
4 in (indiscernible).

5 MR. MUISE: Yeah.

6 UNKNOWN SPEAKER: Good afternoon. This is Lieutenant
7 Commander [REDACTED] I'll pass him the message and the call-in code
8 and have him call in on top of the video.

9 MR. MUISE: Okay. Thanks, Commander.

10 UNKOWN SPEAKER: And Marcel, I have just a few questions, but
11 I'll make him quick because I know now we're starting to run long
12 and there's some other people who want to ask questions.

13 MS. PHILLIPS: While we're waiting, Marcel, he mentioned he's
14 looking at a photo. Do you know if we have the photo he's looking
15 at?

16 MR. MUISE: I don't know, actually. Good question.

17 MS. PHILLIPS: I'll ask him if --

18 MR. [REDACTED] I'm back online if that helps.

19 MR. MUISE: Sure. Lieutenant [REDACTED] lets -- you can
20 secure your camera, maybe that'll help with the bandwidth if
21 that's the problem and we'll just go with audio.

22 MR. [REDACTED] Yeah. I'm going to go ahead and try to get
23 the meeting thing back up and then I'll also have my phone line on
24 as well if I get dropped again so there's no loss, I'll just
25 transition to that, if that's all right.

1 MR. MUISE: Okay. Roger that. So go ahead, Mike Richards.

2 BY MR. RICHARDS:

3 Q. Okay. Are you there?

4 A. Yes, sir.

5 Q. Okay. Sorry. There's other people have questions. I'll
6 wrap these up pretty quick. But I think the question is, briefly,
7 what seas were you anticipating before departure?

8 A. I think we were anticipating for that system that was going
9 to come through about 3-to-4-foot seas, which we were comfortable
10 with proceeding for the training.

11 Q. Okay. So you were expecting 30 to 40 knot winds. The seas
12 you just mentioned, to me a squall is a more particular type of
13 events characterized by high winds, heavy rain, it, qualitatively,
14 it makes an intense impact if you're out on the water. So my
15 question to you is based on the forecast information you had
16 looked at, were you anticipating a squall?

17 A. No, sir.

18 MR. RICHARDS: Okay. That's all for me now, Marcel.

19 MR. MUISE: Okay. Captain Phillips?

20 MS. PHILLIPS: Good afternoon. Tracy Phillips.

21 MR. [REDACTED] Yes, ma'am.

22 BY MS. PHILLIPS:

23 Q. When you heard about the weather before you got underway, did
24 the Bollinger captain show you a written weather report, or did he
25 have (indiscernible) whether --

1 A. That's my fault, sorry.

2 Q. Did he just, kind of, verbally talk with you about the
3 weather forecast?

4 A. Just verbally talked, nothing -- we didn't look at any
5 products or anything of that sort.

6 Q. And you don't know if he had a written (indiscernible)?

7 A. No, I do not.

8 Q. Okay. You mentioned the wind speeds that you saw that day
9 between 50 and 80. Was that in miles per hour or knot? What
10 would you --

11 A. That's in knots, ma'am. Off of the tools that we have on
12 board the cutter.

13 Q. Knots, okay. Thank you. And I think you said you were
14 station keeping when the squall was coming through. Is that
15 right?

16 A. Yes, ma'am. We watched the squall approach us on radar and
17 by the time it got into us, the wind was so strong that we needed
18 to put our bow into it or we would have been set very quickly in a
19 dangerous direction so yes, ma'am.

20 Q. So what was your heading against when the wind hit or when
21 you were going into the winds. Do you remember or what general
22 direction --

23 A. I would say the general direction was to the East.

24 Q. So you were pointing --

25 A. Into the wind.

1 Q. (indiscernible).

2 A. We were pointed into the wind and I couldn't give you a
3 direct bearing, but I want to say it was in an easterly direction.
4 We were pointed in an easterly direction.

5 Q. Okay. And you had mentioned that you were looking at a photo
6 just now.

7 A. Yes.

8 Q. Can you tell us what photo that we're looking at?

9 A. Yes, ma'am. It was just one of the press releases released
10 by, I think it was the first press release released by District 8
11 or Sector New Orleans. It was just helping me orientate myself to
12 what we were seeing that night and that I have a better, clearer
13 way to answer the earlier questions about where on the deck for
14 when we get there so.

15 Q. Great. Okay. Thanks. Do you know if you or any of your
16 crew took any pictures of the capsized vessel that day?

17 A. Yes ma'am. Our crew members had taken photos and all of
18 those photos have been provided to District 8 and Sector New
19 Orleans public affairs.

20 MS. PHILLIPS: Okay. Thank you. That's all the question I
21 have.

22 MR. MUISE: Okay. Thank you, Captain. ABS and then NCOE and
23 then we'll move on with the story. So go ahead, John.

24 MR. PRESTON: Yes, Captain -- or Lieutenant.

25 BY MR. PRESTON:

1 Q. While you were seeing the storm come on the radar and going
2 through, did you hear any notices over the radio about the
3 oncoming weather?

4 A. No, sir.

5 Q. So and no pan-pan notices or anything like that?

6 A. Nothing that stood out, sir.

7 MR. PRESTON: Okay. Thank you.

8 BY MR. MUISE:

9 Q. And just to clarify, Lieutenant, did you hear the UMIB issued
10 by New Orleans? This would have been about 10 minutes after the
11 distress call?

12 A. Did I hear --

13 Q. The urgent marine information broadcasts?

14 A. About vessels in distress?

15 Q. This specific vessel in distress.

16 A. Yes.

17 Q. Okay.

18 A. I -- there were many released by Sector New Orleans. There
19 was -- there was a vessel that had lost power outside of the
20 entrance to Grand Isle, and then there was this liftboat.

21 MR. MUISE: Okay. Go ahead, [REDACTED] with NCOE.

22 MR. [REDACTED] Yes. Hello, Lieutenant.

23 BY MR. [REDACTED]

24 Q. You stated that or right before we lost you on video, it was
25 talking about the location of (indiscernible) to the location of

1 the liftboat. Can you describe that? I believe you said
2 (indiscernible) inward?

3 A. Yes, sir. We were further to the East, a little bit closer
4 to the entrance of the Grand Isle. The -- over and in a little
5 bit further in, kind of, when you get underway a little bit in
6 more open ocean, there's a lot more rigs that are out there closer
7 in a little bit clearer water for us to train.

8 When we found and received the report of the overturned
9 liftboat, it was roughly, I would say, five nautical miles to our
10 -- was it was (indiscernible) to be five nautical miles to the
11 West and a little bit Southwest, and it looked a little bit more
12 offshore in deeper water.

13 We were initially started training in, I think, it was about
14 around 30 to 40 foot of water. I think the liftboat was in about
15 50 to 60 foot of water, I might be a little off on the liftboat
16 location. But we were definitely in closer to shore of where were
17 planning to conduct training.

18 MR. [REDACTED] Okay. Right. Yeah. That's what I was curious
19 about was the water depth and the training location versus at the
20 scene of the accident as well. So that's all I got. Thank you.

21 MR. MUISE: Okay. Thank you, [REDACTED] Michael Cenac, can you
22 hold off on your question so we can get to the end. I'd like to
23 continue with the timeline.

24 BY MR. MUISE:

25 A. So I think I took a pause at us arriving on scene and finding

1 the five persons on the overturned vessel.

2 Q. Yes, sir.

3 A. When we had arrived on scene, we slowly were able to identify
4 that were five people. It took a while for us to find and
5 identify all those members. Only one person at that time had a
6 personal floatation device on.

7 We were upswell, so we were to the East of the liftboat at
8 that point, so we were in a bad position and we needed to come
9 about and get ourselves into the weather.

10 When we had identified that there were personnel on the rig,
11 the Bollinger sea trial crew made an attempt to launch their small
12 boat pretty early upon our rival.

13 They launched their small boat. The small boat was able to
14 get near the rig but wasn't able to get close and really get onto
15 the rig in a rescue manner, and the people were -- the Bollinger
16 crew returned, and the captain recovered the small boat.

17 I would say at that point was when it became apparent that
18 the swell height had increased dramatically. It was apparent that
19 from the way the small boat was riding in the water, it was clear
20 that we were looking at 5-to-6-foot swells at that time.

21 We had recovered the small boat and we positioned ourselves a
22 little bit more down down swell of the rig and continued to
23 evaluate the situation.

24 We made an attempts to hail via the loudhailer upwind to try
25 to reach out to the folks on the rig. We had no means to receive

1 communication back from them. We were trying to direct them to
2 put flotation devices on.

3 As the scenario -- situation developed and we were down
4 swell, we could see on the rig that the five members were losing
5 -- when I say losing, I mean by waves, kind of, a safe haven area
6 to be. And I have a Zulu time on the timeline that we have here
7 of went things started to happen.

8 So we had three merchant vessels that were further down swell
9 from us that were finding flotation devices and life rafts, and
10 they were searching in those. The motor vessel, Atara, found a
11 person in the water. They were unable to retrieve that person in
12 the water, so the motor vessel Elise Mary came alongside to
13 assist, I think Elise Mary had a shallower freeboard to get that
14 person on board.

15 At that time, all these vessels were losing communications
16 with sector -- Coast Guard Sector New Orleans. So we ended up
17 taking on communications and the coordination's there locally and
18 pushing that and sharing that with Sector New Orleans relaying
19 information.

20 At that time there was a local, it was either a motor vessel
21 Rockfish or another sister platform had informed us that the
22 capacity of the motor vessel Seacor Power was 18 persons
23 (indiscernible) capacity. The person that was rescued from the
24 water had informed us that the (indiscernible) from the Elise Mary
25 that (indiscernible) was there was a possibility of 17 persons on

1 board.

2 There then was the motor vessel, Christian Chouest, that
3 found or located another person in the water. They were able to
4 recover that person, we relayed information on that. And at that
5 time about 2300 Zulu was when we observed -- we maintained --
6 through all of this, we maintained position right off of the
7 liftboat and as close a fashion as we could, as Captain Guidry
8 felt comfortable with. And we had our FLIR looking at the five
9 individuals on board of the platform.

10 At 2300 Zulu was when we observed one person fall into the
11 water, and that's when we drove into and positioned ourselves in a
12 way where we could rescue and recover that person from the water,
13 we did. That person did not have a flotation device.

14 Shortly after that was when motor vessel Cape Cod observed
15 another person in the water, rescued and was able to recover them.
16 The two Coast Guard 45 medium response small boats responded to
17 the scene from station -- Coast Guard station, Grand Isle. They
18 were able to be a little bit more into the rig than we were. At
19 that time that's when the fourth member on the liftboat had
20 entered the water.

21 When the 45 was in a good position to recover that person
22 from the water -- was the best position, and that person that they
23 recovered was one of them that had a severe wound that needed to
24 be evacuated to EMS and they did so. And the second Coast Guard
25 response boat, the 45, had come and relieved the other one up

1 close and tight of the overturned rig and we were a little bit
2 offset.

3 So at this time there were three survivors still remaining on
4 the rig and we were closely approaching sunset. The -- we were
5 informed that we were able to get a Bristow helicopter on scene
6 from Sector New Orleans and from what I understand, that's a
7 commercial rescue company. And they arrived on scene with hoist
8 capability and a hoist swimmer or rescue men that could be lowered
9 down; they arrived on scene.

10 Due to the orientation of the platform, it was hard for them
11 to identify where the individuals were, they needed to do a few
12 orbits. And at this time it was night, so we were using our
13 spotlights to provide them direction and then be able to maintain
14 visual of the folks on the rig, three remaining.

15 We -- they made an attempt to lower their swimmer and their
16 swimmer was able to touch the hole in the rig but wasn't able to
17 really go underneath the hole in the rig and get to where those
18 survivors were. When I sat underneath, I mean things were
19 inversed -- were capsized at that point, so when I say underneath,
20 I mean not underneath the hole against the main deck of the rig.

21 They -- we were able to lower a bag with a radio and
22 flotation devices for the three remaining survivors. It took them
23 a while for them to up on the radio, but they eventually did, and
24 we took over communications directly with the survivors at that
25 time. And I'll go ahead and pause there.

1 A. Okay. That's actually very helpful, Lieutenant. I had some
2 confusion about how many, four or five people but I think I
3 understand the story now. Can you -- and this might be a
4 difficult question but if you were to explain to the lay person,
5 somebody who's never been to sea before, how would you explain why
6 the FRC couldn't get any closer to within heaving line range?

7 A. So I would say the reason is there -- it was unclear of the
8 condition of the water surrounding the rig. So we -- there was --
9 it was unclear to know if our approach would have hit another spud
10 or if we would hit crane.

11 We were not familiar with what was on the approaching water,
12 if that water was clear to get any closer. There was a high
13 likelihood that we -- the cutter could have drove right over the
14 top of another spud or the crane that was on that lift platform.
15 Does that answer your question?

16 Q. It does, thank you. And I asked about doors earlier, but I
17 didn't get to the crane. Where was the crane that port side crane
18 when you arrived?

19 A. When we arrived, I don't recall seeing a crane at all. I
20 mean, we may have seen a corner of the crane but as I look at the
21 photo again, yeah there -- we didn't see any cranes. We only
22 could see one of the spuds in the corner, and a section of that
23 pilot house where that -- the superstructure on the deck. We
24 could not see any crane. We would see railings. We could see
25 railings for the main deck, but we could not see any crane.

1 Q. Okay. So similar question about your small boat, can you
2 explain too, again, the lay person who's ever been in a small boat
3 before. Why was it that you couldn't get the over the horizon
4 boat close enough to the liftboat?

5 A. Yeah. So I wasn't driving the small boat, so I couldn't
6 speak directly to that. But the condition -- the weather
7 conditions at that point were so cumbersome and so dangerous that
8 a small boat of that tonnage, of that weight, is a bobber and
9 could get thrashed against that rig very quickly and aggressively.

10 Q. Okay. So of the five -- the first three that went in the
11 water, one of them was one that you recovered?

12 A. So the first -- yeah. The three -- we know that three went
13 in the water. I haven't talked about the third. But the two that
14 went in the water that I mentioned, the first one was recovered by
15 us, yes.

16 Q. Okay. I'll tell you what, I'll let you continue with your
17 story from there. Go ahead.

18 A. Okay. So there were three crew members remaining, they had
19 flotation devices at this time, and they had radio communications
20 with us. The helicopter needed to return for fuel for endurance
21 and we remained on scene. At this -- for us there on scene all we
22 had was the Coast Guard cutter, Glenn Harris, and a 45. So we
23 were attempting to identify what could we do in that time and
24 there wasn't anything safe for us to approach, and so we just
25 continued to monitor and watch to see if somebody had gone in the

1 water.

2 Unfortunately during this time, when the helicopter was away
3 was when the third person went into the water. And when I say
4 went into the water for all three of these individuals, it was
5 unclear if they had done it by choice, or if they had been swept
6 away, or been forced into the water.

7 We observed from the FLIR that the third person had gone in
8 the water, but we weren't able to maintain -- it was at night, we
9 weren't able to maintain visual of that person in the water. It
10 is unknown if that person came up from the water. So no clarity
11 other than us seeing him just being swept away from that point.

12 Moving from there, we tried to search the water. The down
13 swell run, the drift of the sea conditions for the person in the
14 water and both the 45 and us weren't able to identify anybody or
15 anything in the water.

16 Moving forward, we continued to maintain communications with
17 the two members on board, and that's when things started to get
18 challenging as the -- we observed the weather shift further to the
19 South or more southernly and when it -- when that happened, it --
20 their current lee or area of protection became more exposed, so
21 they were losing protection on the external decks and the wave
22 condition towards or onto the platform was becoming more violent
23 and increasing.

24 The Bristow helicopter returned, and we were still able to
25 have communications with the two survivors at this point. They

1 were entertaining a series of many opportunities to try to rescue
2 them, but they were not -- especially as the weather had shifted
3 more southernly, just became even more dangerous with the amount
4 of overhangs and railings.

5 The Bristow had a conversation with the survivors about
6 seeking shelter and that's when we observed on the FLIR, the
7 opening of a hatch or a door, unknown exactly what that hatch goes
8 to or where that -- where and what that was for, but we only saw
9 one person move. The Bristow made it sound as if both of them
10 entered that space and sought shelter as the conditions were
11 shifting and increasing. When I say increasing, I mean wave
12 height and in violence, I don't mean wind. Wind was not
13 increasing, wind at that point was sustaining 35 to 49 winds.

14 At this point was towards our, we continued to maintain on
15 scene but we -- Captain Guidry was approaching his air endurance
16 limitations, so yes, we had a Coast Guard crew on board, but we
17 weren't yet trained and ready to take over command of that vessel,
18 and captain Guidry only had a crew of one -- a crew of his sea
19 trial crew. So he needed to make the decision about endurance and
20 stamina for the rest of the night, and he, eventually, at this
21 point, give or take, you know, maybe 30 minutes was when he made
22 the decision that they -- that he needed to head in.

23 So we had passed all information to Sector New Orleans.
24 Coast Guard 65 had arrived on scene and that last 65 helicopter, a
25 Dolphin helicopter arrived on scene and, kind of, took over

1 control -- regional control of that and assessed it and we passed
2 information to them.

3 There was still a handful of merchant vessels that were
4 searching the waters in the area. And we, eventually, around 04
5 Zulu had made the decision that we were -- we needed to head in
6 for the Port of Fourchon.

7 Q. Okay. Thank you again for that, Captain. So that decision
8 to head back in was more of an insurance thing it wasn't about
9 food, fuel, or water?

10 A. It was an endurance thing. Yes, sir.

11 Q. Okay. I have a few follow-ups about the crew on the
12 liftboat. If that hatch that you described that they sought
13 shelter in, was that a little bit forward?

14 A. Yeah. It was -- if you -- can you show that --
15 (Crosstalk)

16 Q. I could bring up that -- if I can figure out how to do that
17 again. Okay. Can you see that?

18 A. Yep.

19 Q. Okay. There is a hatch here.

20 A. Yeah, yeah. It's unclear to me if it was a deck hatch there
21 or if it was a bulkhead door.

22 Q. Okay.

23 A. But there was -- in that region there is a hatch that we saw
24 that opened and that they went into.

25 Q. Okay. And the way the liftboat landed was more of a

1 southeasterly heading or more southerly heading.

2 A. I would say more southeasterly, yes.

3 Q. Okay. And then I heard you say that the waves started to
4 shift, or wind started to shift or both to the South. that would
5 make since --

6 A. So I would say --

7 Q. -- that this would provide some shelter.

8 A. Yeah. I would say that it was definitely favoring a little
9 bit more southerly, it had a little bit of an East head to it, the
10 way that the deck was facing. But the way the flat deck was
11 facing at that time, was definitely more on the southerly.

12 So when things had first started, they were able to hide
13 behind superstructure there where you have things circled and
14 that's when things had shifted that, that base. Imagine that the
15 actual working deck was a wall, that became the backboard, pretty
16 much, of the swells as they shifted to the South, so that's why
17 things became a lot more violent.

18 Q. Okay. The patient that you recovered, a few questions about
19 him. How did you get him on board?

20 A. So we deployed a series of life rings and heaving lines. We
21 were able to get connected to him and we helped haul him into the
22 hole. We had a pilot's ladder over the side, once he was able to
23 recover his wrath and he felt strong enough, he just needed to
24 stand up on one of the rungs of the pilot ladder, and the crew was
25 able to pull up the rest of the way.

1 Q. Okay. Did he say that how he egressed from the liftboat?

2 A. He did not.

3 Q. Okay. I know your timeline says that he was treated for
4 shock. Is there any other medical treatment that you gave him?

5 A. No.

6 Q. Is there -- does the Coast Guard have like a patient contact
7 report, where you describe treating the victims of SAR cases,
8 things like vital signs, sign symptoms?

9 A. We didn't take any medical conditions or symptoms of those
10 sorts from him.

11 Q. Okay. The -- so the effort -- did you have a whole crew,
12 like your whole crew on board or were you shorthanded?

13 A. Yes, sir. We had -- at that time we had 27 members on board.

14 Q. So is there an instruction somewhere that says how much --
15 what kind of medical training people have to have in your crew?
16 Like for example, you know, A 154 needs two EMTs and a 110 needs
17 one 45 (indiscernible) first aid.

18 A. Yeah. So, generally, for an FRC we do not have a requirement
19 to have a level of medical operational -- we call that operational
20 medical knowledge. Our crew, from where we're going and tactical
21 combat care, so triaging in combat, but that's the level of
22 medical training that majority of the folks had on board.

23 Q. Do most patrol boats have a stateside -- have a basic EMT
24 onboard?

25 A. No.

1 Q. How about equipment? What's -- is there an instruction
2 somewhere that that says what kind of equipment you have to carry
3 for trauma or any medical?

4 A. Yeah. So for a regular FRC we typically have, kind of, a
5 more increased or a plussed of a first aid. But this was not --
6 this FRC in the condition of equipment on board did not meet Coast
7 Guard standards, it was not yet owned and operated by Coast Guard.

8 Q. Okay.

9 A. So the medical level of medical readiness would have been a
10 volunteer standard.

11 Q. And you didn't wind up using any of that anyway. Is that
12 correct?

13 A. Yes, that's correct.

14 Q. Okay. Are you familiar with search and rescue transponders?

15 A. Like EPIRB's?

16 Q. So it's similar, excepts it shows up on your radar screen,
17 your X-Band radar like a -- looks like a RACON.

18 A. SART.

19 Q. Right. So when you arrived on scene, did you remember seeing
20 any of those on your radar?

21 A. No, sir.

22 Q. Okay. The 45s that you were working with, from what I can
23 see, they were transmitting their AIS in a law enforcement mode,
24 so we can't see that information. But can you see that when
25 they're in an LE mode, can other Coast Guard cutters see blue

1 forces? Like and does that affect your capabilities as an on-
2 scene coordinator?

3 A. I don't -- in that scenario, it did not affect our ability to
4 be able to be an on-scene coordinator. But we have other means of
5 maintaining blue force tracking and blue force awareness --
6 situational awareness of other assets in our area.

7 Q. Okay. And my last question for you is -- I'll have one more
8 later but was anybody hurt in your crew? Can you confirm that
9 there's no injuries or any damage to the FRC?

10 A. No. No one hurt and no one hurt on our crew or no damage to
11 the cutter itself.

12 MR. MUISE: Okay. Again thank you, Captain for all the
13 information.

14 MR. [REDACTED] Sure.

15 MR. MUISE: I will open it up to the rest of the -- the rest
16 of my team.

17 MR. [REDACTED] Hey, Lieutenant. This is Lieutenant, junior
18 grade, [REDACTED] [REDACTED] with the Coast Guard.

19 BY MR. [REDACTED]

20 Q. A couple of follow up questions for you, sir. First one
21 being can you confirm whether or not you and your crew had
22 undergone ready for sea or ready for operations certifications?

23 A. We did not.

24 Q. Understood. And as the on-scene commander, what type of
25 tasking were you giving to the other search and rescue units under

1 your purview at the time?

2 A. So tasking was -- all the tasking was verified with the
3 Sector New Orleans. But tasking, for example, for the merchant
4 vessels was, kind of, giving them direction and guidance on how to
5 best position and recover the folks that they found in order. If
6 they weren't able to inform us and to provide them flotation
7 devices and get -- to remain on scene and alongside.

8 Regarding the forty -- the Coast Guard assets and the
9 helicopter, the Coast Guard small boats tried to take direction in
10 the way of, you know, positioning themselves as close and as tight
11 to the platform in case that somebody did go in the water and,
12 kind of, relieving each other of that but then also provided them
13 -- putting them off searching pattern.

14 There was one detail that I missed was the piece of a Coast
15 Guard fixed wing, there was a Coast Guard CASA aircraft that was
16 in the area and we had communications with them about, like,
17 identifying a rescue attempt and using life rafts but that wasn't
18 able to be deployed or used. Coordination with the Bristow
19 helicopters was directly with us about trying to either -- trying
20 to get the radio down to them or just identify any means of
21 reaching the survivors.

22 Q. Understood. And that segways to my next question, it was
23 regarding the CASA and their intent to drop the two tethered life
24 raft into the water. So you're saying that that did not happen,
25 sir?

1 A. That did not happen. We felt that it -- that we wanted to do
2 that rescue attempt with the assistance of a 45. And when we were
3 positioning ourselves to make that attempt, was when that third
4 person went in the water.

5 Q. Roger that. And my final question was your FLIR recording
6 the entire time during this evolution?

7 A. Yes.

8 MR. [REDACTED] All right. Those are all the questions I have.
9 Thank you, sir.

10 MR. MUISE: Okay. Thank you, [REDACTED] Thank you, [REDACTED]
11 Anybody else? Any follow-ups? Okay.

12 BY MR. MUISE:

13 Q. So my -- the last question for you, Captain, and not to make
14 light of it all of, you know, this tragedy but I'm always curious
15 what went well in this scenario. So given the circumstances, is
16 there a piece of equipment, or some training, or a procedure that
17 you found especially useful that you think we should share with
18 the rest of the fleet?

19 A. I think one thing for us for recovering a person in the
20 water, the use of life rings with throw bags or attached heaving
21 lines was greatly useful for our individual rescue. We were
22 challenged in being able to get or just get the survivor to the
23 hole of the cutter. By having and using those tools, it allowed
24 us to, kind of, extend our arm out and get them a life ring and
25 get them an additional floatation assistance and then haul him

1 into us, that was very beneficial and something that was of a huge
2 tool of success.

3 Radio communications I would say was -- would be another
4 thing and I think that's a hard thing to put on a product. But
5 the communication that of a good Samaritan is the merchant vessels
6 in the area was phenomenal, they were highly supportive and
7 maintained great communication with us and Sector New Orleans.

8 For our Coast Guard cutter, that forward, that FLIR, that
9 forward looking infrared camera was the game changer, that was our
10 eyes of being able to be on scene. One, we wouldn't have
11 identified that there were people on the rig so early if we didn't
12 have it. And two, it was really our success to identifying when
13 somebody went into the water, being able to -- trying to maintain
14 that level of clarity and looking into to those folks, with just
15 binoculars, at least from the standpoint of a Coast Guard asset.
16 I think those are a few that really jump out to me, sir.

17 Q. Okay. Is there anything I didn't ask that you think I should
18 know about besides that?

19 A. No, sir.

20 MR. MUISE: Okay. If you could think of anything else later
21 on, you can always reach us through Captain Phillips, or our email
22 addresses is witness@ntsb.gov. Again congratulations on your
23 command and please pass on our sincere thanks to your crew for all
24 their efforts that night.

25 MR. [REDACTED] Thank you, sir. Appreciate that.

1 MR. MUISE: Okay. And with that, it's 1600. I will secure
2 the recording here.

3 MR. EHLERS: And I just want to echo on behalf the NTSB.
4 This is Drew Ehlers the investigator.

5 (Whereupon, the interview was concluded.)
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CERTIFICATE

This is to certify that the attached proceeding before the

NATIONAL TRANSPORTATION SAFETY BOARD

IN THE MATTER OF: CAPSIZING OF THE LIFTBOAT *SEACOR*
 POWER SOUTH OF PORT FOURCHON,
 LOUISIANA, ON APRIL 13, 2021
 Interview of [REDACTED] [REDACTED]

ACCIDENT NO.: DCA21MM024

PLACE: Via Microsoft Teams

DATE: April 21, 2021

was held according to the record, and that this is the original,
complete, true and accurate transcript which has been transcribed
to the best of my skill and ability.

[REDACTED]



Ashley Daumit
Transcriber



National Transportation Safety Board
Washington, D.C. 20594

Transcript Errata

TABLE OF CORRECTIONS FOR TRANSCRIPT INTERVIEW WITH: LT [REDACTED]
RECORDED ON APRIL 21, 2021

Table with 4 columns: PAGE NUMBER, LINE NUMBER, CURRENT WORDING, CORRECTED WORDING. Contains 7 rows of correction data and 5 rows that are crossed out with a diagonal line.

If, to the best of your knowledge, no corrections are needed kindly circle the statement "no corrections needed" and initial in the space provided.

NO CORRECTIONS NEEDED. _____
Initials

Marcel L. Muise
Marine Accident Investigator, NTSB

Printed name of person providing the above information

[Redacted signature]

Digitally signed by Marcel L. Muise
Date: 2021.09.27 11:18:02 -04'00'

Signature and date of person providing the above information