

UNITED STATES OF AMERICA

NATIONAL TRANSPORTATION SAFETY BOARD

\* \* \* \* \*

Investigation of:

\*  
\*  
\*  
\*  
\*  
\*

CAPSIZING OF THE LIFTBOAT *SEACOR*  
*POWER* SOUTH OF PORT FOURCHON,  
LOUISIANA, ON APRIL 13, 2021

Accident No.: DCA21MM024

\* \* \* \* \*

Interview of: [REDACTED] [REDACTED] U.S. Coast Guard Sector New Orleans  
Commanding Duty Officer

Via Microsoft Teams

Thursday,  
April 22, 2021



# National Transportation Safety Board

Washington, D.C. 20594

## Transcript Errata

TABLE OF CORRECTIONS FOR TRANSCRIPT INTERVIEW WITH: [REDACTED]  
RECORDED ON MAY 4, 2021

PAGE NUMBER	LINE NUMBER	CURRENT WORDING	CORRECTED WORDING
2	N.A	[REDACTED]	[REDACTED]
5	1	[REDACTED]	[REDACTED]
5	8	police	Please
5	22	Preston	Sector
5	24	TDO	CDO
6	2	TWCS	PWCS
10	22	lost	launched
11	15	Bristo	Bristow
13	8	sagging	staging
14	19	indiscernible	bulkhead
15	6	Charting	targeting
17	6	indiscernible	In MISLE
23	9 & 10	[REDACTED]	[REDACTED]
26	8	indiscernible	to Sector

If, to the best of your knowledge, no corrections are needed kindly circle the statement "no corrections needed" and initial in the space provided.

NO CORRECTIONS NEEDED. \_\_\_\_\_  
Initials

Marcel L. Muise  
Marine Accident Investigator, NTSB

Printed Name of Person providing the above information

[REDACTED]

Digitally signed by Marcel L. Muise  
Date: 2021.09.07 09:56:16 -04'00'

Signature of Person providing the above information

\_\_\_\_\_  
Date

APPEARANCES:

ANDREW EHLERS, Investigator in Charge  
National Transportation Safety Board

MARCEL MUISE, Marine Accident Investigator  
National Transportation Safety Board

██████████ ██████████ Lieutenant Junior Grade  
U.S. Coast Guard

CAPT TRACY PHILLIPS, Chair  
U.S. Coast Guard Marine Board of Investigation

██████████ ██████████ Member  
U.S. Coast Guard Marine Board of Investigation

MELISSA HUFFMAN, Warning Coordination Meteorologist  
National Weather Service  
(Via Microsoft Teams)

LCDR ██████████ ██████████ Lieutenant Commander  
District 8 Legal

MICHAEL CENAC, QHSE Manager, Designated Person Ashore,  
Chief Security Officer, Seacor Marine

I N D E X

<u>ITEM</u>	<u>PAGE</u>
Interview of [REDACTED] [REDACTED]	
By Marcel Muisse	5
By Lt. [REDACTED] [REDACTED]	19
By [REDACTED] [REDACTED]	23
By Michael Cenac	24
By Melissa Huffman	26

I N T E R V I E W

(11:35 a.m.)

1  
2  
3 MARCEL MUISE: This is Marcel Muise, a Marine Accident  
4 Investigator with the National Transportation Safety Board. It's  
5 11:35 on April 22nd. We are in Houma, Louisiana, investigating  
6 the circumstances around the capsizing of the *Seacor Power* from  
7 April 13th. With us online is one of the search and rescue  
8 controllers from Coast Guard Sector New Orleans.

9 Mr. [REDACTED] can you introduce yourself and spell your name for  
10 us?

11 LT. [REDACTED] [REDACTED] Yeah, good morning. My name is  
12 Lieutenant [REDACTED] [REDACTED] [REDACTED], middle initial is [REDACTED] [REDACTED],  
13 and I was the Command Duty Officer for the response to the *Seacor*  
14 *Power*.

15 MARCEL MUISE: Do you mind if we record this interview?

16 [REDACTED] [REDACTED] No.

17 MARCEL MUISE: Okay. We will go around the room here so you  
18 know who's in the room with us.

19 ANDREW EHLERS: Good morning, this is Drew Ehlers. I'm the  
20 NTSB investigator in charge for this accident.

21 Lt. [REDACTED] [REDACTED] Good morning, Lieutenant. This is  
22 Lieutenant Junior Grade [REDACTED] [REDACTED] with the U.S. Coast Guard.

23 CAPTAIN TRACY PHILLIPS: Good morning. This is Captain Tracy  
24 Phillips. I'm the Chair of the Coast Guard's Marine Board of  
25 Investigations.

1           ██████████ ██████████ Good morning, Lieutenant. ██████████ ██████████ with  
2 the U.S. Coast Guard.

3           MICHAEL CENAC: Good morning. This is Michael Cenac with  
4 Seacor Marine.

5           MICHAEL MUISE: National Weather Service?

6           MELISSA HUFFMAN: Good morning. This is Melissa Huffman with  
7 the National Weather Service.

8           MICHAEL MUISE: And district police?

9           LCDR ██████████ ██████████ Sir, good morning. This is  
10 Lieutenant Commander ██████████ ██████████ with District 8 Legal.

11           BY MICHAEL MUISE:

12 Q. Okay. Lieutenant ██████████ Lieutenant ██████████ can you -- we'll  
13 get started with some housekeeping stuff. Can you tell us a  
14 little bit about your background, some of your calls, maybe your  
15 duties where you're at right now? Go ahead, sorry.

16 A. Yeah, no problem. So yeah, I enlisted in the Coast Guard in  
17 2005. I was an MST-1 up until 2017 when I applied to OCS and  
18 commissioned as a response ashore officer. My first commission  
19 tour was in sector Honolulu as a full-time Command Duty Officer  
20 responsible for all the multi missions out of the sector command  
21 center. Leaving there, I attended industry training for marine  
22 environmental response, landing in Preston, New Orleans, as an  
23 Emergency Management Assistant Department Head and a Collateral  
24 Duty TDO.

25           As far as background over the past 15 years I've been exposed

1 to pretty much all of the Coast Guard mission's law enforcement  
2 search and rescue: MER, TWCS, facilities for state control and  
3 emergency management and all the various ICS functions.

4 Q. Okay. Can you tell us a little bit about Sector New Orleans?  
5 What is it that you guys do there in the command center and what  
6 is your AOR?

7 A. Yeah. So in sector New Orleans, I just recently recertified  
8 as a command duty officer. In that position, we serve as the  
9 liaison for the captain of the port, acting on his behalf for  
10 really anything within his federal jurisdiction zone. Spanning  
11 the five different authorities from captain of the port, SMC,  
12 officer in charge of marine inspections, FMSC and FOISC. So it's a  
13 pretty broad range here, covering offshore up to 200 miles for  
14 search and rescue, the lower Mississippi River for the captain of  
15 the port in OCMI, and really kind of, you know, just acting as a  
16 liaison or a touch point from him and the command center  
17 operations.

18 Q. Okay. Can you describe the watch there? What positions are  
19 there in the command center?

20 A. Yeah. So it's made up of four various watch positions.  
21 Starting with our communications unit controller, they're  
22 responsible for all forms of communication to the maritime  
23 environment. Then we have the SU, which is the Situation Unit.  
24 They're in charge of the common operating picture, situational  
25 awareness, understanding the ins and outs of the port, vessels,

1 vessels of opportunity. We have an operations unit controller who  
2 would be our third position. That's typically a First Class, or  
3 an E-6, and they're in charge of all operations within the command  
4 center from running search and rescue, marine casualties,  
5 pollution; they're our -- kind of our operational touch point.  
6 Then you have the command duty officer which is a supervisory role  
7 and oversees the watch in its entirety.

8 Q. Okay. Which watch hand is responsible for actual drawing up  
9 search plans?

10 A. So the search planning itself would be at the operation unit  
11 controller unit level, and they would be the ones to come up with  
12 your search action plan with consideration from the CDO. Then  
13 elevating beyond the command center would be our SMC, which is our  
14 Search and Rescue Mission Coordinator, and they are the one  
15 responsible for the search and rescue case itself.

16 Q. Okay. Thank you for that. I have your sit-rep, but I'd  
17 still like you to now walk us through, as much as you can  
18 remember, of this incident here. Just the first evening is fine  
19 from the time of notification to -- through midnight we'll say.

20 A. Sure. So in context, this was one of those cases where the  
21 command center had had a lot of responses. We did have a lot of  
22 weather come through earlier in the day, and so the command center  
23 itself had received multiple reports of search and rescue vessels  
24 in distress, breakaways, potential swamping.

25 So at 1628 local, we received a transmission from a good



1 Samaritan reporting a capsized liftboat. The transmission itself  
2 came through very broken and kind of hard to read on our side.

3 Coincidentally, I was actually with the communications unit  
4 controller, kind of in the radio room, trying to, basically,  
5 prioritize the number of cases that had come in. So when this  
6 call came through -- I believe it came through a good Samaritan,  
7 the *Rockfish*; basically said that in speaking with another  
8 mariner, if they could turn around and come take a look. It looks  
9 like the liftboat had capsized.

10 At that point, we're trying to ascertain the specific  
11 location, determine what -- you know, it came across broken, so it  
12 was hard to understand, you know -- in hindsight we understand  
13 it's a liftboat now, but at the time it sounded like a lifeboat.  
14 So really trying to get a better idea of the scenario. Once we  
15 got confirmation of a capsized boat and a lifeboat, a life raft in  
16 the vicinity, we issued an Urgent Marine Information Broadcast,  
17 basically a UMIB, alerting all mariners of the potential distress.  
18 And then began trying to come up with a common operating picture  
19 determining weather on scene, what other vessels were in the area,  
20 vessels of opportunity, but also kind of starting to come up with  
21 a game plan for Coast Guard resources.

22 I guess it's worth note that prior to this call coming in, we  
23 were getting notified from our independent units that they were  
24 outside of parameters. So we had confirmed that Station  
25 New Orleans was not able to respond due to weather. Station Grand

1 Isle had had flooding, basically water intrusion all the way up to  
2 the boathouse. Air Station New Orleans was grounded due to  
3 weather. So our options were pretty limited upon that initial  
4 notification. And really the vessels on scene was our best and  
5 most realistic asset.

6 Coincidentally, you know, we did have the non-commissioned  
7 Coast Guard cutter -- yeah, *Glenn Harris*, which is a fast response  
8 cutter -- pre-commissioned FRC, that was able to arrive -- and by  
9 the notes of 1702 from that initial notification -- and they were  
10 our main touch point and our on-scene coordinator throughout that  
11 early evolution. Like I said, at the time there was a lot going  
12 on at the command center. We felt like we needed to bring an  
13 additional watch standers.

14 So throughout pretty much all of this conversation, I was  
15 walking to Commander [REDACTED] who was our Assistant  
16 Rescue Mission Coordinator, and requested that we begin surging  
17 the watch for -- in order to make this case what we believed was  
18 our main priority and to have enough bandwidth for other members  
19 to kind of take the rest of the cases that had been coming  
20 through.

21 According to the notes, at about 1730, we had a surge watch  
22 staff with Senior Chief [REDACTED] OS-1, a couple different OS-1's and  
23 another junior officer, all who are qualified in their  
24 competencies. From that point forward, we really tried to make  
25 the best use of the situation, contacting different

1 (indiscernible) requesting air support, contacting the various  
2 stations for their parameters, and considering what additional  
3 resources we could bring to bear from the Western side of the AOR.  
4 Really looking at Corpus Christi and Houston, Galveston.

5 Are there any questions at this point or do you want me to  
6 kind of just continue, continue to --

7 Q. Nope. I'm not going to interrupt you at this point. Go  
8 ahead.

9 A. Okay. I think it's important to note that during the  
10 communications itself, it's pretty broken. Honestly, conditions  
11 were really challenging. At one point, we got it from a  
12 Good Samaritan that on-scene conditions were at 80-90 knots, 80-90  
13 miles an hour winds, 7-to-9-foot, occasional 12-foot seas, really  
14 reduced visibility to the point where it was a whitewash -- had a  
15 very challenging time even seeing, even seeing the front of the  
16 bridge. By the time that we did have the Coast Guard cutter *Glenn*  
17 *Harris* get on scene, it did seem like conditions started to recede  
18 and that we had a lot more opportunities to get assets out there.

19 So we diverted the Coast Guard cutter *Amber Jack*, which is an  
20 87 that was located previously in White Lake. It was anchored the  
21 night before and had been operating to the West. So they had  
22 about a 6-to-8-hour ETA. Corpus Christi air station lost a C-144  
23 fixed wing that was en route with about an hour and 45 minute ETA,  
24 and an operational waiver was granted for Station Grand Isle.

25 We launched two 45 RBM's: the 45687 and the 45674. Looking

1 at the local time here, I'd say within about an hour to an hour-  
2 and-a-half, conditions on scene were about 4 to 6, occasional 8 to  
3 10. The ceiling had raised and visibility extended to 4 to 5  
4 nautical miles.

5 So one of the things that was initially challenging for that  
6 beginning of the response was the air frames, which would be our  
7 predominate search and rescue asset, were all grounded due to  
8 weather. And that was all the way through from Mobile, to New  
9 Orleans. Basically, we were told that Mobile itself had diverted  
10 all commercial air traffic away, just due to the severity of  
11 conditions.

12 So that was really our initial lay down, trying to complement  
13 the surface and air asset piece. The 65, you know, there were  
14 various other government agencies -- OGA's that launched. We had  
15 Bristo (Ph.), we had Lafourche Parish, and we had a varying  
16 complement of OGA's -- or excuse me Good Samaritan vessels on  
17 scene as well. So I'd say that would take us through our initial  
18 launch within the first few hours.

19 The other thing that I would say is that Sector New Orleans  
20 itself immediately initiated an incident management team.  
21 Basically, I requested through the Captain that we bring in all of  
22 our relevant department heads to try to take it off of the watch  
23 floor where we could make this case our dedicated effort. That  
24 was done almost immediately, and I would say our first initial  
25 brief went in -- maybe an hour to an hour-and-a-half after that

1 with the dedicated command posts.

2 Q. Go ahead, Lieutenant.

3 A. I mean, I don't know how much -- do you guys have any  
4 questions, or do you want me to kind of just go into more  
5 specifics? I'm really drawing a lot from our sit rep, because  
6 that's kind of my baseline to making sure I'm accurate with our  
7 times on scene and what assets had responded.

8 Q. Yeah, we have your sit rep. So I think times we have  
9 already. I guess I'm more interested in the general story and  
10 what was happening in the command center there and what challenges  
11 you were facing.

12 A. Sure. So like I said, I think we were extremely busy in the  
13 command center from the weather event that had hit us earlier in  
14 the day. So bringing in those additional resources was really  
15 valuable and critical in allowing us to make the *Seacor Power* a  
16 priority. The only challenges I would say is the broken  
17 communications was a little bit challenging, coming over channel  
18 16. A lot of that was due to weather and the RSS.

19 But overall, I thought like from the initial action to the  
20 initial resources launched to considering all alternatives was  
21 done very, very well. We had a lot of people in the command  
22 center dedicated to this specific case. And then the minute it  
23 became apparent that it was, you know, that there was much more of  
24 a complicated response to it, we broke this out of the command  
25 center into the adjacent conference room, set up a situation

1 board, search staff with, I'd say, ten-to-twelve initial people  
2 standing up the ICS, Incident Command System structure. We had a  
3 planning section, an operation section, a SITL. Finance was  
4 notified. Then we doubled up on our SMC to allow  
5 Commander Ferguson to focus solely on this case, which I think was  
6 one of the reasons that we were able to bring to bear (Ph.), you  
7 know, three or four air stations requesting FRC support from  
8 District 8, taking advantage of a noncommissioned cutter, sagging  
9 an 87 from 6 to 8 hours away, fueling en route, and then  
10 continuous coverage from a 45 -- the multiple 45 at that point.

11 Q. Okay. Well thanks, Lieutenant [REDACTED] Along the lines of  
12 communications, is that normal for you to struggle with  
13 communications in that area? Is there a VHF dead zone in there?

14 A. There's not, no. And I don't think it was necessarily, I  
15 don't think it was necessarily an outage or any sort of lack of  
16 frequency. I think the on-scene conditions, there was a lot of  
17 wind in the background. And listening to the recordings after,  
18 you know, it seems to be kind of broken and hard to understand.  
19 There was an accent with one of the reporting sources which made  
20 it kind of just more difficult to really understand. And he was  
21 using terminology that wasn't typically used I would say in normal  
22 broadcasts.

23 Q. Okay. How about your radio direction finder, was that  
24 working fine?

25 A. It was as far as I know sir, yes.

1 Q. Can you tell us a little bit about an EPIRB notification? I  
2 don't see that in the sit rep.

3 A. Yeah. So EPIRB is handled at Coast Guard District 8, JRCC.  
4 So I would be reluctant to speak on their behalf. We did not get  
5 notified, or excuse me -- I did not get notified of an EPIRB. My  
6 initial notification came through the Good Samaritan on scene.

7 Q. Did you ever get notified of an EPIRB hit?

8 A. I don't know. That would have been through the Joint Rescue  
9 Coordination Center, District 8. They would be the ones to get  
10 the EPIRB notification.

11 Q. Is the procedure for them to, if it's in your AOR, to pass it  
12 to you?

13 A. Nope. They would run the case as a SAR mission coordinator.  
14 We would coordinate responding callouts, assisting, but as far as  
15 the EPIRB that falls within their purview. CLV, EPIRB's,  
16 aviation, it's very clearly delineated on what they're responsible  
17 for.

18 Q. In your command center, do you have -- is there something on  
19 the (indiscernible) like a monitor that's got something like  
20 marinetraffic.com or AISlive.com, or something like that where you  
21 have a picture where all the good Sam's are?

22 A. We do as long as they're -- yep. There's a few different  
23 common operating pictures we can use for AIS that's done typically  
24 at the SU and situation unit level depending on whether or not the  
25 AIS is on, but we should have a fairly good idea of the vessels in

1 the area. Commercial vessels I would say.

2 Q. Is that a service you pay for?

3 A. I don't know. I'm not sure. I think it's just within the  
4 bandwidth of the Coast Guard, but I don't know how that's funded,  
5 if it's contracted or what.

6 Q. Okay. Your search plan, the search charting when you're  
7 doing your planning, was that -- were you searching for a head in  
8 the water or a life float, or a life raft when you were doing --

9 A. Yeah.

10 Q. -- doing one of your patterns.

11 A. Yeah. I mean, I would need to go back. I can't speak  
12 offhand of what they optimized for except the four different  
13 items. I would assume -- I don't want to speculate on what they  
14 searched for, but at the time what we did know is that we did have  
15 a capsized vessel with numerous people on board in the water with  
16 no confirmation of life jackets. I would have to look and look  
17 into what programs and see what they optimized for. I don't know  
18 off hand.

19 Q. So what are the various targets that you can search for in  
20 that software?

21 A. It's a huge range. I don't know how many categorical items  
22 there are, but essentially, you can get debris, you can get  
23 barrels, you can get people with or without life jackets, canoes.  
24 And it's all based on wind speed, current, drift modelling, but  
25 it's a lot.



1 Q. If you don't have any information, what is the first thing  
2 you run a calculation (Ph.) for?

3 A. For me specifically, it would be a person in the water  
4 without a life jacket because that's what I want to ascertain is  
5 how quickly I need to get assets on scene and where that person  
6 could potentially go.

7 Q. Okay. The weather data that's going into that software,  
8 where is that coming from?

9 A. It's our EDS, environmental data, it's pulled with wind speed  
10 and current. I don't know how it's generated or through what  
11 programmatic level, but that's something I could look into.

12 Q. Okay. And with currents, for like, I know loop current is  
13 further offshore, is that something that is in there?

14 A. It would be, yep. And you would pull real-time statistics  
15 based on set and drift of the object you're optimized for.

16 Q. There seems to be a discrepancy in the number of people we  
17 were looking for, at least initially. Do you know where that  
18 number came from? I understand we were looking for 17 people when  
19 the actual POB was 19.

20 A. Yeah. So actually me and Mr. Cenac, Michael Cenac -- who I  
21 believe is on the phone, and then a counterpart of his; I was able  
22 to make contact with them fairly early on in the case. They had  
23 reported that there were 18 people on board. I believe that when  
24 some of the good Samaritans had recovered, some night captain I  
25 believe, he reported the crew manifest of 17. So there was a

1 disparity there. When I spoke with Mr. Cenac earlier, I asked for  
2 the passenger manifest, and it came out to be 19 with the total  
3 crew onboard. So between that initial report to the people being  
4 saved to the crew manifest is how we came up with that disparity.

5 Q. Okay. Do you have access to the vessel's drawings there  
6 (indiscernible) once you know what the target is?

7 A. That's not something that I would have readily available to  
8 me in the command center. I would assume it's in the Coast Guard  
9 organization. We could get that, but no, I did not have it at the  
10 time.

11 Q. How about a mass rescue plan or a mass casualty plan, does  
12 the sector have one of those?

13 A. We do. We have a mass rescue operation plan. It's really a  
14 Coast Guard District 8 plan, but we have an annex to it.

15 Q. Is that something you had to activate for this case?

16 A. We did, yep. We looked at that specifically for the  
17 organizational chart, scan and control, initial assumptions, and  
18 to just validate that everything we had done up to that point was  
19 covered both in doctrine, practical experience and common sense.

20 Q. Is that maintained by the passenger vessel safety specialist,  
21 is that where that comes from?

22 A. It is, yeah. District 8 would maintain the MRO's, the Master  
23 Rescue Operation, and then our Emergency Management Department and  
24 the command center share the responsibility for the local annex of  
25 the sector.

1 Q. Okay. The Bristol 739, do you use them a lot? I'm just  
2 curious what their capabilities are and when you might use them,  
3 why you might use them?

4 A. Yeah. So from -- it's interesting, I had not, in my  
5 experience here at Sector New Orleans, that's the first time that  
6 I had used Bristol. So I can't speak confidently about the number  
7 or frequency that they're used. I know for this particular case  
8 that they were available and had offered their support, but I  
9 couldn't talk about how often or what kind of -- the amount of  
10 casework they would get or their capabilities.

11 Q. And my last question is a couple acronyms. Can you describe  
12 what probability detection is, or POD; POS and POC?

13 A. Yes. Probability of Detection is locating the item ,or the  
14 object within a specific search area, and that ranges a lot. The  
15 probability of detection depending on what that actual item is.  
16 If you have an upright 20-foot cuddy cabin, it's going to be a lot  
17 different for a probability of detection than a individual in the  
18 water with no life jacket.

19 So these all kind of correlate into themselves. The  
20 probability of detection and then the probability of containment  
21 is your POC. Probability of containment is the set and drift that  
22 we're able to contain the drifted particles where the optimized  
23 item could potentially go and those will both culminate in  
24 Probability of success; how likely are we able to find what we're  
25 looking for in a search area, before it drifts beyond our

1 resources.

2 MARCEL MUISE: Well, thank you Lieutenant. I'm going to pass  
3 it off to my colleague, Drew.

4 ANDREW EHLERS: I have no questions at this time.

5 MARCEL MUISE: Okay. Lieutenant [REDACTED]

6 BY [REDACTED] [REDACTED]

7 Q. Good morning, Lieutenant. This is a Lieutenant Junior Grade  
8 [REDACTED] of the Coast Guard. Great job explaining everything in  
9 detail. I do have a couple of follow up questions for you, sir.  
10 First one being when you did the breakout of the watch team, when  
11 it transitioned from the MRO over from the routine command center  
12 responsibilities, can you kind of just define what that looked  
13 like? Were you able to come up with a secondary watch team fully  
14 devoted to the MRO, and if so, where did you fall? Did you stay  
15 with the MRO officer or remain with your traditional CDO command  
16 center duties?

17 A. No, that's a great question. So I think one of the reasons  
18 that I'm really -- that we rely heavily on our IMT or our breakout  
19 group is that it's starting to overwhelm or incumbent the sector  
20 command center organic functions. In a case like this where it  
21 does have so much to it, we thought having its own dedicated watch  
22 team and staff was appropriate and prudent given the time of day.  
23 So coincidentally, it happened right during watch relief. So as  
24 well as surge staffing, some of our senior leadership to the  
25 command center, we also had the oncoming watch rotation.

1           So what I did is I took this case as the main point of  
2 contact for the command center as the CDO, and he oncoming CDO I  
3 devoted solely to the other cases that had come as a result of the  
4 weather. And we did that pretty much holistically. So we doubled  
5 up the communications, we doubled up the OU and the CU, and then  
6 myself and MSC stayed devoted to this case breaking it out to  
7 literally the room within the command center that's just adjacent  
8 to it. And that's where we started kind of our storyboard, our  
9 SITL board, where we're able to keep track of relevant  
10 information, updates, passenger accountability as we basically  
11 initiated the MRO.

12 Q.   Understood. How long are your watches a Command Duty  
13 Officer?

14 A.   We're on 12-hour watches; 0445 to 1645.

15 Q.   Understood. So you were the off-going watch, but you and  
16 your team stayed behind instead of the MRO, is that correct?

17 A.   Not all of us. I think once we had additional search  
18 staffing come in, we tried to release those that had been  
19 previously on watch. For me, independently, in sector Honolulu we  
20 were on 24 hour shifts. So it's what I'm accustomed to and I had  
21 stayed on for this particular case as the CDO.

22 Q.   Understood. Thank you for clarifying that. Just for the  
23 record, can you just give a brief explanation of how the search  
24 and rescue optimization planning system works, and then also how  
25 intimately you were involved in the search planning with your OU?

1 A. Yeah. So you want me to explain SAR Ops, is that kind of the  
2 question.

3 Q. Yeah. Just how the particles work when they drift and what  
4 not.

5 A. Sure. Okay so SAR Ops is really the Coast Guard's system for  
6 coming up with realistic search planning. Essentially what it  
7 does is it allows you to input a specific scenario into the system  
8 and dependent on when that scenario is, you can drift a certain  
9 amount of particles, coming up with a realistic idea of where a  
10 particular object would drift.

11 So for this case in particular, we had a last known position  
12 or a current position of the vessel, so that was our scenario. It  
13 basically takes what we call 5000 rubber ducks, and it puts it at  
14 that last known position and then based on winds and current and  
15 the object itself, it'll drift those 5000 rubber ducks or those  
16 particles within the system to give us an idea of how and where we  
17 should dedicate our search and rescue assets.

18 So as we take into consideration what assets we have coming  
19 on scene -- you know a fixed (Ph.) wing is very different than a  
20 65 or a 60 versus an 87 and a 45. So we take a realistic look at  
21 that; our probability of detection, containment and come up with a  
22 realistic search pattern on a sweep width on how we can maximize  
23 the endurance of that particular resource on scene to try to  
24 locate the various items or objects.

25 Q. That's great. Thank you for clarifying that. When you all

1 issued your UMIB, did you get any good Samaritans to  
2 (indiscernible) to the call?

3 A. We did. So I think we had quite a few on scene. We had the  
4 *Elise-Marie*, we had the *Rockfish*, we had the *Ms. Ally*, we had the  
5 -- fortunately for us, we had the *Glenn Harris*. And those were  
6 just the ones who had initially come through. Like I mentioned  
7 before, due to circumstance and the weather conditions there were  
8 -- they had sent transmissions on top of each other. So it was  
9 pretty challenging to kind of determine who was on scene at what  
10 particular point. But we knew that due to the sea state and the  
11 visibility, the more vessels you can bring to bear, the better the  
12 opportunity there was to find people.

13 Q. Understood. And two more questions, if you would bear with  
14 me here.

15 A. Yeah.

16 Q. First one being is did the sectors issue any safety marine  
17 information broadcasts or small craft advisories, and if so, how  
18 frequently were those going out ahead of this event?

19 A. That's a great question, and I had actually meant to find  
20 that out ahead of time. That's something I'd like to get back  
21 with you on.

22 Q. Sure. My last question is reading through the timeline, I  
23 noticed there was a power drop in the command center. I know you  
24 have the uninterrupted power source that would help mitigate that,  
25 but as someone who is in the command center firsthand, did you

1 notice any issue during the power drop?

2 A. None. It has zero effect on the search and rescue case, so  
3 -- our backup generator fired up immediately, no loss of power,  
4 connectivity, communication with vessels or assets. So yeah, no  
5 impact.

6 Q. Great. Those are all my questions Lieutenant, appreciate  
7 your time.

8 A. Thank you, sir.

9 BY [REDACTED] [REDACTED]

10 Q. Good morning, Lieutenant, [REDACTED] [REDACTED] with the Coast Guard.  
11 You said the initial communication that contacted you guys was  
12 through a good Samaritan on marine radio? Would that be VHF  
13 channel 16?

14 A. It was, yes, sir.

15 Q. Okay. At any point, was the communication altered or changed  
16 to a different frequency on the marine VHF, like 22 or --

17 A. Yeah, it was not. The reason for that 16 is obviously our  
18 international hailing and distress, so we're not going to take  
19 anybody off. The more widely we could disseminate this  
20 information, the more assets we can bring to this scene and the  
21 better educated they'd be. So from my understanding and from my  
22 assumption, we would not have changed off of 16 in its entirety.

23 Q. Yeah, that's fine, it's understandable. I'm just trying to  
24 put it on to the record.

25 A. Yeah, it's a good question.



1 Q. Also, an alternate frequency, was there was any consideration  
2 -- because you said there was some trouble hearing, due to  
3 weather. Was there any consideration or thought maybe going to a  
4 medium frequency band, 2182 possibly?

5 A. I can't speak to that. I think at the time we really just  
6 wanted to get -- my priority was finding out the most information  
7 in the shortest amount of time so that we could start to get  
8 people heading in that direction. So no, that was not a  
9 consideration for me. In hindsight, it sounds like a good idea.  
10 But at the time with the unknown, the weather, the inundation of  
11 calls, we just kept them on 16 for continuity. It never got to  
12 the point where we really couldn't figure it out.

13 You know obviously, we're trained to find out the big five:  
14 people, position, problem, PFD's, and then description of the  
15 vessel, and we were getting those. So I felt that we could put  
16 into place a good and realistic response, so we kept them on 16.

17 Q. Roger that. Just to be sure, medium frequency, 2182 -- 2182  
18 on the meridian -- excuse me, on the medium frequency, so the  
19 (indiscernible) band radio, marine radio, that's usually a backup  
20 for medium distance communications?

21 A. Got you, I appreciate it. I did not consider that.

22 Q. Okay. I was just asking because of the transmission trouble.

23 A. Nope, understand.

24 Q. I'm sorry --

25 A. All right, thanks.

1 MARCEL MUISE: Michael?

2 BY MICHAEL CENAC:

3 Q. Yes. Thank you for your service. This is Michael Cenac, and  
4 thank your team as well for everything they did that night and  
5 assistance. Just a quick question, I heard you state there was  
6 many reported cases that night. Do we know how many cases we were  
7 responding to?

8 A. I don't. And like I said, there were at this point it was  
9 simply monitoring the incoming calls. Some vessels had shared  
10 some concerns about the sea state and some swamping and some waves  
11 coming over the bow, but I don't have an accurate number of the  
12 number of cases responded to, no.

13 Q. And I understand that all of the cases funneled to  
14 New Orleans, is that correct?

15 A. As far as all search and rescue cases?

16 Q. Yes, emergency response.

17 A. We have a clearly delineated area of responsibility that we  
18 consider for the -- for Captain Watson is kind of a second  
19 commander for sector New Orleans. Under his authority is SMC. He  
20 goes about 200 miles out and then a certain duration to the East  
21 and West where we share responsibility with the East and West  
22 sectors. So yeah, we had a lot, but it was all within our AOR.

23 Q. Okay. And then do you know how far East and West? Just  
24 curious?

25 A. It's basically Whit Lake to the West to Pearl River on the

1 East side, and we share that with sector Mobile and the units out  
2 of Gulf Port. And to the West I'd have to come up with -- I can  
3 get you GPS coordinates for exactly where the jurisdictional  
4 boundary lines are, but geospatially, it's White Lake and Pearl  
5 River, and then two hundred --

6 Q. No, sir, just curious. That was how it was originally  
7 explained to us is all the sectors. Anyone you call, it funnels  
8 up, based on emergency (indiscernible) command.

9 A. It is. And what you're looking at holistically is you're  
10 going to have the independent sectors that have their own  
11 authority and resources, and then you have a larger parent command  
12 which we call Coast Guard District 8 here, and they would have the  
13 air station and some of the larger response assets like the FRC  
14 that they dedicated to us.

15 Q. Okay. Thank you, sir.

16 A. Thank you,

17 MARCEL MUISE: Melissa?

18 BY MELISSA HUFFMAN:

19 Q. Hi [REDACTED] I just want to get a sense of what your  
20 expectations were for the weather on April 13th?

21 A. Yeah. So I think that's an interesting conversation because  
22 we were looking at it holistically from the sector command, from  
23 the sector, like, basically, our home unit. So I had actually  
24 gave a call to the forecaster at LIX New Orleans in Baton Rouge.  
25 I don't remember who I spoke with, but what they had relayed to me

1 was that it was confirmed, localized heavy rain and flooding, with  
2 gusty winds and hail, and that we should anticipate the impact  
3 from 1300 to 1700 with storm (indiscernible) before and after.

4 So aside from what we had been provided by the National  
5 Weather Service, that's really all we had used to kind of go  
6 through our forecasts. And I'm looking at the update that was  
7 provided that morning. I'm happy to read the bulletin here, but  
8 it's basically just the National Weather Service New Orleans,  
9 Baton Rouge, NOAA. Basically, overview: severe weather impact,  
10 primary threat would be damaging winds in excess of 60 miles an  
11 hour, downed trees and powerlines, heavy raining and flooding, 3  
12 to 5 inches of rain. Locally higher amounts possible, especially  
13 southeastern Louisiana, Baton Rouge to New Orleans.

14 But yeah, we take a lot of our guidance, especially in the  
15 command center, from the reports provided through National Weather  
16 Service.

17 Q. Okay, excellent. Once you get a briefing from the  
18 New Orleans office, how do you disseminate that through the  
19 sector?

20 A. It depends. So in this particular case, I let  
21 Captain Denning, our sector deputy know, and she actually sent out  
22 -- it says due to weather, due to forecasts of severe weather in  
23 the area this afternoon and into the evening, she granted early  
24 liberty effective immediately, pending operations. Primarily used  
25 to caution when transiting roads, and do not driving through

1 flooding areas.

2 So it's really made on a command-risk-based analysis decision  
3 on what we feel is prudent for our service members and their  
4 ability to get home. Additionally, we can push out that SMIB or  
5 some sort of broadcast to mariners depending on the situation.

6 Q. Okay. What happens in the sector, how does it affect your  
7 operations when the weather forecast doesn't match the  
8 observations that you all are getting?

9 A. I think we use real-time data. And what the Coast Guard does  
10 exceptionally well is operational risk management by allowing each  
11 unit to operate autonomously. So, for example, Lieutenant [REDACTED]  
12 [REDACTED] I think you spoke with his (indiscernible) called them  
13 directly when the weather hit, found out the parameters. They  
14 told me whether or not they could realistically get underway to  
15 respond. And the same thing goes across the area of  
16 responsibility. It's a huge range, and every unit experiences  
17 circumstances differently. So we base it on location primarily.

18 Q. Okay and then --

19 A. Did I answer your question, is that what you were asking, is  
20 how we kind of do it, like, in a general sense with the Coast  
21 Guard unit?

22 Q. So I guess I'm just trying to get a sense of, you know, if  
23 you're given a weather report, and then maybe the observations  
24 that you're seeing don't necessarily match what the weather  
25 forecast had entailed, how does that affect your decision making,

1 or what do you do to confirm what's actually going on with the  
2 weather?

3 A. Yeah. I mean, we use -- the best I can say is that we use on  
4 scene reporting from our Coast Guard units, or, for example, good  
5 Samaritans on scene in this particular case. So we got a weather  
6 report; we called each of our units independently and said hey,  
7 what are you experiencing there specifically and what are your  
8 parameters and able to respond? So the weather report gives us  
9 guidance, but we're going to leverage our different units for  
10 their observation, and they're going to tell us what they feel  
11 comfortable doing based on their commanding officer.

12 Q. Okay, perfect. And then my last question is, you mentioned  
13 that you spoke to someone in Slidell, was that the only time you  
14 spoke to someone in that office, or were there other phone calls  
15 made to them.

16 A. Yeah. So that was the first time we had spoken with them.  
17 After that, I believe the command center had established a  
18 communication frequency with you all to determine what the  
19 consistent and updated weather information is going to be in a  
20 specific region. So they were getting dedicated updates  
21 throughout the entire response. But for me in particular, I only  
22 spoke to that forecaster one time at 1200 on April 13th.

23 Q. Excellent. Thank you, [REDACTED] That concludes my questions.

24 MARCEL MUISE: Okay, thank you. Does anybody have any  
25 follow-ups? Okay, Mr. [REDACTED] is there anything else you want to

1 share with us that we didn't ask?

2 [REDACTED] [REDACTED] No, not really. No, overall I think that is as  
3 best as I can explain the way it went. I do think the Coast Guard  
4 leveraged and really used every opportunity and resource at our  
5 disposal to make an effective and coordinated response, both in  
6 the beginning and throughout. I'm really, really proud of what  
7 the team was able to do at every level of it; absolutely  
8 challenging situation. Mr. Cenac, my heart goes out to you and  
9 your crew, but that's really all I have on my side.

10 MARCEL MUISE: Okay. And with that its 12:15 and I will  
11 secure the recording.

12 (Whereupon, at 12:15 p.m. the interview was concluded.)

13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

CERTIFICATE

This is to certify that the attached proceeding before the

NATIONAL TRANSPORTATION SAFETY BOARD

IN THE MATTER OF:           CAPSIZING OF THE LIFTBOAT *SEACOR*  
                                  *POWER* SOUTH OF PORT FOURCHON,  
                                  LOUISIANA, ON APRIL 13, 2021  
                                  Interview of [REDACTED] [REDACTED]

ACCIDENT NO.:               DCA21MM024

PLACE:                       Via Microsoft Teams

DATE:                        April 21, 2021

was held according to the record, and that this is the original,  
complete, true and accurate transcript which has been transcribed  
to the best of my skill and ability.

*Nikolas Oka*  
[REDACTED]

Nikolas Oka  
Transcriber