

UNITED STATES OF AMERICA

NATIONAL TRANSPORTATION SAFETY BOARD

* * * * *

Investigation of: *

*

NATURAL GAS-FUELED EXPLOSION *

DURING ROUTINE MAINTENANCE, * Accident No.: PLD21FR002

FARMERSVILLE, TEXAS *

ON JUNE 28, 2021 *

*

* * * * *

Interview of: MICHAEL GLOVER, Pipeline Technician
FESCO

Via Microsoft Teams

Wednesday,
July 14, 2021

APPEARANCES:

SARA LYONS, Investigator
National Transportation Safety Board

STEPHEN JENNER, Human Performance Investigator
National Transportation Safety Board

LOREN KLITSAS, Esq.
(On behalf of Michael Glover)

I N D E X

<u>ITEM</u>	<u>PAGE</u>
Interview of Michael Glover:	
By Ms. Lyons	5
By Mr. Jenner	26
By Ms. Lyons	37

I N T E R V I E W

1
2 MS. LYONS: We're on the record with Michael Glover. This is
3 NTSB pipeline case number PLD21FR002, Atmos Energy June 20, '21,
4 natural gas/fire in Farmersville, Texas. These interviews are
5 being conducted virtually through Microsoft Teams, and today is
6 July 14th, 2021.

7 This interview is being recorded for transcription at a later
8 date. Copies of the transcripts will be provided to the parties
9 and the witness for review once completed. Transcripts will be
10 redacted to remove any personal and sensitive information before
11 it being entered into the public docket prior to the release of
12 the final report.

13 For the record, Michael, please state your full name with
14 spelling, your employer's name and your job title.

15 MR. GLOVER: Hello, my name is Michael Easton Glover, Jr.
16 I'm currently an employee of FESCO. I've been working there for
17 two and a half years and my job title is a pipeline technician.

18 MS. LYONS: Okay. And you're allowed to have one other
19 person of your choice present during this interview. This other
20 person can be an attorney, friend, family member, coworker, or no
21 one at all. If you would, please indicate who you've chosen to be
22 present with you during the interview?

23 MR. KLITSAS: This is Loren Klitsas and I'm his attorney, and
24 I'm present.

25 MS. LYONS: And that's who you've selected, Michael?

1 MR. GLOVER: Yes, ma'am, that's correct.

2 MS. LYONS: Okay. So we'll go around the room and have each
3 person introduce themselves for the record. Please include your
4 name, with spelling, and your employer's name. I'll start and
5 we'll progress talk-wise -- well we'll progress to Steve and then
6 Loren. So my name is Sara Lyons, S-A-R-A, L-Y-O-N-S, and I work
7 for the National Transportation Safety Board.

8 MR. JENNER: This is Stephen Jenner, S-T-E-P-H-E-N,
9 J-E-N-N-E-R. I'm a human performance investigator with the NTSB.

10 MR. KLITSAS: This is Loren Klitsas. I'm an attorney in
11 Houston, Texas, L-O-R-E-N, last name is K-L-I-T-S-A-S, and we
12 represent Mr. Glover.

13 INTERVIEW OF MICHAEL GLOVER

14 BY MS. LYONS:

15 Q. So Michael, to begin, can you give us a little bit of your
16 background as far as working in pipeline natural gas systems and
17 your employment with FESCO?

18 A. Well, again, I've worked with FESCO for two and a half years.
19 We service pipelines for different companies. We're a traveling
20 company and we go all over the U.S.A. -- all over the U.S.
21 servicing pipelines.

22 Q. Before FESCO, did you work in any other natural gas systems,
23 or was that your first job with that facility?

24 A. FESCO was my first job doing pipeline. I started my career
25 doing pipeline with FESCO.

1 Q. Okay, thank you. So if you can go through the day of the
2 accident, just focusing on a time before the explosion occurred
3 from arriving at the accident site, thinking about any details
4 that you remember; what was going on, what were you doing, what
5 you were thinking, how you were feeling as things progressed
6 between the time that you got to the accident site and if you
7 remember any times associated with the activities you were
8 involved in or observed until the ignition occurred, not going
9 beyond that point?

10 A. Oh, we had a very great day. Michael Glover, myself, and
11 Mr. Deric Tarver. We traveled from one location to another
12 location. I'm not sure with one location what we did like a rig
13 down, and rig downs is where we take down all the pipe that we put
14 up on another location, me and some other guys, me and Mr. Tarver
15 started the rigger down by himself and we had additional help come
16 and help us like, later on because they was still traveling.

17 After we successfully rigged that one location down, we
18 traveled back to Farmersville to do -- what we do is this thing we
19 call pushing the pig. And we put the pig inside the receiver, I
20 mean, put the pig inside the luncheon and we ship it to the
21 receiver. They was going excellent. Mr. Deric Tarver himself,
22 (indiscernible) that I work with, very skilled as a steel worker.
23 I've worked with him for two and a half years. He's been there 17
24 years. We have a good friendship, good relationship. We both
25 have high energy, both excited, we were having a great day.

1 When we got a ride to the location, I think it was around
2 2:30, 2:30 we got out. I drove to the location, started on the
3 passenger side. We got out. He went to put the -- he went to put
4 the flare stack. This thing is -- we have an instrument called
5 flare stack. He went and put the flare stack in service. I
6 walked to the 2 inch valve that was connected to our FESCO
7 equipment. He put the flare stack in service. Myself, Michael
8 Glover, walked to Atmos Pipeline and I opened up the valve. The
9 reason I opened up the valve, I opened the valve so we could burn
10 off any gas that was inside the pipeline -- inside Atmos'
11 pipeline. And doing so, that takes -- it could take up to 15 to
12 20 minutes and I think it took around like, 15 or 20 minutes to
13 completely blow all the gas out of the line.

14 And once we flare all the gas out of the line, we wait 15
15 minutes and we were now able to -- we are now able to open the
16 door because we give time for the gas -- any trapped gas or
17 anything trapped gas in the pipeline, we give it time to
18 evaporate, equal out -- I mean evaporate. So we try to make sure
19 there's any leftover anything -- anything trapped in the line, we
20 make sure that it is all gone before we open up the trap door to
21 load our instruments in, which is -- it was a gauge plate pig.

22 Q. So now on the day of the accident, there were three different
23 organizations there working on the site. There were you and Deric
24 from FESCO as you mentioned, three employees from Bobcat and two
25 employees from Atmos. Can you describe the different roles of

1 each organization and the work that was being done that day?

2 A. Organization -- I'm not sure what you mean, the -- I'm not
3 sure what they reported was, but I know exactly what our job title
4 was. Again, this is our first time working with those guys -- my
5 first time working with that crew right there over at Bobcat.

6 Q. Oh okay, so this day was your first day working with these --
7 with this particular crew?

8 A. Yes, ma'am.

9 Q. Okay. So your role -- you and Deric's role that day, what
10 did that include?

11 A. Well, we were simply there just to blow the gas out of the
12 line and make sure all the gas is out of the line; to make sure
13 there wasn't any trapped gas or anything trapped in between --
14 inside the pipeline from where -- like I said, like I indicated,
15 we had a flare stack and we constantly burned gas out. That was
16 our equipment set up. And we only had like, one flare stack
17 there, I think we had like, a 2-inch valve and we had like, two
18 things hooked up to that, and a few inches of pipe hooked up to
19 our equipment. That's the only thing that we had on that property
20 was the flare stack, two 90's, 1 inch valve, and a few inches of
21 pipe -- a few foot of pipe there.

22 Q. So your responsibility, and correct me if I'm wrong, your
23 responsibility was doing the flaring activity?

24 A. Yes, ma'am, that's what I was doing.

25 Q. And that was the extent of it? Okay, okay so I have a

1 photograph of this site that I'm going to share with you. Let me
2 see how I can do that. And -- just a second. So can you see that
3 picture, that first photograph?

4 A. Yes, ma'am, I see it, uh-huh.

5 Q. Okay and I have some labels just so that we're using the same
6 terminology and, you know, doing this virtually, can't really
7 point at anything but we can use the labels to help with
8 orientation. So could you walk me through as far as you remember
9 like, who was where and what they were doing from that time when
10 you started using the flare system until the ignition occurred?

11 A. Okay, like I said, see where I was trucked at, we parked
12 right there, of course. This little igniter box, that's the box
13 that Deric Tarver walked to and he put that in service. I,
14 myself, Michael Glover, I walked to this this 2-inch valve right
15 here and I opened -- I cracked the valve, which I mean, cracking
16 means like, barely open it, just a little bit. We don't want to
17 rip it bit we don't want to blow too much out at one time and we
18 eased our way into it. And as we start to blow the gas down, we
19 watched the flares -- we watched the tip of the flare to make sure
20 we don't overdo it. You know, we just opened it up just enough to
21 keep everything stabilized -- stable everything. We don't want to
22 -- we'd never want to rip it open, so we gradually opened up until
23 we had the valve completely opened up.

24 Again, Deric was right here by the ignitor box. After Deric
25 turned the ignitor box on, he walked back to this valve that you

1 have like, this flow line -- a flat flow line's a flare (ph.). He
2 came back there and he was watching me. He was close to me as I
3 was opening up that -- as I opened up the valve, because he only
4 had like, two switches to hit on this ignitor box to put this
5 flare stack in service. And he, he walked by -- he walked right
6 there next to me on the -- on that valve right there by the wheel,
7 by the main line and we just -- like I said, we had our equipment
8 hooked up to that, that they had two -- we had a 2-inch valve
9 right there.

10 We had a 1-inch valve right there and we opened it together.
11 He watched me as I was opening up the valve to make sure -- again,
12 to make sure everything was done the proper way, and he was
13 comfortable with me doing it. I was comfortable doing it, and
14 especially with him watching over me to make sure everything was
15 done in a safely manner, as we always do our activities.

16 Q. Okay and then how long were you standing there?

17 A. I think around that time, I think it took -- I think it took
18 like, almost 15 minutes to get all the gas completely out that
19 line from this valve to that trap door -- to the launcher door I
20 mean, to the launcher door, it took about 15 minutes to blow all
21 that gas out of there.

22 Q. And then how did you know that there was (indiscernible)
23 done?

24 A. How did I know what?

25 Q. How did you know that it was done?

1 A. Oh, because we have -- it -- you won't see any more fire come
2 out of it. And it'd have a certain sound, and we can watch it to
3 make sure -- and we have a certain sound and the fire is
4 completely gone out after it's -- after all the gas is blown out
5 of the tip of the flare.

6 Q. So what do you do at that point now that the fire is out?

7 A. At that point, again, we wait 15 minutes before we open
8 anything to make sure that -- and we leave the valve open just to
9 make sure that everything was completely gone and we leave the
10 valve open. We never close it, we leave it open.

11 Q. So during the initial ignition of the flare, it sounded like
12 you had the valve just partially opened and you over time opened
13 it all the way. And once it was open all the way, you're saying
14 that he never closed it again, you never partially closed it, you
15 just left it open; is that correct?

16 A. Uh-huh.

17 Q. So let me -- I have one other photo I meant to show you.
18 Sorry, for some reason it's not wanting to go full screen. Can
19 you see this one?

20 A. Yes, ma'am, I can see it.

21 Q. Okay, okay, so in the second photo, let's see -- you can see
22 the 1-inch valve that you're talking about, we refer to it as
23 valve B; so that's the one where you were standing near, correct?

24 A. Uh-huh.

25 Q. Okay, and then did anyone else go near that valve after you

1 opened it?

2 A. Not, not to my knowledge. Not to my knowledge anyone went
3 there but then again, I'm not 100 percent sure, but I can't recall
4 anybody going back to that -- to our equipment.

5 Q. Okay, and it sounds like from your testimony earlier, you may
6 have answered this, but just for clarity, did you see if the valve
7 went out on its own?

8 A. The -- excuse me?

9 Q. The -- I'm sorry, the flare. Did you see the flare go out on
10 its own?

11 A. Yeah, it went out. Mm-hmm.

12 Q. Now, in your previous pig loading jobs where a flare system
13 has been used, have you had many of those?

14 A. Yes, ma'am. I've been on a couple flare jobs, yes, ma'am.

15 Q. About how many would you estimate?

16 A. I'm sure more than 20.

17 Q. Okay and the -- for pig loading?

18 A. Uh-huh, yes, ma'am.

19 Q. Okay, and have you ever noticed any issues with the flare
20 system or the operation in any of those past jobs?

21 A. No, ma'am.

22 Q. Okay. So when you're assigned to a job like this job where
23 you're there to operate the flare system, is it typical for you to
24 assist with pig loading?

25 A. We -- again, we have -- we work with each other. Sometimes

1 we've been on jobs where we actually load everything, we load
2 everything ourselves. We actually load the pig inside the
3 trailers, part of our assignment. Actually sometimes we, we have
4 Bobcat or we have other contractors there. Sometimes, sometimes
5 it's negotiated inside the contract that we load the pig, wash the
6 pig, take the pig apart, put the pig together. It just all the
7 vary -- it all depends on what FESCO's -- whatever they put in
8 their contract. But sometimes we actually there by ourselves
9 loading up these pigs and taking them out, putting them together,
10 cleaning them, taking them apart and putting them back together,
11 rebuilding them. It all depends on what FESCO negotiate in the
12 contracts and that's above my job description, so I'm not sure how
13 they work it. I'm not sure how they work 100 percent.

14 Q. All right. In the past jobs that you've done that were
15 similar pig loading activities, has there ever been an indication
16 that natural gas remained in the pig launcher after the flaring
17 activities were completed?

18 A. Say that again?

19 Q. Has there ever been any indication that there was natural gas
20 remaining in the pig launcher?

21 A. I'm not 100 percent of sure that. You know, I mean, I'm not
22 100 percent sure.

23 Q. Okay. I just mean in your experience on jobs you've worked
24 on.

25 A. I'm not sure because like, we service so many different

1 lines, I can't remember if there ever was any leak
2 (indiscernible), anything was -- gas that's inside of line, we
3 service so many and -- we do so many jobs and I just don't recall
4 that ever taken place like that. I'm not sure.

5 Q. So did you -- on the day of the accident, did you run into
6 any difficulties with the flaring system?

7 A. Flare system, the flare system right there it worked, it
8 worked 100 percent the way it's supposed to operate. Didn't have
9 any issues with it at all on that particular, we had no issues
10 with it.

11 Q. So when you were on site, did you monitor for gas at all?

12 A. Excuse me? I don't understand the question.

13 Q. Like, monitor for gas? Like, some people wear an LEL monitor
14 and there's like, different ways to monitor --

15 A. I wasn't wearing an H2S monitor.

16 Q. Did you notice if anyone else was monitoring for natural gas?

17 A. I'm not 100 percent sure of that as well.

18 Q. So thinking about after the flaring system, the flame had
19 gone out, and the next activities were in progress of loading the
20 pig; can you walk me through your role there? Like, if you were
21 at all involved in opening the launcher door, how you knew it was
22 safe to do that and, you know, how you assisted and who you were
23 assisting?

24 A. Well, I was assisting Bobcat. This trap door is just a
25 little bit different than the normal doors we would normally use.

1 This -- again, this job was set up for Bobcat and they had -- they
2 have different tools, different instruments of opening up this
3 door. Like I said, this door was very different from any other
4 door I ever serviced.

5 Again, Bobcat had the tools, they was opening the door and
6 Deric and myself was just assisting those guys as they're getting
7 the door open and we was just helping them out, getting the doors
8 open to the launcher.

9 Q. So were you right near them when they were opening the door?

10 A. Yes, ma'am. We -- all three of us -- we was all three
11 standing right there; two Bobcat guys and Deric and myself was
12 right there, hand in hand, working with those Bobcat guys. We was
13 right there working hand in hand with those guys.

14 Q. To get the door open?

15 A. To get the door open, uh-huh.

16 Q. Did you notice anything unusual about the door opening, like
17 any pressure pushing the door back or just anything that seemed
18 out of the ordinary to you?

19 A. No ma'am, everything seems -- it was -- I was watching
20 because -- like I said, it was different, the way you open the
21 door because they was using like, some kind of instrument, like a
22 drill or something like that to open the door and close the door.
23 They was -- that was something very different. When they usually
24 just have handles on it when you can hand open the door and you
25 close it back like that. It was just like a (indiscernible) thing

1 you do with your hands, not with a drill or anything like that; it
2 was just a little different, the door.

3 Q. And so once they got the door open, can you walk me through
4 like, the steps?

5 A. Uh-huh. Yeah, once we got the -- once we opened the door,
6 I'm not sure what -- who was on that -- who was on the -- we got
7 the door open successfully. We had one of the Bobcat guys get on
8 the track hold, which is the bulldozer. He lifted up, brought it
9 close to the launcher door. Again, the strap was still on the
10 gauge plate pig. He brought it to the trap door. The door was --
11 of course, the door was completely opened. It was open for at
12 least about ten minutes at that time, ten or 15 minutes, at that
13 time the door was just open. We loaded up, we brought it to the
14 door, he can only do so much and after you get it closer to the
15 door, we -- us four guys, we pushed the pig inside the trailer by
16 hand.

17 Again, we lifted it with a -- we used a lifting strap, what's
18 called a restraint, so I took the -- I took -- after we got the
19 pig halfway inside the trap -- I mean, halfway inside the launcher
20 door, I took the restraint off, or the strap -- or the lifting
21 strap, whatever you want to call it, I took it off and I had it in
22 my hand. And I think Deric -- I think it was Ethan Adolfo (ph.),
23 that used -- they used the pig puller that I think is a little --
24 our instrument -- a little instrument right here, and we pushed
25 the pig in as far as we can by hand.

1 After we loaded all we can by hand, we had the operator of
2 the track hold push the rest in with the bulldozer -- with the
3 pipe. So we pushed it in, we used the aluminum pipe and used the
4 bucket of the track hold to push the rest of the gauge plate pig
5 into the reducer. Again, I had the strap in my hand. The door
6 was open for about -- that time, about, 15, 20 minutes.

7 Deric and Adolfo, I think they were standing on the left-hand
8 side and I was standing on the right-hand side of the launcher
9 door. I had the strap in my hand. The reason I keep saying -- I
10 keep repeating myself by me having the strap in my hand because
11 that will kind of like, make the difference in my issues and I
12 think that's how I avoided -- you know.

13 So I turned like, a step away from the trap door to put the
14 strap on the ground and as soon as I went to go do that -- and an
15 explosion just came out of the middle of nowhere. Like, I
16 don't -- and it just happened -- just then in -- just that quick.
17 All I did was took one step to put the strap on the ground, and I
18 think that made all the difference in my life. After the
19 explosion, it just sent all three of us in the air and I fell on
20 my right shoulder. I was lying there and Deric got blown back.

21 Q. Okay. We don't have to go through that part.

22 A. And my injuries -- I woke up -- I mean, I blacked out when I
23 hit the ground. I was laying on my right side. I felt my
24 shoulder hurting a little bit. I didn't know how bad my injuries
25 was. I looked and I think I was waking up by -- and then by the

1 time I woke up it was raining so I was soaking wet -- and I woke
2 up I was soaking wet. And I was calling those guys names, I'm
3 telling everybody to get up. I was telling them guys to get up.
4 I said man, you got to get up man, we got -- we got to get back
5 home. And I can't hear myself talking because we was right in
6 front of the -- we was right in front of this trap door when the
7 explosion took place. I couldn't hear myself talking, I couldn't
8 hear anything. I thought I was deaf, I thought I lost my hearing.

9 And I also thought I was bleeding out the ears but it was the
10 rain -- the water from the rain, and suddenly I woke up, it was
11 like, a heavy shower, I was drenched and soaking wet. And I
12 remember calling those guys names, but I -- I'm hearing myself --
13 I'm listening to myself scream to the top of my lungs but I
14 couldn't hear anything because we was right in front of the door
15 when the explosion happened. And I still -- we all three just
16 went up in the air and again, I remember falling and I blanked out
17 and I was calling these guys names.

18 I could hear myself call -- I couldn't hear myself, but I
19 know I was screaming loud. And like I said, I thought I went deaf
20 and I thought I lost my, my hearing and I thought I was bleeding
21 out the ears but it was like, rainwater. And I think I blacked
22 out again. I think I blacked out again and this time, the
23 ambulance -- I mean, I -- the ambulance was putting me on the -- I
24 was getting loaded up onto a stretcher -- on the stretcher, and I
25 was trying to call those guys names. I said -- I asked -- I was

1 telling the EMS that -- I said I can't hear, I think I'm bleeding
2 out of my ears. I think my ears are bleeding. I can't hear
3 anything and they lifted me up and he loaded up the -- was
4 cleaning it and they showed me it was just, it was just rainwater.

5 I said we can't -- I was just telling them we can't leave
6 those other guys down there and all of a sudden, I was looking at
7 my coworker, he, he didn't move. And I looked down at the Bobcat
8 guy and he didn't move as well. It was just -- I was like, come
9 on man, we can't leave you guys out here, man. We've got to go
10 home.

11 (Pause)

12 And I just felt helpless that I couldn't help them out and
13 they wasn't moving. And I was like man, he has to go -- we got to
14 go, he has to get back home to his family. Like, this wasn't
15 supposed to happen. And again, I have no idea what happened but I
16 know that it shouldn't ever happened because that door was opened
17 for almost 20 minutes and -- I don't know how it can -- that much
18 gas come out of a line like that and it was way too much. It was
19 way too much. It was way too much just -- even if the valve was
20 even just leaking, that was way too much. Too much gas and too
21 much fire come out that -- out of that trap door like that for the
22 thing to be opened as long as it was open.

23 And I trust Deric with my life because he's very
24 knowledgeable and he's very -- he's a very skillful worker. He's
25 been doing it for 17 years. He knows everything about this. He

1 knows everything about this job. He knows it and I trust him.
2 And to see him lying like that and to see this -- to see it happen
3 to him and he just -- it just wasn't right.

4 He's -- this man's been doing for 17 -- he know -- he knew
5 this work. He's high rank in this field of business. I mean,
6 he's done this over and over and over and I work hand in hand with
7 him so wherever he's at, I'm right there with him. And I just
8 feel -- I feel so -- I feel guilty just to be doing anything
9 because we was all right there together. That's why it was so
10 hard for me to even just come do this interview because I don't --
11 my last memory was this guy just smiling and just being happy.
12 Life ended.

13 MS. LYONS: My God, you know, I'm -- let's go off the record
14 for a second.

15 Off the record.

16 (Off the record)

17 (On the record)

18 MS. LYONS: So back on the record with Michael Glover.

19 BY MS. LYONS:

20 Q. If we could just back up to a little bit earlier, that same
21 day, when you arrived to the site or maybe right before you got
22 there, were there any safety meetings discussing the work that you
23 were going to be doing that day?

24 A. Yes, ma'am. There was a safety meeting.

25 Q. And when was that and who was involved?

1 A. I think the Atmos guys was going to -- they were -- the Atmos
2 guys were doing the safety topic and they just let us know what we
3 was going to be doing.

4 Q. Did they get everyone together? Was that just like, you and
5 Deric with the two Atmos employees?

6 A. It was me and Deric; I think it was two Atmos guys and I
7 think it was Bobcat.

8 Q. Do you recall what was discussed?

9 A. Just -- I think we just -- we gone blow down, we just going
10 to flare out the gas that was trapped inside the pipeline and we
11 was going to load the pig into the trap -- I mean load the pig up
12 into the launcher. It's -- yeah. It was a simple job -- it was
13 supposed to have been a simple job. And again, like, we done it a
14 couple of times so we knew what our job description was. But
15 again, they had the safety meeting to cover everything that was
16 supposed to be taking place.

17 Q. So you mentioned it was raining for some of the time that you
18 were there, was it raining when you arrived?

19 A. It had rained earlier. When we had arrived, yeah, it had
20 rained earlier so -- but it wasn't raining when we got to -- it
21 wasn't raining while we was flaring and all that. It wasn't
22 raining at all when we were flaring.

23 Q. So it was raining before you got there -- it looked like it
24 had been raining?

25 A. It looked like it had been in the area. Like, again, we had

1 left one location and went to another location so yeah, the ground
2 was -- you just know it rained over there in the area.

3 Q. And was it -- when was the first time you noticed -- did you
4 notice that it was raining prior to the explosion?

5 A. I believe it had drizzled a little bit. I think it drizzled
6 -- it rained a little bit. It rained a little bit. It rained a
7 little bit.

8 Q. And do you recall what activities were going on while it was
9 raining?

10 A. By that -- when it was raining, I think we had -- I think
11 this time we was standing around waiting. That's right after we
12 had finished with our flare stack. After we finished the process,
13 I think it started raining heavy when -- I think it started
14 raining during the process of standing around just waiting for,
15 you know, the 15 minutes before we we're able -- before we were
16 able to open up the trap door. I mean the launcher door.

17 Q. And then how about when the launcher door was opened, do you
18 remember if it was raining then?

19 A. No, it was still -- I know it was still, I know it was still
20 kind of damp a little, but I don't just -- it wasn't -- I don't
21 think it was fully raining like that. I don't think it rained
22 until I, I woke up soaking wet.

23 Q. Do you remember the weather changing any of the work that was
24 done that day? Did it influence when things were done or what was
25 done?

1 A. Excuse me?

2 Q. Like, did the rain, or any other weather but I'm guessing
3 rain because that's what you mentioned, did it influence the way
4 people were doing their job?

5 A. I don't think so. I don't think so. I mean, it was -- it's
6 all -- everything -- we still -- we do everything the safe way.
7 We try to do everything the safe -- make sure everything is done a
8 safe way. If the weather was incoming -- if it was that bad, then
9 we wouldn't try to service anything, we'd just have to wait it
10 out. It's not that it's -- nothing's more important than making
11 sure that we're doing things the right way, the safe way. We
12 never want to do things the fastest way. We want to do everything
13 the safe way, and, and we -- myself, Deric, and everybody has the
14 right to not do something they feel is unsafe.

15 Q. So you have that authority when you're doing work?

16 A. Well, me and Deric -- we all discussed that.

17 Q. Do you sometimes cancel jobs because of the weather?

18 A. If it's lightening -- if you see lightening, I think within
19 -- I think 20 or 30 yards, we stop work -- we cannot work under
20 those conditions. I think that's FESCO policy and I think it's a
21 lot of guys' policy. It's -- in the oil field business.

22 Q. Do you recall smelling gas at any time on the accident site,
23 either before or after the explosion?

24 A. It's kind of hard to say. I didn't smell any gas. I didn't
25 smell any gas while we was flaring the gas, I didn't smell

1 anything then. But whenever you open up those doors like that,
2 you always going to -- it's all going -- it's going to smell
3 different because it's trapped, it's been there for a while so.
4 And sometimes it's kind of hard to determine if anything -- if
5 there's anything leaking in it or anything like that because it's
6 -- it has a sound to it when you open up the door. I don't know
7 whether it's trapped steam or something make, (indiscernible)
8 that, you know, that -- and it's kind of hard to tell when you
9 open up the door because you're going to have a different smell
10 any time you open up that door. It's going to -- you're going to
11 smell gas, anything inside -- trapped inside that -- inside those
12 doors back there. Whether it be from condensate or wet gas, any
13 kind of leaks, any kind of fluid that could go in inside those
14 pipelines, so it's going to always smell different. It's all
15 going to be -- it's all going to have some kind of smell to it.

16 So -- and especially with gas being there. So of course
17 you're going to smell like some kind of gas but it's not -- you
18 don't know if it's leaking or not. Sometimes you don't know if it
19 has leaked by or not.

20 Q. So would you characterize the smells at the site typical of
21 any other pig launching job or was there anything that stood out
22 to you about this particular job?

23 A. No, other than the way the doors was set up on it, I think
24 everything was, I think everything was just the same, the same job
25 that we've always done. It's always pretty much the same steps

1 except the only thing different was that they used power tools to
2 open up the trap door versus just using a hand -- manually opening
3 with your hands and things like that. So the doors was -- that
4 was a little different but the vapors on the doors, it always --
5 it's all going to smelled funny when you open up the door of
6 anything that's trapped. Same as your refrigerator, it's all
7 going to have a -- a different -- you don't smell anything on the
8 outside but when you open it up, you going to get a different
9 fragrance. And we have like, a lot of vapors coming out that door
10 and it has a loud sound when it's opening up.

11 Q. So you typically smell something when you open a door?

12 A. Yes, ma'am.

13 Q. So did you notice when they were -- I guess all four of you
14 were using the push pull, did you notice if the grounding cable
15 was attached to it?

16 (Pause)

17 A. I believe so. I believe it did have the, I believe it did
18 have the -- that cable.

19 Q. Did you happen to see where it attached to?

20 A. It attached to, it either attaches to the pipe, the pipeline
21 -- I mean, the pipe itself or it's on a trap door, and it's on the
22 -- it's grounded and we put it on the rod.

23 Q. So on the rod, and then as far as where it connected to the
24 launcher, you're not sure exactly, it might have been on the door,
25 it might have been on the launcher itself?

1 A. Mm-hmm. Yes, ma'am.

2 MS. LYONS: Okay. So that's all I have for now, so I'm going
3 to turn it over to Steve. Thank you.

4 MR. JENNER: Hi, Michael, thanks so much for, you know, the
5 details that you provided so far. I'm just going to bounce
6 around.

7 BY MR. JENNER:

8 Q. While you were talking, I was taking some notes and I just
9 had some follow-up questions for you, if you can elaborate on some
10 areas. To start, you said you were employed about two and a half
11 years with FESCO. I was just curious about what type of training
12 they provided you to perform your jobs?

13 (Pause)

14 A. Well, they trained me -- they trained us on our equipment --
15 how to use our equipment. They give us the breakdown on the flare
16 stack. They let us know how to use it, how to put it in service,
17 how to take it out of service, how to ignite it, how to use -- how
18 to turn the gas on, how to turn it off, and how to create a spark
19 without over -- without overdoing it. And they probably trained
20 us on those flare stake on the job that we were doing out there
21 for that particular day. They showed us everything about those --
22 about the flare stack.

23 Q. Is that through like, on the job training or is there also
24 some classroom training?

25 A. It's classroom training and it's, it's classroom training and

1 it's in the field; it's hands on as well.

2 Q. So when it came time to start performing those duties, did
3 you feel comfortable about what you were doing?

4 A. I feel 100 percent comfortable in doing what I was doing.

5 Q. While we're talking about flares -- now you had mentioned
6 that when -- during the flaring operation, you didn't recall --
7 well, you didn't believe that it was raining at that time. Can
8 you sort of educate me on the effects of rain and flares? Is that
9 a concern when you're doing the flaring operations?

10 A. No, you can flare in the rain, just as long as it's not
11 either lightening or thundering. If it's lightening or
12 thundering, we cannot run the flare stacks at all. It's against
13 FESCO policy.

14 Q. Have you ever had to perform operations, flaring operations
15 in the rain before?

16 A. I -- we've operated in the rain before. Yes, we've operate
17 our flare stacks in the rain before, that's correct.

18 Q. Did that --

19 A. But just not lightening and thundering. If it's already --
20 we're already flaring, it just so happens to start raining, we
21 continue to flare. We feel like anything that's life-threatening,
22 we feel like, it's just unsafe for any given reason, we'll stop
23 working through it and we'll stop it. If they get it -- if it's
24 getting too bad, we feel like anything could go wrong, we'll just
25 stop doing everything all at once.

1 Q. Sure. Have you ever had the flare go out unexpectedly,
2 either due to rain or to wind or other -- some type of other
3 conditions?

4 A. No, it's only hard to ignite if it's windy real bad but once
5 the flare is lit, it's lit. It's kind of hard to put it out, you
6 know. It's -- I don't think the rain is -- the rain won't put it
7 out, wind won't put it out, once it's -- once the lighter is lit
8 (verbatim). Once it's lit, it's hard to -- the way it -- the
9 regular wind just won't blow it out.

10 Q. Now you had discussed you were operating the -- I believe the
11 2-inch valve on the pipe.

12 A. Yes, sir.

13 Q. Did you have to manipulate any other valves on the pipe?

14 A. No, sir. We was only serving our equipment that we hooked
15 up. That's the only thing we -- only thing we're servicing. Only
16 instrument we needed with that was a crescent wrench. Only thing
17 we needed was a crescent wrench to open it up.

18 Q. And just to clarify, was this your first day at this site?

19 A. No, it was the -- I think it was the second day.

20 Q. When was the prior day that you had worked on this site?

21 A. The day before, I think the 27th.

22 Q. Okay, was that similar operations, pigging operations?

23 A. We launched a pig that day.

24 Q. Did that involve flaring system?

25 A. Yeah.

1 Q. Okay.

2 A. Same thing we did the day before. It only took like, maybe
3 20, 30 minutes to do that.

4 Q. So as far as you can recall, were there any differences
5 between the day before the accident and the day of the accident?

6 A. Only thing different was the weather was a little different.
7 One day it was sunny, hot, the next day it was like, cloudy.
8 That's the only difference.

9 Q. Did anyone tell -- discuss with you about any of the other
10 valves on the pipe? I know there is a 24-inch mainline valve.
11 Was that up -- brought up in discussion at all?

12 A. No, that wasn't part of the discussion at all. Not to FESCO
13 employees it wasn't. And what the other guys did among each
14 other, I'm not 100 percent sure on.

15 Q. You had -- I think I recall you saying that you verified that
16 the gas is out of the pipe based on your observation of the sound
17 -- of the flare, and I think you may have said there's a certain
18 sound associated with that; is that correct?

19 A. It's a sound. We check it, we listen, we listen for gas, we
20 cut that ignitor box off, and make sure there's no vapors coming
21 out the top of the flare. And again, we give -- we'll give -- we
22 give it 15 minutes for everything to dissipate. We give like, 15
23 minutes to make sure everything is clear and by that time, all the
24 gas and -- all the gas should be evaporated, but (indiscernible)
25 us opening the door right as we felt like everything flared off

1 and we still give it 15 minutes to make sure that everything is
2 safe.

3 And whenever we open up the doors, if anything's trapped
4 behind the door, it would be hard to open any door because we know
5 it's -- any time you try to open up a door, on the launcher or the
6 receiver, the door is hard -- it would be hard to open because --
7 and there's no -- there's any -- there's pressure behind it. It
8 lets you know there's pressure behind it and that's -- and the
9 door will open easily, so that let us know right then and there
10 that there wasn't anything behind the door when we opened up on
11 day one.

12 Q. And what do you recall happens, are you doing -- are you guys
13 doing during this 15-minute period or is -- what is Bobcat or
14 Atmos doing during this time?

15 A. I mean, we can stand -- we stand around, we'll wait, we'll
16 negotiate about whatever taking place. It's just a conversation
17 among us guys, just fellowship, pretty much. It's just fellowship
18 and talking about whatever it is that we may want to discuss,
19 anything like that. It's like an open 15 minutes to talk or
20 prepare yourself for what the next job duty is; whether it's
21 getting everything prepared where we had to roll plastic out, or
22 we had to, you know, pull pillars together, get our glue, grease,
23 or whatever we need to prepare for that -- for that time for we'll
24 open up the trap door, we'll get everything prepped and prepared
25 so when we close the door, we have all the equipment, we have

1 everything we need right there in hand. So that's -- we use that
2 time -- we use it valuable and we communicate with each other in
3 the process -- or that -- waiting that 15 minutes. It's a couple
4 things we can do. I was just grabbing the plastic, grabbing the,
5 grabbing the grease to grease the door back before we -- safe to
6 close it, getting the ground wire, the pig pullers, just put
7 everything right there by the trap doors. All that -- we know
8 we're going to use to close the door, that's what we're going to
9 use.

10 Q. If you could describe your interactions with Atmos, the two
11 people there, are they giving you directions or are they just sort
12 of observing what you're doing? Can you discuss that?

13 A. They wasn't a part of us doing what we was doing, getting
14 everything prepped to open up the door. They was kind of like,
15 standing back. They used their monitors. They -- you can sit
16 back and monitor as we -- as we're doing our job, doing our job
17 task. They usually sit back and watch us do whatever we're doing.
18 And like I said, if they feel like we was doing something unsafe,
19 they would have just stopped us.

20 Q. Right. So is that including the flaring operation, they are
21 just sort of monitoring?

22 A. Yeah, they monitor. They monitor it as a whole. As an
23 entire group out there, was it Bobcat involved or was it FESCO or
24 anybody else out there? They sit back and they'll observe stuff.

25 Q. I see. You were asked earlier if there was any monitoring

1 for gas going on, I guess either during the flaming operation or
2 afterwards, and I think you said there was no monitoring for gas
3 using equipment. Is there any occasions where there is monitoring
4 for gas?

5 A. Yes. If we're working on a job and if a job -- I mean if --
6 working on certain type of jobs, like I said, whoever can
7 negotiate the contracts, they let us know oh, this don't have HUS
8 on it, this job here is that and you need this, you need this
9 right here because all jobs are different. None of the jobs are
10 the same. We do the same service, but it depends on what kind of
11 gas and what we're doing with the line. Was we -- whether it be
12 wet gas or be condensate, or it just was fluids, anything like
13 that, what -- they let us know what we need for that particular
14 job and what safety things we need prior to doing the job as well.
15 So I mean, it's the same concept, but the jobs are different.

16 Some you're dealing with wet gas, some you're dealing with
17 gas, some you're dealing with fluid, or some you have to inject
18 chemicals in. It's like, all the jobs are just different and this
19 right here was one -- like I said, it's one of the easiest,
20 smallest job that we provide.

21 Q. Okay. I just wanted to make sure I heard you correctly. You
22 said it took a while to open the door, some equipment was being
23 used to open the door. Can you recall how long it took for the
24 door to open?

25 A. No, I can't recall how long it took to open the door. I know

1 it was longer than ten minutes. I don't know the exact time, but
2 it took at least ten minutes. Like I said, the door was
3 completely different than the door that we normally use or I --
4 the lines (indiscernible) service is different. That door was
5 different.

6 Q. Right. So what -- what's happening during that ten minutes?
7 Is it -- was this -- the door opening a surprise to Bobcat or was
8 -- it just takes that long?

9 A. I think Bobcat was well equipped. They knew exactly what
10 they was doing for that job. They brought the proper tools for
11 that job so I'm sure that somebody let them know exactly what kind
12 of tools to bring to that job to open that door because it's not a
13 normal door that we normally do on any line. And so they was well
14 familiar with it -- with the right kind of tools they might need
15 to get the job done because they brought devices that I'd never
16 seen them use before.

17 Q. And you assisting -- you described you assisting with the
18 putting the pig in the launcher. During that time, was -- what
19 was Atmos' role?

20 A. Atmos' role, like I -- again, I guess they was the overseer
21 of everything. They was hanging back and watching us do
22 everything that we supposed to be doing, I suppose.

23 Q. Did they give directions about how far to push or when to
24 stop pushing, anything like that?

25 A. No, sir.

1 Q. Okay. I think you answered this in so many words, but you
2 described, you know, the smells and the sounds, but was there
3 anything at any point of the process, even at the time or upon
4 reflection, that gave you concern?

5 A. I mean, again, vapors is always a concern. It's always a
6 concern. Any job you do -- like, any job you're doing it's just
7 always a concern. But you go -- you did them with gas, you did
8 them with fire, you did it with -- you don't -- we don't know
9 what's behind -- we don't know what's inside these lines, we don't
10 know what's coming out these lines, we don't know what's behind
11 these doors until we open them, so there's always a concern there.
12 There's always a concern. And again, we practice safety over and
13 over and over again, that's our main thing. We practice safety.

14 Q. So given that vapors is always a concern, did you feel
15 comfortable in the measures that you took, the safety measures
16 during this process, and that others took as well?

17 A. I feel comfortable with doing it because I had one of the
18 best field technicians out there with me, guiding me along the
19 way, so I feel 100 percent comfortable doing things with this
20 individual.

21 Q. Okay, appreciate that. Michael, I'm going to change
22 directions on you. I -- when I introduced myself, I stated I'm a
23 human performance investigator, so I'm interested in both the task
24 that is being done and I'm interested in the people. So if I may
25 ask you, and I've asked this to other people that we've already

1 interviewed, I'm just interested in your health and, you know, how
2 you were feeling that day, and if you had any medical concerns,
3 you know, entering the job. So this is before the incident, so if
4 I can ask you, you know, how was your overall health going into
5 that job?

6 A. My overall health, I felt good. I was having a great day,
7 having a great day, as always.

8 Q. Okay.

9 A. I -- when I -- I felt 100 -- I felt good that day, wasn't
10 feeling not at all fatigued or anything, I felt energetic and I
11 was just happy to -- I was happy to be working. I was happy to be
12 doing what I -- what I'm doing. I enjoy doing what I do. I enjoy
13 working for the company I work for.

14 Q. Okay, thank you for that. I'm just going to ask some
15 specifics and did you -- do you have any long-term medical
16 conditions, high blood pressure, fainting, blackouts?

17 A. [REDACTED]

18 Q. I see.

19 A. [REDACTED] [REDACTED]

20 [REDACTED]

21 Q. Sure, anything less serious? Maybe colds or allergies or
22 anything like that?

23 A. [REDACTED]

[REDACTED] [REDACTED] [REDACTED]

[REDACTED] [REDACTED]

1 Q. Right.

2 A. [REDACTED]

3 Q. You said you were feeling very good that day, [REDACTED]
[REDACTED]

5 A. [REDACTED]
[REDACTED]
[REDACTED]
[REDACTED]

9 Q. Very good.

10 A. That -- it is it.

11 Q. Right, and I heard you say you were not fatigued, so you felt
12 alert going into your job?

13 A. I felt very alert. I felt very aware. Very alert and very
14 aware, not at all fatigued. I felt energetic, I felt excited, I'm
15 working with a guy that -- that's familiar with everything we're
16 doing so I feel comfortable doing everything that we was doing
17 that particular day.

18 And again, [REDACTED] that's
19 it. I don't have any other, any -- no, no cold, no allergies, and
20 wasn't sick, wasn't ill, wasn't no fatigue, anything of that
21 nature, none of those. [REDACTED]

[REDACTED]
[REDACTED]
[REDACTED]
[REDACTED]

1 Q. Very good. I appreciate you sharing that with me.

2 A. Mm-hmm.

3 MR. JENNER: Michael, that's all the questions I have right
4 now, so thank you very much.

5 MR. GLOVER: Thank you sir, absolutely.

6 MS. LYONS: So I have a few additional questions to follow up
7 on.

8 BY MS. LYONS:

9 Q. So during any of the pig loading activities, have you ever
10 noticed or observed problems keeping the grounding cable attached
11 to the push pull?

12 A. No ma'am, those magnets are strong. They -- they're really
13 strong and the only way you get them off, you have to pretty much
14 take them off yourself. Once they stick, they stick and they're
15 pretty strong, they're heavy duty. Those magnets are very strong,
16 they are built for the job we use them for.

17 Q. And any observations from the day of the accident regarding
18 the grounding cables?

19 A. No, sir -- no, ma'am, not at all.

20 Q. Do you recall -- so thinking about the -- that final activity
21 before the explosion when everyone was pulling the push pull out
22 of the launcher, do you recall who was standing closest to the
23 launcher door and whether they were on the side of the chain link
24 fence or not?

25 A. It was three guys. It was Deric, I think it was Ethan

1 Adolfo, I'm not really sure which one it was, but I think it was
2 Ethan and myself. Deric and -- Deric and Ethan was on the left-
3 hand side and I think myself, Michael Glover, was on the right-
4 hand side of the pig puller because I was standing right there
5 directly in front of that door.

6 Q. Okay. So you and Adolfo were on the side of the fence?

7 A. No, Deric and Adolfo was on the left-hand side. I was on the
8 right-hand side.

9 Q. Okay. So when you say left hand and right hand, you mean
10 when you're looking at the door?

11 A. They was on the left-hand side of the stick -- of the pole
12 and I was on the right-hand side. The pole, it was in between --
13 we were separated between the pole, they was on the right-hand
14 side and I was on the left-hand side of the puller. They were
15 holding it with their right hand, I was holding with my left hand.

16 Q. Do you recall how far out the tool had been pulled out?
17 Like, was it almost out or did it just start to move back?

18 A. What do you mean?

19 Q. So you were -- the pig had been put in the position that --

20 A. The pig was put in position and you -- I mean, it was pushed
21 to the reducer -- to the -- as far as we could go inside the
22 pipeline that, that we -- that they close the door and start --
23 and finish the process of launching the pig. It was pushed far
24 enough inside the reducer.

25 Q. Okay. And then you, you all were pulling the tool out?

1 A. Yeah, we was pulling the pole out, yes, ma'am, that's
2 correct.

3 Q. Was it -- do you recall if it was almost out or if it was
4 about halfway, or do you know?

5 A. That I -- that -- this right -- in the process of doing all
6 of that, that's when the explosion took place.

7 Q. Okay. So you're not sure exactly how far because the
8 explosion happened.

9 A. I just know the pig was inside the reducer and I know
10 everything was prepped to get ready to close the door down, that
11 was the next part of the process. But you know, due to exposure,
12 we wasn't able to finish that part of the, that part of the job.

13 Q. I'm just -- I know you explained this, but I just want to
14 make sure I understand. So in this photo, I think I understood
15 that you and Ethan were on this side?

16 A. No, Deric and -- I was on that side. I was on the left-hand
17 side by myself. Deric and Adolfo was on the right-hand side of
18 the pig puller on the right side. I was on the left-hand side. I
19 was closest towards the gate, to make it -- I was closest toward
20 the --

21 Q. Yeah, thank you. So you were closer to the fence here.

22 A. Yes, ma'am, uh-huh. That's correct.

23 Q. And Deric and Adolfo were on the other side?

24 A. They were closer to the truck. That side by the truck, they
25 was that way.

1 Q. Okay. And was Ethan in front of you or behind you?

2 A. No, I was the last one. I was the -- I think I was -- I want
3 to say I was the last one on the stick -- on the pole -- holding
4 the pole.

5 Q. And do you recall on the other side -- on the side nearest to
6 the truck, was --

7 A. I don't know if Deric was in front, I don't know if Ethan was
8 in front, I'm not sure but I know both of them was on that one
9 side. That's what I do know. That's what I do remember.

10 Q. Okay. And I'm just going to repeat that again so that I
11 understand. So closest to the launcher door on the side of the
12 chain link fence was Adolfo. On the same side, the side of the
13 chain link fence, behind Adolfo was you. On the opposite side,
14 near the truck, was Ethan and Deric and you're not sure which one
15 was closer to the launcher door; is that correct?

16 A. I'm not sure which one of those guys were closer to the
17 launcher door. If I had to guess, I would think Deric, I would
18 think Deric was closer to the launcher door, then Ethan, and then
19 myself. Like I said, they was on the -- I was on the side where
20 the gate sits.

21 Q. Okay.

22 A. The side I was on.

23 Q. Okay. Thank you for doing that. All right, so let's see.
24 So prior to the accident, were you provided -- or did you have
25 access to the pig launching procedures? Those are the Atmos

1 procedures.

2 A. What are you asking me?

3 Q. The actual like, written procedures; did someone share those
4 procedures with you?

5 A. I'm really trying to understand what -- exactly what you
6 asking me.

7 Q. Okay. So for example, Atmos has procedures -- written
8 procedures that describe how pig launching occurs on their system;
9 did you have access to those procedures?

10 A. In like, a hand-written statement? No, I didn't have a hand-
11 written statement. No, I did not.

12 Q. Okay. It would be like, typed up procedures?

13 A. I understand what you're ask -- I understand the question now
14 but no, they didn't hand me anything. They didn't hand me
15 anything in my hand letting me know what the procedure was. It's
16 like, it's always a discussion.

17 Q. Okay. And then for the flaring activity, did you have any
18 written procedures on that?

19 A. Well, that is our equipment and Deric was in charge. Deric
20 was in charge of that and he does the JSAs on the flare stacks,
21 stuff like that.

22 Q. Of course. And similarly for abnormal operating conditions,
23 like if something isn't going quite as expected, did you have any
24 procedure or training related to abnormal conditions?

25 A. We just go up wind like if -- like, the opposite direction of

1 anything that's going wrong, yeah. It's just the basic -- the
2 basis of being out of the way, and knowing where to go, doing the
3 -- what you call it, the -- knowing where your nearest exit at.

4 Q. Okay. Where was the nearest exit area for that that day?

5 A. Towards the gate, the exit gate -- the entry gate, because I
6 think there's only like, I think there's only one way in, and one
7 way out.

8 Q. All right.

9 A. The entrance gate.

10 Q. So when you were doing the work on site the day of the
11 accident, did you have any records or notes that you were taking
12 describing the work that was being done?

13 A. No, no ma'am. Again, they only discussed it in the circle,
14 and we talk -- they talk about it. They don't -- we don't -- they
15 don't hand us written statements of what the job activity's going
16 to be about. They just talk to you about it in a group.

17 Q. Okay. I think sometimes people have little notebooks, they
18 just take little notes for themselves of what was done; did you
19 have anything like that?

20 A. No, we didn't take notes. We didn't take notes on that.

21 Q. Okay. and then do you know about what time you got to the
22 site?

23 A. I think it was around 2:30.

24 Q. Around 2:30. Do you have any record of that? Like, you got
25 to the site and made a phone call, or anything that would help

1 establish the time?

2 A. No ma'am, I don't have any -- I didn't really use my phone
3 for that particular -- I mean, around that time, I didn't use my
4 phone at all. I don't have -- as matter -- when we're out on the
5 field, we don't even really use our phones. We just focus on what
6 we -- our job is to do.

7 We don't usually get distracted by phone calls or anything
8 like that. And if we was -- if somebody was to have a phone, it
9 would be the project manager at the time to -- just to communicate
10 with people on the outside. But myself, you know, I'm just -- I'm
11 his assistant, so I don't really feel like it's necessary for me
12 to use my phone or bring my phone or have my phone out when we're
13 doing jobs like this and we're in the field. I think it's just
14 unnecessary for me to have my phone, so I don't get distracted by
15 anything.

16 MS. LYONS: Okay. Well, that's all I have for now. I just
17 have one question at the end. I'm going to give Steve another
18 chance to ask any second questions that he has first.

19 MR. JENNER: Actually, I don't have any other follow-ups so
20 thank you. And thank you, Michael.

21 MR. GLOVER: You're welcome, Steve.

22 MS. LYONS: So Michael, considering this interview and
23 everything we've talked about today, are there any things that we
24 didn't ask you that you think might be important to the accident?

25 MR. GLOVER: No, I just want to know what's going to happen

1 at the end of -- I want to know what's going to happen at the end
2 because I want to make sure we figure out what happened and get to
3 the bottom of that because no one should feel safe going in the
4 field like that if we can't identify what happened at that
5 particular -- to that particular line as -- it's a concern. And
6 there's a concern about what actions taking place so wherever the
7 investigation come up with, I would just like to know what took
8 place on that particular day. Because I am confused when it come
9 to that part right there. That's the only -- that's my only
10 question. I just want answers for it. That is it.

11 MS. LYONS: So I'm going to take you off the record.

12 Off the record with Michael Glover.

13 (Whereupon, the interview was concluded.)

14

15

16

17

18

19

20

21

22

23

24

25

CERTIFICATE

This is to certify that the attached proceeding before the

NATIONAL TRANSPORTATION SAFETY BOARD

IN THE MATTER OF: NATURAL GAS-FUELED EXPLOSION
 DURING ROUTINE MAINTENANCE,
 FARMERSVILLE, TEXAS
 ON JUNE 28, 2021
 Interview of Michael Glover

ACCIDENT NO.: PLD21FR002

PLACE: Via Microsoft Teams

DATE: July 14, 2021

was held according to the record, and that this is the original,
complete, true and accurate transcript which has been transcribed
to the best of my skill and ability.



Jeanie Powell
Transcriber



Bobcat truck

umbrella

launcher door

equalizer

kicker valve

chainlink fence

2" flow line to flare

24" mainline valve

flare tip

Igniter

Flare trailer with stack



flare tip

1-inch ball valve "B"

launcher door

kicker valve

2" flare flow line

