



# National Transportation Safety Board

Washington, D.C. 20594

Office of Railroad, Pipeline and Hazardous Materials Investigations

## Interview Regarding Investigation PLD21FR002

**Atmos Energy Corporation Natural Gas-Fueled Explosion During Routine Maintenance in Farmersville, TX on June 28, 2021**

Name: Rodger Ballinger

Organization: Atmos Energy

Title: Sr. Field Construction Coordinator

Date of Interview: July 1, 2021

I have reviewed my transcript(s) from the above referenced accident and:

I have no comments to make.

My comments are submitted herewith.

My comments are marked on the attached copy.

UNITED STATES OF AMERICA

NATIONAL TRANSPORTATION SAFETY BOARD

\* \* \* \* \*

Investigation of: \*

\*

NATURAL GAS-FUELED EXPLOSION \*

DURING ROUTINE MAINTENANCE, \* Accident No.: PLD21FR002

FARMERSVILLE, TEXAS \*

ON JUNE 28, 2021 \*

\*

\* \* \* \* \*

Interview of: RODGER BALLINGER

Senior Field Construction Coordinator

Atmos Energy

McKinney, Texas

Thursday,  
July 1, 2021

APPEARANCES:

SARA LYONS, Investigator  
National Transportation Safety Board

STEPHEN JENNER, Human Performance Investigator  
National Transportation Safety Board

ALVARO RODRIGUEZ, Pipeline Accident Investigator  
Pipeline and Hazardous Materials Safety Administration

KEVIN COLTERYAHN, Pipeline Safety Inspector  
Railroad Commission of Texas

EDUARDO JIMENEZ  
Occupational Safety and Health Administration

GLEN CARTER  
Bobcat Contracting

MICHAEL TAYLOR  
FESCO Pipeline Services

JOHN McDILL  
Atmos Energy

TOM TOBIN, Attorney  
Wilson Elser Moskowitz Edelman & Dicker LLP

I N D E X

<u>ITEM</u>	<u>PAGE</u>
Interview of Rodger Ballinger:	
By Ms. Lyons	5
By Mr. Jenner	22
By Mr. Rodriguez	25
By Mr. Rodriguez	29
By Mr. Colteryahn	32
By Mr. McDill	41
By Ms. Lyons	42
By Mr. Jenner	44
By Mr. Rodriguez	48
By Mr. McDill	52

I N T E R V I E W

1  
2 MS. LYONS: Okay. This is NTSB pipeline case number  
3 PLD21FR002. (Indiscernible) energy June 28, 2021. Natural Gas  
4 Flash Fire in Farmersville, Texas. These interviews are being  
5 conducted at the Spring Hill Suites Hotel in McKinney, Texas, and  
6 today is July 1, 2021.

7 This interview is being recorded for transcription at a later  
8 date. Copies of the transcripts will be provided to the parties  
9 and the witness for their review once completed. Transcripts will  
10 be redacted to remove any personal or sensitive information before  
11 being entered into the public docket.

12 For the record, please state your full name with spelling,  
13 your employer's name, and your title.

14 MR. BALLINGER: I'm Rodger Lynn Ballinger, R-O-D-G-E-R L-Y-N-  
15 N B-A-L-L-I-N-G-E-R. My employer is Atmos Energy.

16 MS. LYONS: And your job title?

17 MR. BALLINGER: I am a senior field construction coordinator.

18 MS. LYONS: Okay. You're allowed to have one other person of  
19 your choice present during the interview. The other person can be  
20 an attorney, friend, family member, co-worker, or no one at all.  
21 If you would please indicate who you have chosen?

22 MR. BALLINGER: I have Thomas Tobin.

23 MS. LYONS: Okay. We'll now go around the room and have each  
24 person introduce themselves for the record. Please include your  
25 name with spelling and your employer's name. I'll start, and

1 we'll progress clockwise starting from my left. My name's Sara,  
2 S-A-R-A, Lyons, L-Y-O-N-S, and I'm with the National  
3 Transportation Safety Board.

4 MR. JENNER: I'm Stephen Jenner, S-T-E-P-H-E-N J-E-N-N-E-R.  
5 I'm a human performance investigator with the NTSB.

6 MR. RODRIGUEZ: My name is Alvaro Rodriguez. Alvaro, A-L-V-  
7 A-R-O. Rodriguez, R-O-D-R-I-G-U-E-Z. I am with Hansen as an  
8 accident investigator.

9 MR. COLTERYAHN: Kevin Colteryahn, K-E-V-I-N C-O-L-T-E-R-Y-A-  
10 H-N. I'm a pipeline safety inspector with the Railroad Commission  
11 of Texas.

12 MR. CARTER: Glen Carter, G-L-E-N C-A-R-T-E-R. Bobcat  
13 Contracting Operations.

14 MR. JIMENEZ: Eduardo Jimenez, E-D-U-A-R-D-O J-I-M-E-N-Z, and  
15 I'm with OSHA.

16 MR. TAYLOR: Michael Taylor, M-I-C-H-A-E-L T-A-Y-L-O-R. I'm  
17 with FESPA Limited.

18 MR. McDILL: John McDill, J-O-H-N M-C-D-I-L-L, with Atmos  
19 Energy.

20 MR. TOBIN: My name is Tom Tobin, T-O-M T-O-B-I-N. I'm an  
21 attorney with the Wilson Elser law firm.

22 MS. LYONS: Okay. With that, I'll get started.

23 INTERVIEW OF RODGER BALLINGER

24 BY MS. LYONS:

25 Q. So, Rodger, can you just give us a brief description of your

1 background?

2 A. With Atmos Energy? My time with Atmos Energy?

3 Q. With Atmos and if you had prior pipeline experience.

4 A. Okay. I've been with Atmos Energy -- it will be 38 years in  
5 October, and -- let's see, I started out as a -- in dispatch and  
6 moved into meter reading. From there, I moved into the customer  
7 service department and then into the construction and maintenance  
8 department. Worked as a construction operator and then a crew  
9 foreman and really didn't have any pipeline experience in any of  
10 those roles until 2009 when I took the position of a field  
11 construction coordinator.

12 And then I began assisting with pigging operations -- the FCC  
13 that I worked with -- assisted him, and, at that time, we had  
14 company crews that were working those jobs. They would be the  
15 ones that we would basically be overseeing for the project, and  
16 then that gradually moved into contracting that out to third  
17 party.

18 So all of my experience in pipeline has been since 2009.  
19 When I was assisting the other crew foreman, he was training me,  
20 and then, of course, my OQs for operating our system.

21 Q. Okay. Great, thanks. Wow, you've been with Atmos for a long  
22 time.

23 A. Long time, yeah.

24 Q. All right. So on the day of the accident, can you give just  
25 a basic description of the job that you were requested to do?

1 A. Yes. The -- that morning -- let's see, that was Monday  
2 morning. We got up, and we lost a pig approximately 4, 4:10 in  
3 the morning that we had preloaded the day before on Sunday  
4 afternoon. And so we launched -- lost the pig, got it running  
5 down.

6 We were monitoring the speed through the well counts that  
7 were -- we were getting from the guys out in the field that were  
8 listening for it and talking with gas control -- our gas control  
9 to monitor the flows, and then, once it got out of the McKinney  
10 district over to Garland district, they took over the monitoring  
11 -- the controls of the speed where they were going to be received  
12 there in Rockwall.

13 Then, later that day, we were to meet back at that site, the  
14 launch site, to preload the gauge tool for the next run.

15 Q. Okay. So focusing on the -- just the task that occurred at  
16 the site where the accident occurred, can you walk us through your  
17 experience that day from the time that you were given -- that you  
18 began working on that task through the completion of that event?

19 A. Yes. We arrived on site that afternoon. It was -- trying to  
20 remember the time we arrived out there. It was probably -- I  
21 think it was after 2 o'clock because we had met over at our  
22 warehouse to pick up the tool so that the Bobcat technicians could  
23 rebuild it to run it. We met out at the site.

24 They got out there before I did and opened the gate, and it  
25 started raining. It was raining pretty good that -- by the time I



1 got out there. Chris showed up -- I believe he showed up right  
2 after I did, and he walked out, talked to the Bobcat technicians.  
3 I believed at the time FESCO had not made it there yet. And told  
4 him since it was raining, we're going to stay in the trucks for a  
5 little bit -- kind of wait the rain out because he had been  
6 looking at the radar. It looked like it would clear out, so I  
7 stayed in my truck while he went and talked to them.

8 And then the FESCO man showed up, pulled into the site. So  
9 the rain had let up a little bit, and we walked out, talked to  
10 everybody that -- you know, this is what we'll be doing. Asked  
11 the Bobcat man to set up their umbrella. They had a large  
12 umbrella where they could do the rebuild and work on that while  
13 FESCO would flare down.

14 So we talked to the FESCO man about going ahead and opening  
15 the valve to lock the flare and flare that down while the pig was  
16 being rebuilt. Once it was down -- once it was flared down, I  
17 think they were finished. They were finishing up rebuilding the  
18 pig, so then they -- let's see, we opened the door of the  
19 launcher, got the door opened -- the Bobcat guys opened the door,  
20 and then they went over to hook onto the pig.

21 They latched a rope onto it -- the strap that they used to  
22 pick it up with the track hoe to move it into place into the  
23 launcher. Set it into the launcher -- the front end of it into  
24 the launcher, unhooked the strap, and then pushed it up in by hand  
25 a little ways. Then, they picked up the push bar, connected the

1 push bar to the -- or, put it up to the back end of the pig,  
2 pushed it in by hand a little ways as far as they could get it,  
3 and then they moved the track hoe in place with the bucket to  
4 connect to the back end of the bar, pushed it into the reducer and  
5 got it seated.

6 Pushed it, you know, just a few inches in just to make sure  
7 it seated, and then they backed off -- began backing off the track  
8 hoe and started pulling the bar out. And they got -- I think they  
9 got the bar pretty close to being out of the way when the flash  
10 occurred and blew the pig back out, and that's when we began  
11 trying to see what was -- what happened -- what was going on.

12 The -- we did have two men that were lying on the ground we  
13 didn't see moving. I grabbed my phone and dialed 9-1-1, and I  
14 think Chris had -- he picked up his phone to call 9-1-1. But he  
15 said he couldn't get through for some reason, so we immediately  
16 called our supervisor to let him know since -- and he asked me if  
17 I was calling 9-1-1. I told him that I was.

18 I got their dispatcher on the line. We had another man that  
19 was lying by the fence -- one of the FESCO gentlemen. He was  
20 conscious. He was lying down. He would pick up his head and try  
21 to look around. I went over and asked him, you know, if he was  
22 doing okay. He said, I'm okay, and he asked about the other guys.  
23 And there was another man with Bobcat that was walking around and  
24 looked like maybe he had some minor burns on his face. He was  
25 walking around. I think Chris grabbed him a cotton rag or

1 something and got him in the truck. He sat in the back seat of a  
2 pickup truck.

3 The dispatcher was trying to get the details from me, while  
4 all this was going on, about what happened. So -- and then she  
5 was asking the address because being on the cell phone it didn't  
6 give her an exact address, so I walked out -- was walking out to  
7 the road because there was a mailbox with the address. I told her  
8 what that address was, and it began raining slightly again, I  
9 think, at that time.

10 And I think I walked back into the facility to check on the  
11 guys again. The two men on the ground still were not moving. I  
12 think Chris was checking for a pulse. And I went back to the man  
13 by the fence, and he was still conscious. We told him just to,  
14 you know, to wait, to be still, that the ambulance was on the way,  
15 and I could hear -- I thought I heard something.

16 I went back out to the road, and the fire marshal showed up.  
17 He was the first one -- yeah, he was the first one on the scene,  
18 and then you could hear ambulances coming. So then I went back  
19 inside the facility. I told the FESCO gentleman on the ground, I  
20 said, the ambulances are coming. Just hang in there, and then  
21 more emergency personnel started coming in the site. And so we  
22 went back out.

23 They asked us if we could step outside the gate, and so we  
24 went back outside the gate and just let them do -- take care of  
25 the -- everybody. And then I remember right -- one of our super

1 -- operation supervisors showed up. Stuart Hill showed up, and  
2 then Greg Elmore (ph.) showed up a little bit later. And the  
3 emergency personnel -- they kept us outside of the facility while  
4 they took the two men to the hospital -- loaded them on  
5 ambulances, took them to hospitals.

6 Told us that -- well they didn't tell us. We just overheard  
7 them tell us that the other two were deceased. We just stayed  
8 outside the facility from now on until Stuart and Greg -- Stuart  
9 took us back to our office for a drug and alcohol test, standard  
10 procedure.

11 Q. Okay. So when you think about the work that was going on  
12 that day, before the accident on site, was there anything  
13 particularly challenging? Any obstacles you ran into?

14 A. No.

15 Q. Anything unusual?

16 A. No.

17 Q. Was this type of job routine for you? Is it something you  
18 have done -- similar tasks before?

19 A. Yes. Yes, we've done this similar task on all of our -- most  
20 of our pipelines. This particular line we hadn't -- we haven't  
21 run a pig on it in a few years, but there is another one that  
22 comes into that facility that we do annually. And so we do run  
23 maintenance pigs on that one annually, but this particular one we  
24 haven't done. But we do several a year every spring and summer.

25 Q. Okay. So -- let me see. I'm going to get out the photo we

1 call Exhibit 1. So as I'm doing a -- just thinking about the  
2 period of time from before the door was opened until the accident  
3 occurred, I was wondering if you could walk me through -- kind of  
4 point out who was where on site and what their responsibilities  
5 are, and, if you can, remember estimates of about how much time  
6 the different activities took.

7 A. Okay. This is the location of the -- this is the Bobcat  
8 truck with the umbrella. Their guys were under the umbrella  
9 working on the -- rebuilding the pig, putting the --

10 Q. Does that --

11 A. -- transmitter in it. They had to put a transmitter in the  
12 back end of it.

13 Q. -- all three Bobcat employees?

14 A. Yes. Let's see, this looks out -- I believe that's the FESCO  
15 truck where they had pulled in, and Chris and I came in and met  
16 everybody back here at the -- around the Bobcat truck. I can't  
17 remember what time that was. I'm thinking it was a little after 3  
18 by the time we all got out there and got out of our trucks to go  
19 to work. I believe it was shortly after 3. Talked with the FESCO  
20 guys, told them that we could go ahead and flare this down, which  
21 they had done. They had been out there the day before to preload  
22 the pig that -- the Monday morning pig.

23 So they came out Sunday and met us out there, and we did the  
24 same thing Sunday afternoon. So they came over here -- well, one  
25 of them came over here to the igniter. They've got this igniter

1 to light the flare. One gentleman came over here, and the other  
2 one came over to the valve that they're tied into on the other  
3 side of the block valve --

4 Q. Okay.

5 A. -- to operate that valve.

6 Q. Okay.

7 A. I wouldn't -- I would walk back and forth between both of  
8 these sites where the guys were working to see how everything was  
9 progressing. Now it was -- it did -- I think it did start trying  
10 to rain a little bit more again, so it took a little bit to get  
11 the flare lit because of the rain coming on it. But they were  
12 able to get it lit, and I think Chris may have been -- I can't  
13 remember where he was exactly. He was -- we were both back in  
14 this area between the Bobcat truck and the flare.

15 Q. And about how long did it take them to get the flare lit?

16 A. I don't know for sure.

17 Q. You don't know? Okay.

18 A. No.

19 Q. Had you done a lot of jobs with flares before?

20 A. No. We haven't -- the portable flare on the launcher is  
21 something new for us this year. Normally, we would open the valve  
22 and just blow the gas to the atmosphere.

23 Q. Okay. Which valve would that be?

24 A. That would have been this valve that they had tied into for  
25 their --

1 Q. Oh. Okay. For the same --

2 A. -- flare.

3 Q. -- the valve on --

4 A. The same --

5 Q. -- on the other --

6 A. -- the same one.

7 Q. -- side of (indiscernible). Okay. Okay. So the FESCO guys  
8 are --

9 A. After it lit -- after the pot -- after it got lit and we  
10 could see the flame, the man that was working the igniter walked  
11 back over here where the other guy was, and then they would turn  
12 the valve up a little bit to get the flare going but not too high.  
13 And we would keep an eye on it, and if we felt like it was maybe  
14 too high, tell them to turn it down a little bit.

15 Or, as the gas pressure was coming down in the pipe in the  
16 launcher, it would need to be increased -- the flow would be  
17 increased a little bit by opening that valve that they were piped  
18 into. In the meantime, the Bobcat men were working on the pig  
19 getting it ready to go -- getting the transmitter inserted and  
20 bolted into place.

21 Q. Okay.

22 A. If I remember -- by the time we got the tube flared down,  
23 they were either finished, or really close to being finished, to  
24 having the pig ready to load. So once we saw that the flare was  
25 down and that it was out, didn't have any gas on it, the Bobcat

1 guys finished up what they needed to do. One of them grabbed  
2 their -- they had a cordless impact drill because that door has  
3 two bolts, one top and one bottom, that you have to unbolt slowly  
4 one at a time to keep from torqueing the bolts, so they started  
5 doing that over here at the door.

6 Q. So who was that? Who was doing that?

7 A. That was two of the Bobcat guys.

8 Q. Okay.

9 A. One would work the impact wrench, and the other one would  
10 stand back where he could see the nuts being pulled back to make  
11 sure we didn't -- they didn't pull one out too far. Kind of do it  
12 evenly. So he would tell him to go from the top to the bottom,  
13 back and forth. So that took a few minutes, I think, to get that  
14 door actually open because one of those bolts runs real smooth,  
15 and the other one is a little bit slower. So going back and forth  
16 on the bolts, they finally got it where the door would open -- got  
17 the -- got those bars spread apart enough that the door would open  
18 up. Open -- and then opened up the door.

19 Q. Can I back you up for a second?

20 A. Sure.

21 Q. So before they opened the door, can you just review for me,  
22 what would -- how did they know it was time -- that it was safe to  
23 open the door at that point?

24 A. We watched the flare come down, and when we could tell that  
25 the flare was out. Then we told them that one of us -- I don't



1 remember which one of us -- I think Chris had walked over toward  
2 the flare to look up at it, and then we told them it was okay to  
3 start opening the door. They don't do any of that sort of thing  
4 -- and the, you know, don't touch the valves or anything else  
5 until we give them -- tell them to go.

6 Q. Okay. Now, do you recall how long the flare had been out  
7 before they started opening the door?

8 A. I sure don't.

9 Q. Okay.

10 A. I'm sorry.

11 Q. No, no problem. Okay. So let's continue. Sorry for --

12 A. All right.

13 Q. -- interrupting.

14 A. Okay. So once they got the door open, they fully opened the  
15 door. They walked -- went back over to the umbrella, got the  
16 strap to go around the pig, put that -- put the strap around it.  
17 One of the Bobcat men went over to the track hoe and brought it  
18 over a few feet to where the pig was, and they strapped it onto  
19 the bucket of the track hoe and then walked it over to the  
20 launcher to the open launcher door.

21 And then they could move it in by hand, actually, part of the  
22 way, with the -- with it still strapped onto the track hoe, so  
23 they got it in. I believe one or two of the FESCO guys had come  
24 over to help them undo the strap -- take the strap off of it and  
25 unhook the strap from the bucket of the track hoe, so once they

1 did that, the track hoe backed up, and they pushed it in by hand.  
2 A couple of the guys, I don't remember which ones, pushed it --  
3 pushed the pig in so it was fully inside, and then a couple of the  
4 other guys picked up the bar, the push bar.

5       Took it over to the door and put it up against the backend of  
6 the pig, and two or three, maybe all four of them -- I'm not sure,  
7 pushed the pig in as far as they could by hand until it got up  
8 probably pretty close to the -- to that reducer and give -- just  
9 to the point you can't push it any further by hand. So then the  
10 track hoe rolls over and, while they're holding the bar up, he  
11 brings out his bucket -- the back of his bucket to connect to the  
12 back end of the push bar.

13       And one of the guys grabbed a -- their bonding cables, like  
14 they use their bonding cables every time they use that push bar --  
15 connect the one end of it to the launcher, and the other end of it  
16 to the push bar. And then he's the one that -- as the push bar's  
17 going in, he moves that bonding cable to make sure it keeps  
18 contact. And then -- so once he got on it with the bonding cable  
19 and they directed the track hoe up and made contact with it, they  
20 were able to push it and start pushing it toward the inside to  
21 make it seat in the reducer.

22       I think -- so off -- there was one man in the track hoe,  
23 there were four of them right around the door. I think Chris may  
24 have been back over here by the truck.

25 Q.   I'm going to put a star for Chris.

1 A. Yeah. I think that's where he was, and I've walked over this  
2 direction toward that -- this is the equalizer. Yeah, that's the  
3 equalizer. I walked over toward that.

4 Q. I'm just -- I'm going to put a star for you.

5 A. Okay.

6 Q. That time.

7 A. They pushed it in with the track hoe and got it seated. They  
8 just pushed just enough to get the front cup seated, the drive  
9 cup, and then they started backing off. Once the track hoe  
10 started backing off, I was making my way back over toward the  
11 truck. So they got that seated. Then they started retracting the  
12 push bar while the track hoe was backing up, and that's when the  
13 flash occurred.

14 Just heard a loud boom. I saw a flash out of the corner of  
15 my eyes because I think I was -- I was looking away. I had turned  
16 kind of to the right, so I was looking away from it, but I saw a  
17 flash and the loud boom and looked back. And that's when I saw  
18 everybody on the ground.

19 Q. Okay. So when they were doing the work, inserting the pig,  
20 did you notice anything that could have indicated gas was leaking?  
21 Or how would you have known had there been leaking gas?

22 A. We would have -- had it been leaking out the door -- we had  
23 that huge opening -- had it been leaking out of the door, you  
24 should be able to see the fumes of it and smell it, and I don't  
25 remember any of that, the fumes or any smell of it. Plus, we had

1 this valve that the flare was connected to. We left it open, so  
2 that would be -- if we did have any bleed by -- from this valve,  
3 the main line valve, then it would go up and out of the flare.

4 Q. So that was opened to atmosphere the whole time?

5 A. That was open to atmosphere the whole time, correct.

6 Q. Okay. Did anyone smell gas? Do you recall anyone, at any  
7 point -- even during -- after the accident portion?

8 A. I don't remember anybody saying anything about smelling it.

9 Q. And you didn't smell gas at all?

10 A. No, I didn't.

11 Q. Okay. Let's see. So was -- that you're aware of -- were you  
12 or anyone else monitoring for gas?

13 A. I don't know. I'm not aware of anybody that was monitoring.  
14 I wasn't.

15 Q. Okay. And that's before the accident, or after?

16 A. Right.

17 Q. Okay.

18 A. Both.

19 Q. All right. So do you know if the pig that you were using was  
20 intrinsically safe?

21 A. That I don't know.

22 Q. Okay.

23 A. The cups -- I don't know what material the cups are made out  
24 of, but it's a standard material that we use for the pigs.

25 Q. Okay. And then, when inserting the pig, how could you tell

1 that it was at the right position when the excavator was helping  
2 to do the insertion?

3 A. When the excavator was inserting? You kind of -- you know  
4 that the reducer just has a certain amount of space it can travel.  
5 Just looking at the reducer -- the distance before it reduces down  
6 to the mainline. And then you can also kind of hear it a little  
7 bit as it moves inside the pipe there, and normally, we just --  
8 we'll push a few inches. You know, six to 10 inches. Something  
9 like that. Once it's -- makes connection with the reducer. So we  
10 --

11 Q. So at that part --

12 A. -- we also have --

13 Q. -- you were at the star location, right?

14 A. -- yes.

15 Q. And so were you hearing --

16 A. Yes, you can hear it rub in the inside of the pipe, and then,  
17 also, you have -- Chris was back here watching the push pole as it  
18 was going in, looking to see how far it would travel as it went  
19 in, and I think there was -- I don't think all four of the other  
20 guys were on the bar as the track hoe was pushing. They, you  
21 know, tried to move back a little bit to give it room except for  
22 the man that had the bonding cable.

23 So they're also watching -- to look at the travel, but you  
24 listen for the travel. You listen for it pushing in the pipe, and  
25 then you have someone that watches the push bar to try to -- to

1 gauge how far it goes in.

2 Q. Okay. And then -- so when you said the grounding cable,  
3 where was that attached?

4 A. I'm not sure exactly where he attached it because the door  
5 opened it. The hinges are on the north side, so it swung open to  
6 the north. And he attached it around over here somewhere. He  
7 reached around and attached it somewhere. I didn't -- I never did  
8 see that -- where it was attached.

9 Q. Oh. Okay. So -- but was it inside the door, or was it  
10 outside? Like, was it visible here? Was it on the other side of  
11 the photo?

12 A. I don't --

13 Q. Or did you not see it at all?

14 A. -- I didn't see where he had it connected --

15 Q. Okay.

16 A. -- no.

17 Q. Okay. All right. That's all the questions I have for now.

18 A. Okay.

19 Q. So.

20 MR. JENNER: This is Steve Jenner with the safety board. You  
21 doing okay? You need a break?

22 MR. BALLINGER: I'm doing okay.

23 MR. JENNER: Great. You're doing great.

24 MR. BALLINGER: Thank you.

25 MR. JENNER: I just have a couple questions.

1 BY MR. JENNER:

2 Q. Just going to bounce around. Could you just, from the  
3 diagram, show us where you were standing when you saw the flash  
4 and heard the noise?

5 A. I'm not a hundred percent sure. I was headed back over  
6 toward where Chris was, back over toward the truck, so I think at  
7 that time I had made it -- I was pretty close to the tailgate of  
8 the truck, I think. I had walked past the opening of the  
9 launcher. It was kind of on my left. I had walked past that.

10 Q. What did you detect first? Did you hear the noise or see the  
11 flash first?

12 A. It was pretty much simultaneous. I heard the blast and  
13 caught a glimpse of the flash -- the fire out of the corner of my  
14 eye.

15 Q. Right. Could you point, on the map, where you believe that  
16 the flash originated.

17 A. I don't know where it originated. I know it came -- as far  
18 -- well, I don't know for certain that it -- I'm pretty sure it  
19 came out of here --

20 Q. You're --

21 A. -- out of the opening of the launcher. I know the -- I'm  
22 pretty sure that the pig was blown out at the same time. Later, I  
23 think I saw it lying on the ground by the fence, that south fence.

24 Q. So as far as the flash, you're detecting it outside the open  
25 door. Did you see any other flash along the length of the pipe?

1 A. No. No, I didn't.

2 Q. I -- during the process, you guys gave the okay to open the  
3 door.

4 A. Correct.

5 Q. Do you recall -- can you estimate how long the door was open  
6 until the time of the incident?

7 A. It would just be an estimate of time. You know, before the  
8 blast, and by, you know, I'm -- 10 to 15 minutes. Just an  
9 estimate.

10 Q. And you're estimating just based on the number of tasks that  
11 need to occur between the time that the flare goes down and the  
12 time that --

13 A. Correct.

14 Q. -- the pig was being inserted.

15 A. Correct.

16 Q. Okay. Is that a normal amount of time that the door would be  
17 open?

18 A. Yes, that's pretty normal.

19 Q. Okay. So let me just ask, in general, if you think back on  
20 all the operations leading up to the incident, was anything out of  
21 the ordinary?

22 A. No. I did not notice anything out of the ordinary that  
23 afternoon.

24 Q. Did anything about any of the equipment, either the meters or  
25 the pipeline itself or valves, give you concern?



1 A. No. No, everything we had -- I mean, everything in the  
2 correct position. Didn't notice anything that was -- that would  
3 give me any concern, you know.

4 Q. Okay. How was your working relationship with the two  
5 contractors? How would you describe that?

6 A. I'm -- I would say we have a good working relationship with  
7 them. The two men from FESCO, I think I may have worked with them  
8 before on a project. I don't know if it was last year or the year  
9 before. They did look familiar, but I think I have worked with  
10 them before. That was the first time I had seen them -- well,  
11 this day was the second day that I saw them on this project.

12 The guys with Bobcat -- I did help Chris with digging another  
13 pipeline before on -- this year before, the pig one once before.  
14 I went out and helped him, and I met these Bobcat guys out there.  
15 And I think I've worked with one or two of them before in a year  
16 or two past.

17 We all had a great relationship, you know. We'd joke around  
18 with each other, you know. So we, you know, everybody got along,  
19 and we could joke around with each other. Everybody knew their  
20 job and relied on each other, so I think we had a good  
21 relationship with, you know, each other.

22 Q. Okay. Between you and Chris -- when you're out at this site,  
23 is one of you more in charge than the other?

24 A. Typically, not. We try to co-work that. Sometimes Chris is  
25 -- he's a very out-spoken, take charge kind of a guy, and

1 sometimes he will, you know, just kind of take over running  
2 things, you know. He's a little more outspoken than I'm -- I am.  
3 I'm kind of a quiet person. And -- but, you know, we work great  
4 together, and we try to partner up on jobs, you know, like this as  
5 much as we can to, you know, to make sure that we try to cover  
6 everything.

7 Q. Very good. Thank you for this. I'm going to follow up  
8 questions in a different area, but I'd like other people to do  
9 some follow ups first. Thank you.

10 A. Okay.

11 MR. RODRIGUEZ: Thank you very much. I'm Alvaro Rodriguez  
12 with Hansen.

13 BY MR. RODRIGUEZ:

14 Q. Can you tell me about the grounds from the beginning of this  
15 work?

16 A. The beginning of the work on this line -- we -- everything  
17 was pretty much the same as this day began. It was determined  
18 that -- because of the power plants on this pipeline, that before  
19 they started generating really hard during the day that we needed  
20 to try to be finished with our runs by 9 -- 9 to 9:30. So it was  
21 determined, since it's about a five hour run, that we needed to  
22 start at 4 in the morning, and that it would be best, since we  
23 were using the portable flare, to take the gas off the launcher  
24 that we would preload in the afternoon the day before.

25 So we would -- the day before, we would meet up -- whatever

1 time. It kind of varied a little bit from day to day. Whatever  
2 time was convenient for us and the Bobcat and FESCO guys. We  
3 would try to meet up out there to do the -- to flare down, to get  
4 the pig loaded, ready for the next day -- the next morning's run.

5 In the morning, we would show up 3:15, 3:30, so that I could  
6 get in touch with gas control to make sure that the flows in the  
7 pressure were correct to make the run. And then that would give  
8 them 30 to 40 minutes to tweak the flows and the pressure if they  
9 needed to.

10 So about 4 o'clock we would be ready to launch. The FESCO  
11 guys, they would go down to the receiver that morning because they  
12 needed to work separator and frack tanks down there to watch for  
13 liquids -- any liquids coming in. So we would meet here with  
14 Bobcat and their supervisor -- Marshall Cross would show up as  
15 well to help us launch because, once we got it launched, these  
16 valves would take -- we had to operate this valve down here in the  
17 right corner, which is the southeast corner there.

18 We had to operate that one as well as the main line valve to  
19 open the launcher, and it would take 2 or 3 -- 4 people to operate  
20 them. They're so long winded. So once we got the pig launched  
21 into the line, two of the Bobcat men would go head out to go to  
22 their listening points. Marshall would stay with Chris and I to  
23 make sure all the valves got turned back into position for the  
24 normal operations, and then we would wait a little while for our  
25 well counts. We were all on the text message for the well counts

1 to see if we needed to call gas control back.

2 And, after a few minutes, we would leave the facility.

3 Marshall would go work with his guys to follow it on down to the  
4 receiver, and then, later that afternoon, we would meet back out  
5 there to preload for the next day.

6 Q. Thank you. When you began work on the Monday before with the  
7 job, how many pigs do you run and what kind?

8 A. Let's see. We did -- I'm trying to think -- the -- we ran  
9 one per day. The first couple of runs -- they had us set up to  
10 run, I believe we ran what they call the bullet nose pig first,  
11 and then the next two days we would run a disc (ph.) pig, which  
12 would pick up more material that might be inside the line.

13 So that was -- let's see, Tuesday, Wednesday, and Thursday  
14 for those three, and on Thursday it was determined that the line  
15 was still dirty -- that we had to run on Friday to run another  
16 disc pig to try to clean it out some more. If I remember  
17 correctly, they said that it was clean enough that we could run --  
18 well, let's see.

19 No, we didn't run the foam disc all three times. We ran -- I  
20 think Thursday and Friday we did the brush pigs, which have  
21 magnets and brushes that scrape the inside of the pipe. It was  
22 picking up a lot of material, so we made -- they left Friday and  
23 Monday open in case we needed to run extra, which we did. We ran  
24 the brush pig Friday and Monday, and by Monday, when it was done,  
25 they determined that it was clean enough we could run the gauge

1 pig on Tuesday. That was the one that we were loading into the  
2 line that Monday afternoon.

3 Q. Thank you. What is the difference in length of the pigs?

4 A. That I don't know.

5 Q. Okay. For the gauge pig, on that one about the incident, do  
6 you have -- or do you know if Bobcat has any instructions to  
7 assemble the tool?

8 A. I don't know. I don't know if they have instructions for  
9 that. I know they do so many of them they just do them, you know.  
10 I don't know if there's instructions that someone gives them to  
11 actually assemble it.

12 Q. And there was a transmitter on this pig --

13 A. Yes.

14 Q. -- and where is that transmitter?

15 A. It is inserted into a cavity in the rear of the pig.

16 Q. Okay. And how big is the transmitter?

17 A. It's approximately 12 inches long. It's a small diameter,  
18 maybe inch and a quarter in diameter -- maybe two inches in  
19 diameter. There's a transmitter that fits inside the  
20 -- they load with C batteries, and that transmitter is fitted  
21 inside of a container. That black container that it's fitted into  
22 is what's about 12 inches long.

23 Q. Would you mind drawing the pig and where the transmitter was  
24 at?

25 A. Okay.

1 Q. Would that be possible?

2 A. Sure.

3 MR. RODRIGUEZ: Can we hand him a piece of paper if you don't  
4 mind? So we're getting a piece of paper to --

5 MS. LYONS: Exhibit 2.

6 MR. BALLINGER: I'm trying.

7 BY MR. RODRIGUEZ:

8 Q. Yeah. It's going to be Exhibit 2.

9 A. Okay.

10 Q. And we are asking Rodger to draw the pig for us. Thank you  
11 very much.

12 A. And excuse my drawings. Okay. So this would be the rear of  
13 the pig. You've got a cup back here that's attached to the rear  
14 end of it -- the drive cup that is. It's -- I'm not sure how to  
15 describe it, but it's basically -- it's set so the gas can come up  
16 behind it and kind of catch it. It's like a cup that will catch  
17 the gas flow and push it forward. There's one on the rear, and  
18 there's one on the front end of it that would catch the gas as it  
19 would flow forward. And inside the very center of it -- in there  
20 in the middle part that's bolted onto is where the -- there's a  
21 cavity, and it's got bolts that go into it that hold a plate over  
22 the end of it.

23 So they -- the transmitter is loaded into it, and then you --  
24 it just slides up inside that cavity. And a lot of times they'll  
25 wrap that transmitter, and the transmitter that it -- the holder

1 that it goes into -- wrap rags around it, that sort of thing --  
2 that keep it from moving around inside of that cavity just to hold  
3 it in place. Then, they would bolt that plate back over that  
4 opening of the cavity. It's got several bolts -- I'm not sure how  
5 many. It's got several bolts that go around it that they would  
6 bolt that plate on there to hold it.

7 Q. Thank you very much for explaining that.

8 A. Sure.

9 Q. Do you know if the other transmitter is live at that moment?

10 A. Yes. They do have a receiver that picks up the signal that  
11 it sends out that they test it to make sure that is -- that it is  
12 picking up that signal -- a signal from that transmitter.

13 Q. Who?

14 A. That's Bobcat that does that.

15 Q. Okay.

16 A. They're the ones that track it, so -- and each of the guys  
17 that are out tracking it, they'll have listening devices that they  
18 can listen to it and hear it -- the pig as it goes through the  
19 line. It hits the wells on the inside of the pipe, and you can  
20 hear it thump in those wells. And we use this receiver to put on  
21 the end of the launcher just past the main line valve, and that  
22 helps us verify that it has left the launcher.

23 And then, at the receiver, they put it over at the receiver  
24 as well so that they can see. You know, you can hear it and feel  
25 it vibrate in the pipe, too, when it comes in, but then they also

1 use that as another way to detect and make sure because it will  
2 detect it -- that transmitter signal as it comes by.

3 Q. Do you know where information is collected?

4 A. On this one, I think it's just a signal that's sent out to  
5 it. It's not actually collecting any information.

6 Q. In terms of procedures, do you have procedures for pigging  
7 operations?

8 A. I don't know of any procedures. I've never read any  
9 procedures for pigging.

10 Q. Okay. And can you access those procedures?

11 A. I don't know if we have any to be --

12 Q. Okay.

13 A. -- honest with you.

14 Q. How about the flare device?

15 A. The flare device -- the only, I mean -- that's operated by  
16 the technicians that bring it out.

17 Q. Okay.

18 A. They're the experts in operating the flare device.

19 Q. Thank you very much for your --

20 A. Yes, sir.

21 Q. -- time. I don't have anything else.

22 A. Okay.

23 MR. RODRIGUEZ: Thanks.

24 MR. COLTERYAHN: You still good? You need a break or  
25 anything?



1 MR. BALLINGER: I'm okay.

2 MR. COLTERYAHN: Okay. Kevin Colteryahn with the railroad  
3 commission.

4 BY MR. COLTERYAHN:

5 Q. So we understand that you're run several pig runs the  
6 previous week. Chris was out for sick leave for a couple of days,  
7 and you'd come in in the middle of the week. During those  
8 previous pig runs, it was discovered that that valve, the main  
9 line valve going out of the pig launcher, had a seepage and --  
10 that needed to be adjusted to a precise location that it could  
11 seal off. Is that correct?

12 A. Yes.

13 Q. And that valve was marked with a Sharpie, or something you  
14 used to mark that location, where you were able to cut off the  
15 gas?

16 A. Correct.

17 Q. And I guess that's kind of something that happens on various  
18 occasions that you would have a valve leak like that?

19 A. Occasionally, we will have one, and the indicator on top of  
20 it might -- it kind of tells us where it's open and where it's  
21 closed. And you can watch it move as you're turning -- operating  
22 the wheel.

23 Q. So how would you indicate or how did you learn where to put  
24 that -- the seepage -- that it stopped the seepage of the gas?

25 A. We had the flare set up in Vernon, and it was taking a good

1 several minutes. And it wasn't -- the flare wouldn't decrease any  
2 for us like they normally do. So Chris was not out there, but  
3 Marshall was there with me to assist in turning valves and that  
4 sort of thing, and so we know the set up on that facility is a  
5 little -- they're all set up a little bit different. And we  
6 thought that maybe the kicker line on that -- we could see where  
7 it tied in -- thought that's where it tied in.

8 But we didn't know if there might be something else feeding  
9 into it, so I went out to my truck and got on my computer. And I  
10 was able to find the file that shows the design of the station,  
11 and I could see where that pipe tied into. And there was another.

12 So we went over and turned off those two valves over there to  
13 shut off that feed to the kicker line, and it tied into the other  
14 D-17 nine (ph.) lines - it tied into that one's kicker line as  
15 well. Both of those came off of D-17.

16 The main line valve above ground that we operate over in that  
17 southeast corner to launch -- we started turning that one off as  
18 well, and the flare was still burning pretty strong. It wasn't  
19 coming down. Marshall -- he said, well, maybe this valve on the  
20 launcher -- maybe there's something -- maybe it's bleeding by. Or  
21 maybe we need to operate it just a little bit. He said, let me  
22 turn it back because I think every now and then, some of them can  
23 be overturned.

24 And so he turned it back just a little bit. I didn't watch  
25 him actually do it. I was standing there but didn't see him

1 actually do it. And we waited a few minutes, and the flames  
2 started dropping. So we knew that that valve was overturned just  
3 enough to let it bleed by and marked the location where it  
4 actually stopped the gas flow so we wouldn't overturn it past that  
5 anymore. Marked the indicator -- it's got a little pointer on it,  
6 and so we marked that indicator and the line on the top of the  
7 valves so that we just turn it to that point.

8 Q. So after that -- the runs after that, that successfully cured  
9 that issue?

10 A. That stopped that issue every time, so.

11 Q. The other valve you're talking about on the main line,  
12 there's -- in front of that, there's a little riser out of the  
13 ground -- the valve that runs back in the ground.

14 A. Yes.

15 Q. Is that the main -- is that part of the line? I forget the  
16 configure.

17 A. It is part of the line.

18 Q. Does the pig go through that loop or --

19 A. No.

20 Q. -- it bypasses that?

21 A. It bypasses that.

22 Q. And it goes onto the --

23 A. That is the feed on D-17 -- that's where it ties in from the  
24 north feed into the feed going out of this station going south.

25 Q. Okay.

1 A. So we have to turn that valve -- we have to close that valve  
2 to stop that flow from the north to get the pig to actually move  
3 out of the launcher because of the -- we open the kicker line and  
4 get that pressure flowing there, which is before that valve --  
5 that above ground valve we shut off. So once we shut off that  
6 above ground valve, then that decreases the pressure behind it and  
7 gets that -- I mean, in front of it -- gets that pressure behind  
8 it to actually get it pushing.

9 Q. Keeps you from fighting the main's -- flow of the main --

10 A. Correct.

11 Q. -- ordinary flow of the main.

12 A. Correct.

13 Q. Okay. So were -- on these other runs, did you all have --  
14 did you put a gauge in the barrel at all to monitor that or  
15 just --

16 A. A couple --

17 Q. -- use the --

18 A. -- a couple of runs -- the first couple of runs we did, it  
19 was on top of the blow off down by the door of the launcher which  
20 comes off the top of the launcher. There's a large valve there,  
21 and then your blow off cap that you would use if you take the gas  
22 off the launcher. Just doing it that way instead of flaring it.  
23 You had to climb up on top of the launcher pipe to put your gauge  
24 in, and I didn't feel it was safe enough to continue doing that.

25 So -- but you could do a gauge up there. We did it the first

1 couple of times to watch the pressure come down and actually  
2 equalize once we loaded the pig in. We needed to purge the air  
3 out and get the gas equalized in it, and we could watch that gauge  
4 to see it come up to operating pressure. But, from then on, we  
5 just used the flare to see when it was flared down, and then you  
6 can listen to it. When you reload it, you can listen to it -- the  
7 gas pressure equalizes out into -- it just gets quiet once it's  
8 equalized out. You're got equal pressure.

9 Q. Okay. So the -- there was the two inch valve. You have the  
10 line go to the flare, and then, halfway back to the barrel,  
11 there's a two-inch valve that was inoperable with the pig?

12 A. It had been over-tightened at some point, and I think it's  
13 set back past the reducer when they -- up the larger part of the  
14 pipe -- if I remember correct, where the larger pipe was. I think  
15 it was back there.

16 Q. Somewhere in that vicinity.

17 A. Right, and the plug that was in it. It was tightened down so  
18 tight in there, you couldn't see any more threads on the plug, and  
19 I think at one point, the last time we pigged the line, Chris had  
20 said he tried to take that plug out. And it would just start  
21 turning the valve on it, so we didn't even attempt it.

22 Q. So would that be a location that possibly a gauge would be  
23 used -- utilized in the process on a --

24 A. Yes.

25 Q. -- normal basis?

1 A. You could.

2 Q. Not -- maybe not necessarily depending on --

3 A. Not necessarily. In the runs past, we would use the other  
4 valve that the flare was tied into this year.

5 Q. Right.

6 A. Previous runs, you know, we just opened the atmosphere and  
7 blew it down to atmosphere, so we could put a gauge in that one.

8 Q. Okay. So with starting to utilize the flare -- portable  
9 flare -- it's kind of new to the operation. Would we have any  
10 idea if it would -- were you using the ground cable on the push  
11 pipe to ground the push pipe to the tube? Would you know whether  
12 they -- should the flare grounded to a ground -- rod in the  
13 ground, and the, possibly, the barrel of the launcher? Has that  
14 ever been -- to your knowledge, ever been grounded out that way,  
15 or just that ground to the push tube?

16 A. I believe that -- I don't know for sure, but I believe those  
17 are grounded to -- I don't know what they're grounded. Maybe a  
18 rod in the ground or, a lot of times, the flares -- typically we  
19 use the bigger flares to flare down the six (ph.) in the pipeline.  
20 Have not used the smaller ones before, but they will have to tie  
21 those -- because those risers are so tall, they have to stake them  
22 down to the ground to keep the wind from blowing them down, you  
23 know.

24 Q. Okay. Just kind of thinking of a possible source of ignition  
25 with the cathodic protection -- the coating on the pipe, whether

1 that would need to be ground to -- possibly take the current  
2 through that as opposed to the individuals if there's any kind of  
3 static electricity, you know.

4 A. Right.

5 Q. So just kind of thinking that through.

6 A. Okay.

7 Q. And then, as far as the push bar -- previously you pushed the  
8 pig in. It was a straight bar that had a cup on the end to go  
9 around the upper apparatus on the pig. That was all intact and  
10 straight at the beginning of the process?

11 A. Yes. Yes.

12 Q. And then as -- when it happened -- when you heard -- saw the  
13 flash out the corner of the eye and heard the explosion, you were  
14 past the end of the barrel. You saw it to your side, and you  
15 estimated that they were coming out with the rod at that time --  
16 about halfway or so or more out of the tube?

17 A. I'm estimating it was probably halfway out of the tube or  
18 more. I'm not sure.

19 Q. And, when they pull that rod off, it's kind of kept in the  
20 middle of the pig so when they -- when the hoe lets loose of the  
21 pressure and they go pull it. Then it just falls --

22 A. It --

23 Q. -- in the tube to the bottom of the tube to be --

24 A. -- right.

25 Q. -- pulled out?

1 A. Right. It drops to the bottom of the tube, and that's  
2 another reason they use the grounding -- the bonding cable, you  
3 know, to make sure that it's grounded.

4 Q. It should be neutral --

5 A. Right.

6 Q. -- when it comes in and drops off?

7 A. Right, and they keep that on the bar the whole time. They  
8 slide it down the bar as it's coming out. It's only so long, and  
9 so they -- they've got a guy that will slide it -- as it's coming  
10 out, he's sliding his magnet toward the end it's coming out toward  
11 the door.

12 Q. Well that was something I kind of noticed -- that it was a  
13 short length. Is there any reason for the length on the ground  
14 cable that you would know of? Or --

15 A. No, sir.

16 Q. -- or why it would not be, maybe, attached at one end? That  
17 the far end was long enough and magnetic to the barrel or  
18 something like that so that to alleviate that issue of having to  
19 follow that.

20 A. I know on those push rods they'll have -- they may have three  
21 sections of rod that they can bolt together depending on how long  
22 the tube is, so that may, you know, that may be why they don't  
23 have it bolted. It's not bolted to the end because they have to  
24 change the length of the push rod depending on the length of the  
25 launcher.



1 Q. Okay. So -- maybe you -- doing a pig run, you said that you  
2 had not looked at any procedures and not really aware of what  
3 procedures there are for that.

4 A. Correct. The only -- the -- I know we have OQ tests that we  
5 take, training that we do for taking gas off the line and  
6 reintroducing gas on the line, looking for abnormal operating  
7 conditions; but I don't know of any task or procedures that are  
8 specific to pigging.

9 Q. To the pigging?

10 A. Correct.

11 Q. Purging -- a purging procedure or something would be --

12 A. That would be related to it, yes.

13 Q. -- decompressing the --

14 A. That we're trained --

15 Q. -- chamber.

16 A. -- yes. That we're trained on -- the purging and removing  
17 gas, deactivating the line, and then reactivating -- purging it.

18 Q. And part of that in AOC would be a leaking valve?

19 A. Yes.

20 Q. And those procedures would be expected to be possessed by  
21 Bobcat or FESCO? If they're out there helping you, they should --

22 A. If --

23 Q. -- have a copy of those procedures a --

24 A. -- they're --

25 Q. -- purging --

1 A. -- they're --

2 Q. -- procedure.

3 A. -- they're trained on the abnormal operating conditions as  
4 well. That's part of their training and requirements.

5 Q. Okay. I believe that's all I have -- that I can think of  
6 currently.

7 A. Okay.

8 MR. COLTERYAHN: I don't have anything relative.

9 MR. TAYLOR: It's Mike Taylor with FESCO. I just have one  
10 quick question, and I asked Kevin this.

11 Any -- do you have any idea what length of time it took to  
12 blow down the barrel from the time the ignition started to the  
13 time the flare was out?

14 MR. BOLLINGER: I would estimate approximately eight to 10  
15 minutes.

16 MR. TAYLOR: Okay. That's all I had.

17 MR. BOLLINGER: Okay.

18 MS. LYONS: All right.

19 MR. McDILL: John McDill with Atmos Energy.

20 BY MR. McDILL:

21 Q. I just -- as you recounted your history, you began training  
22 in your role of FCC in 2009, correct?

23 A. Correct.

24 Q. And that was part of -- for pigging operations?

25 A. Yes, that was pretty much on the job training. I worked with

1 an FCC -- senior FCC that had done many pigging operations.

2 Q. So in the last 10 plus years, I -- you've done quite a few  
3 pigging runs?

4 A. Yes, several.

5 Q. And you mentioned that there can be various configurations  
6 for launchers?

7 A. Yes.

8 Q. That's it for right now.

9 A. Okay.

10 MS. LYONS: Do you need a break? Are you okay?

11 MR. BALLINGER: I think I'm okay. I may need some more water  
12 in a little bit.

13 UNIDENTIFIED SPEAKER: There you go.

14 MR. BALLINGER: Thank you.

15 MS. LYONS: All right.

16 BY MS. LYONS:

17 Q. So I wanted to just revisit the interaction with the  
18 emergency responders. Did you speak with any of them, emergency  
19 responders, or give a statement to them?

20 A. I did. There was -- I know there was one that pulled up that  
21 asked my name, you know, who I was with -- that sort of thing.  
22 Asked for my ID, mine and Chris', and he asked, you know, what's  
23 going on? What happened out here? I told him that we had -- I  
24 can't remember exactly what I told him. I was running on  
25 adrenaline so much I don't remember exactly, and I had just gotten

1 off the phone with the 9-1-1 dispatcher. You know, so I don't  
2 remember exactly what I told him. You know, just that we had an  
3 accident out here.

4 I don't remember exactly how I put it, what I told him it was  
5 -- if it was a flash fire, an explosion, or what, but I told him,  
6 we've got men down out here. And then he took our ID and, I  
7 guess, was filling that out for his report.

8 Q. Was that the first emergency responder that arrived or were  
9 there several people there? Do you know?

10 A. Oh, there were several that showed up, and the first one that  
11 showed up was the fire marshal, I believe. And just kind of -- I  
12 was on the phone with the dispatcher when he showed up, and I  
13 think he asked me something about the incident. I don't remember  
14 what he asked me. Really, it's kind of fuzzy.

15 Q. Okay.

16 A. But I know he went inside the facility, and I think I -- I  
17 did see him a little bit later inside -- one of the trips I made  
18 back inside. But there were other emergency responders on the  
19 scene by then -- several guys walking around getting their  
20 equipment out.

21 Q. Did any of the emergency responders ask you to help determine  
22 whether the site was safe?

23 A. I think I overheard him -- somebody asked if we had any smell  
24 of gas. He -- you know, he said he didn't smell any gas and asked  
25 if it was safe or whatever, and, at one point, I did -- I think --

1 I had gotten off the phone with the 9-1-1 dispatcher and went over  
2 to secure the door on the trap. And one of the Bobcat guys were  
3 directing me as I operated the drill to close it and seemed like I  
4 remember him saying, I don't smell gas in here. But that was -- I  
5 don't know if he asked anyone to check for gas. He didn't ask me  
6 to check for any gas.

7 Q. Okay.

8 A. It seems like I do remember him saying -- overheard that I  
9 don't smell any gas.

10 Q. And you said earlier you didn't smell gas either?

11 A. No.

12 MS. LYONS: Okay. That's all the questions I have. Steve?

13 MR. JENNER: Yes, Steve Jenner. I'm going to change  
14 directions on you a bit. Part of my job is to do human  
15 performance, human factors investigations, so I'm interested in  
16 the people and their backgrounds and training, which we've covered  
17 some, but also their fitness for duty at the time that they were  
18 working. So if I could ask you some questions about your overall  
19 health and any medical conditions that you may have -- if that's  
20 okay?

21 MR. BALLINGER: Sure.

22 BY MR. JENNER:

23 Q. Okay. So we'll start off -- how was your overall health?

24 A. My health is great. I just had a physical back in March, and  
25 everything was great. [REDACTED]

1 [REDACTED]

2 Q. [REDACTED]

3 A. [REDACTED]

4 Q. So -- glad to hear you're overall great.

5 A. Thank you.

6 Q. So are there any types of chronic conditions? High blood  
7 pressure?

8 A. [REDACTED] [REDACTED] [REDACTED]

[REDACTED]

[REDACTED]

11 Q. I hear you. Anything more acute? Allergies or colds?

12 A. [REDACTED]

[REDACTED] [REDACTED]

[REDACTED] [REDACTED]

[REDACTED]

16 Q. Good. So I'm not hearing any prescription medications right  
17 now --

18 A. [REDACTED]

19 Q. [REDACTED]

20 A. [REDACTED]

21 Q. Any non-prescription painkiller types?

22 A. [REDACTED]

[REDACTED] [REDACTED]

24 Q. Okay. Thank you. Also, I'm interested in your schedule --  
25 your work and rest schedule two -- three days before Monday. So

- 1 if I can tap your memory a bit --
- 2 A. Okay.
- 3 Q. -- starting Saturday morning. I'm interested in if you  
4 worked and when you woke up, what you did during the day, when you  
5 went to bed. So if we can start Saturday morning --
- 6 A. Saturday morning, I got a good night's sleep Friday night.  
7 Typically, I'm an early riser. It's hard for me to sleep late,  
8 but I think I slept in a little bit that morning, 6:30-ish, 7-ish,  
9 which is late for me. And -- I'm trying to think what I did that  
10 day. I can't remember exactly what I did that day.
- 11 Q. -- were you off duty?
- 12 A. I was off duty.
- 13 Q. Okay.
- 14 A. Yes.
- 15 Q. Okay.
- 16 A. My wife and I did some running around, ran some errands.
- 17 Q. Sure.
- 18 A. Got another good night's rest on Saturday night.
- 19 Q. Okay. Just about what time you went to bed do you think?
- 20 A. 9:30, 10 o'clock.
- 21 Q. Okay. And you slept until Sunday morning?
- 22 A. Sunday morning was probably 6:30-ish.
- 23 Q. Okay. Did you work Sunday?
- 24 A. No, not until Sunday afternoon when we met out at the site.
- 25 Q. And what -- between what hours were -- did you leave your

1 house and return home -- when you went to the site on Sunday?

2 A. When I went to the site? Let's see, I left my house about  
3 probably 3:15 p.m. to arrive at 4 and left the site to go back  
4 home probably quarter 'til 5, maybe 5 o'clock. I don't know for  
5 sure.

6 Q. Okay. And it takes you 45 minutes to get home?

7 A. Takes me about 45 minutes to get home, depending on the  
8 traffic.

9 Q. Okay. So I've got you at home before 6?

10 A. Correct.

11 Q. Okay. And then it's now -- it's Sunday evening.

12 A. Sunday evening -- just a relaxing evening with the wife and  
13 dogs.

14 Q. Okay. You went to bed Sunday night?

15 A. Sunday night? Probably around 10.

16 Q. And you slept until Monday morning?

17 A. Slept until Monday morning. Let's see, Monday morning we had  
18 a launch, and we had to launch at 4. So I was up at 2:15, left my  
19 house about 2:45, which would put me out at the facility -- oh, I  
20 think I arrived shortly before 3:30 because that early on a Monday  
21 morning there's not that much traffic. So I got there -- got on  
22 the phone with gas control, as I normally do, to check on the  
23 pressures.

24 Q. Right. So from 3:30 on you were on duty up until -- you were  
25 at the site?



1 A. Yes.

2 Q. Okay. Terrific.

3 A. After we launched the pig - a few minutes after we launched  
4 the pig, we left the site. I did drive back home.

5 Q. Okay.

6 A. I didn't have to be -- none of my other contract crews were  
7 working. The jobs aren't -- they don't show up until around 8  
8 a.m., so, you know, it's 5:30, 6 a.m. So I've got some time to  
9 downtime at home. I can sit and relax at the house and grab  
10 another cup of coffee if I want, you know, so.

11 Q. Okay. And how did you feel on Monday, you know, waking up  
12 early and -- up until the time you went on site?

13 A. I felt fine. It was becoming routine, you know, getting up  
14 that early and getting out.

15 Q. Appreciate all that. Thank you.

16 A. Yes, sir.

17 MR. RODRIGUEZ: Alvaro Rodriguez with Hansen.

18 BY MR. RODRIGUEZ:

19 Q. Could you describe the steps before loading a pig? I would  
20 like to know -- what are the first place that you check -- or, if  
21 you look at this (indiscernible) of the launcher? Maybe look at  
22 certain valve? You can briefly describe that process?

23 A. Okay. We will walk in, we'll look -- we will walk around the  
24 launcher checking all of the valves to make sure they're in the  
25 position that they need to be in to flare down. We check those

1 valves several times while we're out there on site, and that's one  
2 of the first things that we do is we go check our valves -- make  
3 sure that they're in the correct position so that we can then  
4 start flaring down.

5 Then, we'll talk to everybody out there. Just kind of have a  
6 little tailgate talk - bumper talk, and what they're going to do  
7 when it's time. Typically, where everybody's there a little early  
8 -- several minutes early before we're ready to launch, so that  
9 gives us time to discuss that procedure again and get gas control  
10 pressures and flows in place.

11 Then, usually, since there's so many of us out there, Chris  
12 and I will check the valves. Both of us typically check the  
13 valves first thing. Then, before we start flaring, we'll take a  
14 look at them again. Sometimes the other technicians that are out  
15 there -- the Bobcat guys, they may walk around and look at the  
16 valves as well.

17 Then, we give the signal to the FESCO men to -- that it's  
18 time to light the flare, and so they'll operate their igniter.  
19 And, in conjunction with the valve, we tell them, okay, you know,  
20 open your valve. Get some gas flowing to it, get it flaring.

21 And we'll -- a lot of times a pig is being finished up.  
22 Sometimes it's ready to go. Other times they still have some work  
23 to finish up while it's flaring down. But that always gives us  
24 time to get it flared down, and once the flame goes out, then, you  
25 know, we make sure the pig's ready to go. And we open up the --

1 start the process of opening the door, and this door -- the  
2 configuration of it, it takes several minutes to get it open.  
3 It's a slower process than some of them, just the configuration of  
4 it.

5       So we'll open the door, bring the pig into place, they'll  
6 hook up to it, latch onto it, bring it into place to load into the  
7 line to the launcher. Once it's -- we get it pushed in -- once we  
8 get it pushed in and seated up against the reducer, we can then  
9 close the door, get the door bolted back up, then we can actually  
10 start introducing gas slowly to purge the air out of it. And, of  
11 course, we're making sure that our equalizer valve is in the open  
12 position at this time because we don't want to push that pig --  
13 have it closed, and the gas reintroduced behind it.

14       We don't want that gas pushing the pig all the way through  
15 the reducer up to the valve, so, you know, once again, we're  
16 checking that equalizer valve to make sure it's open. Introduce  
17 the gas slowly, slowly increasing it as the pressure comes up.

18       Once it's equalized in this tube, we can, then, close the  
19 equalizer valve, and we can begin opening the main line valve that  
20 goes from the launcher out. We get that open. That all takes --  
21 that takes several minutes to get that open. It's -- takes many  
22 turns to open that valve, and we can open the kicker line with a  
23 crescent wrench.

24       And then we will walk over to this other main line valve in  
25 the southeast corner that ties into it, and we begin the process

1 of closing that valve. Once that valve is closed, then we can go  
2 back over to the launcher and listen for the pig to start moving,  
3 and that normally takes several minutes, as well, to get moving.

4 And we have our indicator that picks up our signal from the  
5 transmitter just past that valve before the pipe goes into the  
6 ground, but once it starts -- once the pig starts moving, you can  
7 hear it and feel it in the pipe. It's above ground, so it's --  
8 there's no doubt that it's moving, especially when it goes to that  
9 valve, but then we also have that indicator that tells us that,  
10 yes, it did pass that point and is off and going.

11 Q. Thank you very much.

12 A. Yes, sir.

13 Q. I appreciate it. Do you have any logbook to track operations  
14 on site?

15 A. No, we don't.

16 Q. And do you record who is on site?

17 A. No, sir.

18 Q. Okay. How about leak detection devices? On the first day  
19 that you started this job -- so that would be the Monday before  
20 the incident report -- did you use any? Did you have any?

21 A. I do have a floor gas monitor. We have floor gas monitors to  
22 wear, like, on our shirt, and I was not wearing mine that day.  
23 And I don't know whether any of the other men on site had one to  
24 wear.

25 Q. I think that's it. Thank you very much.

1 A. Okay.

2 MR. COLTERYAHN: I don't have anything else.

3 UNIDENTIFIED SPEAKER: (Indiscernible).

4 MR. McDILL: John McDill, Atmos Energy.

5 BY MR. McDILL:

6 Q. Rodger, can you just reconfirm for us, please -- is it a need  
7 to contact gas control when a pig is being loaded, or when it's  
8 being launched?

9 A. When the pig is being launched.

10 Q. Okay.

11 A. Yes.

12 Q. That's -- make sure that was correct. I think that's the  
13 only clarifying question I had. Thank you.

14 A. Okay.

15 MS. LYONS: Okay. Well, just one last question, Rodger.  
16 With everything that we've discussed today, is there anything that  
17 we didn't ask you that you think is important to this accident?

18 MR. BALLINGER: No. You know, I keep reliving it and going  
19 over it, but I can't think of anything else. I think you guys  
20 probably covered everything.

21 MS. LYONS: Well, we really appreciate your help. This  
22 concludes the interview.

23 (Whereupon, the interview was concluded.)

24

25

CERTIFICATE

This is to certify that the attached proceeding before the

NATIONAL TRANSPORTATION SAFETY BOARD


IN THE MATTER OF:           NATURAL GAS-FUELED EXPLOSION  
                                  DURING ROUTINE MAINTENANCE,  
                                  FARMERSVILLE, TEXAS  
                                  ON JUNE 28, 2021  
                                  Interview of Rodger Ballinger

ACCIDENT NO.:                PLD21FR002

PLACE:                         McKinney, Texas

DATE:                         July 1, 2021

was held according to the record, and that this is the original,  
complete, true and accurate transcript which has been transcribed  
to the best of my skill and ability.



Kali Haney  
Transcriber



3 Bobcat employees  
(umbrella)



EXHIBIT 1  
ROGER BAUMGART



EXHIBIT 2  
RODGER BAUNGER

