UNITED STATES OF AMERICA
NATIONAL TRANSPORTATION SAFETY ROADD
INATIONAL TRANSFORTATION SAFETT DOARD
Investigation of: *
FIRE ABOARD OCEAN *
NAVIGATOR IN PORTLAND, MAINE*Accident No.:DCA24FM004ON OCTOBER 18, 2023*
* * * * * * * * * * * * * * * *
Interview of: VLAD ENE, Captain ALEXANDER GELLGAF, Chief Engineer Ocean Navigator
DIETRICH GILES, Marine Superintendent American Queen Voyages
Aboard the Ocean Navigator
Wednesday
October 25, 2023
FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt & Appap 410-974-0947

## APPEARANCES:

Assistant Chief of Investigations Sector Northern New England United States Coast Guard

BRIAN YOUNG, Marine Investigator National Transportation Safety Board

KRISTYN JESCHELNIK, Marine Investigator National Transportation Safety Board

DAN ROSEN, Marine Surveyor Marine Safety Consultants, Inc.

> FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947



FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

4 1 INTERVIEW 2 (1:15 p.m.) 3 MR. YOUNG: Okay. The recording is on. This is Brian Young aboard the Ocean Navigator. It is 1:15. It is October 25th, 4 2023. My last name is Young, Y-o-u-n-g. We're conducting an 5 6 interview of the captain, the chief engineer, and a company 7 representative aboard the Ocean Navigator. And with us today 8 is --9 MS. JESCHELNIK: Kristyn Jeschelnik, K-r-i-s-t-y-n; 10 Jeschelnik, J-e-s-c-h-e-l-n-i-k. NTSB. 11 Coast Guard MR. Investigations. 12 13 MR. ROSEN: Dan Rosen, R-o-s-e-n, Marine Safety Consultants, insurance investigation. 14 15 MR. GILES: Dietrich Giles, marine superintendent for 16 American Queen Voyages, G-i-l-e-s. 17 MR. ENE: Vlad Ene, V-l-a-d, E-n-e, the captain of Ocean Navigator. 18 19 MR. GELLGAF: Alexander Gellgaf, chief engineer, 20 G-e-l-l-g-a-f. 21 MR. YOUNG: Thank you. Thank you. INTERVIEW OF VLAD ENE, ALEXANDER GELLGAF, AND DIETRICH GILES 22 23 MR. YOUNG: Let's just start, Dietrich, with if you could just give us a history of this vessel, maybe as to when it was 24 25 built and when your company had taken possession of it. Do you FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

	5
1	have any sort of a timeline for that for our understanding?
2	MR. GILES: I do. The vessel was built or the keel was
ן ג	laid in 1999. It was actually put into service in 2004. We
4	took we bought the vessel in 2019, but it was still technically
5	managed by another company that had owned it prior to us. We took
6	over technical management in October of 2020 And so American
7	Over Voyages has managed the ship since that time
, Q	When Cowid game, so we were out for all of 2020 and I guess
0	ment of oll of 121 og well. So we were loid up down in
10	MD ENE. Dont Doubl
11	MR. ENE: FOIL ROYAL.
	MR. GILES: Port Royal in South Carolina, for that period, at
12	a facility where we had a crew on board to maintain the vessel
13	within in class requirements and or we did a sailing season in
14	2022 without incident, and then this season, 2023. So
15	MR. YOUNG: What's a standard sailing season?
16	MR. GILES: From April through the 1st of November, about a
17	6-month period. And the off period in January of '22, this
18	vessel went through a 20-year dry docking, if you will, where we
19	overhauled the Z drives, the propulsion pods, did some engine
20	work, a lot of repairs, painting, windows, just the basic
21	maintenance and just some things that were deferred while we were
22	in the Covid period that were higher dollar. And then in January
23	of 2023, the engines were due three of the engines on this
24	vessel were due for a standard top-end service overhaul, and we
25	did we performed those top-ends. That generator was one of
	FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

	6
1	them.
2	MR. YOUNG: The starboard main generator?
3	MR. GILES: Yeah.
4	MR. YOUNG: Was the other generator done as well?
5	MR. GILES: No. The other one was not done. It's due this
6	year.
7	MR. YOUNG: So the two mains and the starboard generator had
8	top-ends in January?
9	MR. GILES: That's correct.
10	MR. YOUNG: Okay. And this sailing season would've ended
11	after one more cruise after the incident?
12	MR. GILES: The 27th of November was the last day for the
13	sailing season.
14	MR. YOUNG: Of November?
15	MR. GILES: October.
16	MR. YOUNG: October. Wow. And then what would the plans be
17	if this incident hadn't happened after the final
18	MR. GILES: The vessel would have transited to Jacksonville,
19	Florida and laid up until another job. The two vessels are now
20	for sale. We cancelled all of our '24 season for both vessels.
21	The company as a whole is concentrating more on the riverboat
22	service than the ocean service, so
23	MR. YOUNG: Okay. And was that a previous decision or did
24	this incident cause that?
25	MR. GILES: Yeah, it was already in the works.
	FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

1 MR. YOUNG: Okay. Okay. Thank you. That's good. And if we could move on to the captain. Captain, can you 2 3 tell us a little bit about your experience and how much maritime experience you have? 4 5 MR. ENE: Yes, of course. I start my career back in 2010, 6 and since then I was working only on the passenger ships. And I'm 7 with my recruiting company from 2012, and until now with American Queen Voyages, but still my recruiters are the same main company, 8 9 the CMI. Then actually they are recruiting us as an international 10 group for American Queen Voyages. Then, yeah, mostly all my 11 career was with them all these years, growing up, let's say, apprentice or (indiscernible) till what I am now as a captain. 12 13 And I'm captain since, what, October? Yeah, October last year. MR. YOUNG: And were you captain on this ship? 14 15 MR. ENE: Yes. 16 MR. YOUNG: Since October last year? 17 MR. ENE: Yeah. Yeah. MR. YOUNG: And you have sailed as third mate, second mate, 18 chief mate? 19 20 MR. ENE: Everything. 21 MR. YOUNG: Everything on this -- with this company? 22 MR. ENE: With this company, yeah. Yeah. I never change 23 company. I think it's important, when did you come over to 24 MR. GILES: 25 these vessels? FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

	8
1	MR. ENE: To those vessels to this one and to the sister
2	ship, 2000 first time I join, 2015, February 2015. And since
3	then, I miss only 6 months, I was to another ship in Europe with
4	the same company. But after that, always here.
5	MR. YOUNG: So you worked on
6	MR. ENE: On this one or on the other one.
7	MR. YOUNG: So even when the previous company was running
8	these ships, you were working on these ships?
9	MR. ENE: Yeah. Yeah. I was working on as safety officer,
10	chief officer.
11	MR. YOUNG: Okay. Understood.
12	MR. ENE: A couple of years, 7, 8 years with those ships.
13	MR. YOUNG: And do you typically work the entire sailing
14	season straight?
15	MR. ENE: Yeah. Yeah, every year. And also, I'm working a
16	lot in layup period. I or the chief officer are supervisor,
17	however you want to call it. But yeah, a lot of maintenance of
18	the ship, I was here with both ships.
19	MR. YOUNG: Okay. And during a normal day during the sailing
20	season, do you typically work days
21	MR. ENE: Yes.
22	MR. YOUNG: or do you stand a watch
23	MR. ENE: I'm a dayworker.
24	MR. YOUNG: Dayworker?
25	MR. ENE: Yeah, no watch.
	FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

	9
1	MR. YOUNG: Okay.
2	MR. ENE: The watch, I perform due to the season, I
3	perform a couple of watch once we are passing through the rivers.
4	Then I'm sharing the watch with my chief mate and still we have
5	the officers on watch, just for a precaution, double-safety
6	safety. Safety it's not a rule, it's just implemented by us
7	just to be sure that everything is going well.
8	MR. YOUNG: Right. Right.
9	MR. ENE: And, yeah, other than that, all the maneuverings
10	passing through the locks, I'm the one who is doing it. And,
11	yeah, except for that, only normal work like daywork.
12	MR. YOUNG: Okay. And then do your mates do 4 hours on/8
13	hours off watches?
14	MR. ENE: Yes. That's correct.
15	MR. YOUNG: And then what's a standard watch at sea? They
16	have a second and third mate and a lookout on the bridge?
17	MR. ENE: Yes, yes. Always.
18	MR. YOUNG: Always.
19	MR. ENE: Yeah.
20	MR. YOUNG: And on the day of the incident, can you just talk
21	about where you had been coming from or sailing from and
22	MR. ENE: Yeah.
23	MR. YOUNG: where you were coming into?
24	MR. ENE: We are coming from our last port of call was
25	Halifax, Canada, and we departed on the date of 16, arriving here
	FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

on the 18 of October early in the morning, was -- 5 o'clock was the pilot, 6:30 -- I think 6:30 we were alongside on the passenger terminal of Ocean Gate. Tied up the ship, secure, stop the engines, stop the bow thruster, and pilot disembark already. And then, then everything was normal after arrival with the CBP to come to clear us. It was like they were scheduled somewhere, I want to say 1:30 in the morning.

And I was heading down from the bridge going to take my 8 breakfast. I had the breakfast actually, and then I pick up a 9 coffee and I was just sitting on the balcony on deck 3 just having 10 11 the coffee, waiting for the announcement from the gangway to tell me -- to hear when the CBP will show up. And then suddenly I 12 13 heard something, like a boom or some -- not exactly a boom. It was more like a shake of the ship, you know. I said, okay, 14 15 something wrong, you know.

And being on the deck 3 balcony, I was just looking on the outside, you know, and I saw that the smoke come from the funnel. Then I was thinking in that time that that's not a normal smoke. Even they start to do -- I mean, they start an engine to do a maintenance or something or to check something, that's not possible. Once I open the door to get inside, it was already blackout.

Then in the meantime, I was going to the stairs up to the bridge and I called actually from -- by radio, I called the bridge to see what's happening. The officer on watch inform me that we

> FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

have a chain of fire alarms in the engine room. And once I arrive 1 there, he already got the report that the starboard generator get 2 3 a crack, explosion, and it's a fire down there. Then the next step was just to go to our usual emergency, calling the 4 5 alarm. What mean , who is here, in case 6 of fire, damage, or collision. And told them the location. 7 And after that, knowing that already the fire down there, I didn't need another confirmation. Then the second step, the 8 general alarm activate to activate the entire ship crew. 9 10 Then everybody was present. What they normally do, they 11 report to the bridge, to the command center. In the meantime, they evacuate the -- the engine room was empty. They reposition 12 13 their secondary assemble station. And the fire teams getting ready, the stairway guys -- the whole crew. 14 15 Then after that, I inform the Coast Guard by the VHF radio. 16 And after that -- or in the meantime, I call by telephone the 17 agent because I knew he is down there -- he was down there on the pier. And immediately he called for the shore firefighters and 18 ambulance. And I found out in the meantime that we have the 19 20 casualty, the gentleman, the motorman on duty who was next to 21 the -- or close to the generator, and he got burned and he was 22 running by himself to the hospital, the ship hospital. He got 23 there. What I know, that the doctor immediately applied his --24 the first aid to him. 25 And then after everybody report, on-scene commander was on

> FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

1 the scene, area was isolated by the watertight door being closed, 2 the fire screen door being closed on the no-go area as well. 3 No-go area was properly evacuated, nobody around. Then finally we 4 knew that we have only one casualty on that time.

5 And in the meantime, the passengers been mustered to their 6 muster station for the first step, evacuate from their cabins or 7 (indiscernible) wherever they were in that time. And this 8 procedure was done quickly, fast, and they perform pretty well 9 from my point of view. Then everybody was gathering the muster 10 stations.

11 In the meantime, the fire group number 2 was down to the scene. They asked for permission to get inside to the see the 12 situation, if it's still a fire or not. The no-go area was full 13 of fire -- or full of smoke, sorry. Then they got a permission 14 15 from the command center. They passed through the watertight door. They get inside. 16 They check the area. They reported that it's 17 not any fire anymore, the fire in control and actually it's extinguished by itself. And then it's a lot of smoke down there. 18 19 In the same time, I -- after they reported the passenger was gathered to the muster station, it was kind of -- in the same time 20 21 the people -- the firefighter from the shore side arrive. They 22 came on board. In that same time, I give the order to evacuate 23 the passengers to the pier just to be on the, you know, on the 24 safe look in case of something were happening again down there. Being so -- such a lot of smoke, you don't know, maybe the fire 25

> FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

1 was ignite or not, never know.

Then we succeed to evacuate the passengers, all of them on the pier. And the next step, I evacuate all crew members on the pier, except myself, chief mate, chief engineer, the fire teams, and the on-scene commander. Plus we have on on board two -- I think that they were two fire squads from the shore.

7 Then fire squad from the shore, one of them together with one 8 of my fire teams, going through all the cabins to double check one 9 more time for somebody, in case just -- but in the gangway and the 10 guys which evacuate the people, they already report that everybody 11 is evacuated. But for a double checking, they just go all around 12 the ship to have a closer look again.

And the other team, fire squad from the shore, with my team, which they were on the scene, they double check as well the engine room and they confirm that the fire it is extinguished, it's only smoke inside. It's just don't forget when the blackout, I come back when the blackout occur, the emergency generator just start automatically directing the fire dampers was closed, fire screen doors and, as I said, the area was isolated.

And then they decide, the firemen from the shore, they said that -- they were asking me if the -- they were asking if there's any possibility to start to ventilate the area. Then what we did, according how our engine room is builded, we have the two bunker stations which they are going through engine room. Then we open the doors, the outside doors, to flow the air and to try to get

> FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

away with the smoke down there. In the meantime, the chief 1 engineer, he start -- he try to start the pumps. In that time, he 2 3 didn't succeed, only after a while. But being with the door open, in, let's say, 1 hour, 1 hour and a half, or whatever, all the 4 5 smoke was out. We keep that door for the whole ship open. Ι mean, also the step tower doors to the balcony or gangways, they 6 7 were open, totally open just to provide as much flow, you know, of the air to pass through. 8

9 And, yeah, I think also the Coast Guard arrive in the 10 meantime, the QI arrive in the meantime. After the smoke was out, 11 we got all the passenger in the terminal, we got the crew in the 12 terminal. All the crew finally, together with me, we are out with 13 the -- also with the guys from the firefighters from the shore, 14 just waiting a little bit for the ship to -- the smoke of the ship 15 to get out and to leave and to clear the smoke.

16 Then I don't remember exactly the time, I have the note, but 17 I do believe it was like 10:30 or 11 when the ship was considered safe again. Then, in that time I was with Mr. 18 here. We 19 came back on board. We check again -- I was down there again, we checking there. We checked the area. Everything looks safe, no 20 sign of smoke, no sign of fire. Everything was, let's say, back 21 to normal. 22

And after discussing with the U.S. Coast Guard, they allowed us to let the passenger by groups to get on board guided by our crew members to pick up their luggage, pack their luggage, pick

> FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

up, and go back to the terminal. Then it was like 15 or 20 by 1 group back and forth, back and forth. Everything, all the process 2 3 perform like fine, safely, no casualty, no injured person, no -like was like on the line, you know. Everything was step by step 4 but perform it well. And except the casualty, no more trauma, was 5 6 only -- other than that, that was pretty much the whole story. 7 MR. YOUNG: That's very good memory of the whole story. That's great. That's great. It's a lot to remember. 8 9 Can you remember, and I'm sure you have it written down, how many passengers you had on board? 10 11 MR. ENE: Yes. We had in that time 128, 1-2-8, passengers and 82 crew on board, 8-2, the crew members who were on the boat. 12 13 MR. YOUNG: And when the passengers originally came aboard, had you done any sort of drills with the passengers? 14 15 MR. ENE: Yes. Well, every embarkation we do -- before 16 departure we do a safety drill with the passengers. We -- on the 17 safety drill what we really do, we got everybody from their cabin to their muster station to be familiar in case of an emergency 18 19 where they supposed to go when they hear the general alarm. And we demonstrate them how to wear a life jacket. And then we guide 20 21 them to their abandon ship stations, which are the lifeboats on 22 deck 4, port and starboard. Having two muster station, muster 23 station A, which is exactly here in the conference lounge, the are 24 the largest one, and the muster station B, which is on deck 4 up we call the grill, over there. 25

> FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

ľ	16
1	MR YOUNG. And is that where you on the day of the
2	incident the passengers mustered at A and B
2	MD ENE: Vec Correct Correct
2	MR. ENE: 165. Collect. Collect.
4	MR. YOUNG: muster stations?
5	MR. ENE: YES. EXACTLY.
6	MR. YOUNG: And then it's typical to train to do an
7	evacuation to go to the lifeboats, but have you ever done some
8	sort of drill or exercise where you've
9	MR. ENE: For my crew member, yes.
10	MR. YOUNG: evacuated the passengers?
11	MR. ENE: Yes, on the pier. Yeah. We did that you know,
12	being in layup, we do a little drill. We keep up with our
13	maintenance, but we keep with out safety training. And being
14	there always on the pier, we do the drills and we really do
15	they have operation on the pier, not only with the lifeboats or
16	life raft. Then the good thing was that even with this
17	experience, being on layup was helpful for everybody because the
18	crew, they were like just they have implemented, let's say, in
19	mind. It was like something normal for them. It was not
20	something new. Okay, maybe something new for some of hotel crew
21	members, but few of them, and of course a real emergency was for
22	all of us, you know. But as I said, everybody perform very good
23	their duties without any kind of panic or shock or nothing. No
24	screamings around, no it was like just a normal it was like
25	a drill.

FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

1 MR. YOUNG: And that's one of my questions. Do you feel that 2 your drills helped you --3 MR. ENE: A lot. MR. YOUNG: -- coordinate the evacuation? 4 5 MR. ENE: A lot. Once -- what I observed during my, even my 6 career, and I been a lot of time safety officer, once you consist 7 with your training and drills, maybe not all the personnel of the ship they like it because I understand sometimes you have to work 8 and to have safety trainings, but in the end, everybody realize 9 10 that everything what we did till that moment was helpful for 11 everybody. MR. YOUNG: Right. 12 13 MR. ENE: And the circumstances show this thing, you know. MR. GILES: One thing that we have, too, just to add to that, 14 15 not only do we drill to get passengers off the gangway -- we know 16 there's only one gangway, so we drill to get them off the 17 lifeboats and the rafts waterside, should that be compromised, so --18 19 MR. YOUNG: And are all these drills part of a safety 20 management system? Is that some sort of a --21 MR. ENE: Yes. 22 MR. YOUNG: -- package that -- do you have that here? 23 MR. GILES: I don't know if the gangway drills are. We --24 MR. ENE: No, the gangway drills actually no. 25 MR. GILES: That's just something that we started doing in FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

1 layup and --

2

3

4

		37 1-
MK.	ENE:	iean.

MR. GILES: -- it just kind of took.

MR. ENE: Yeah.

5 MR. GILES: Right. It's something we should put it in there. 6 MR. ENE: Yeah. Because actually this -- exactly, as I 7 started to say, this -- and I said this was -- those drills, special drills that they would special have operation on the pier 8 was only on the layup. And also on the layup, there being not 9 full crew on board, we have this temporary muster list. And on 10 11 that temporary muster list we add even like a note, remember, like first primary evacuation on the pier. If that's not working, 12 13 we'll go for the lifeboat, depends on the size of the ship. And if suddenly we cannot lower the lifeboat, we go for the life raft, 14 15 depend on which side of the ship. Then we have three ways for 16 evacuation in case of emergency on board. 17 MR. YOUNG: And I know you drill when you have new passengers come on, but is the drilling part of a requirement for your safety 18 19 management system? 20 MR. ENE: The passengers are ready, yes. Yes. 21 MR. YOUNG: Do you have a safety management system for the 22 ship?

23 MR. ENE: Each passenger embarkation, the drill should not be 24 postponed more than 24 hours after the embarkation. That way 25 we -- immediately when they embark on the port, after half hour,

> FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

	1
1	until they, you know, set up in their rooms, feel comfortable,
2	then we proceed with the drill before we depart the port.
3	MR. YOUNG: Excellent.
4	MR. ENE: And make, I mean, for we always do that. I
5	don't think I did it anytime after the departure because I saw
6	everybody is more focused, everybody I mean, they don't care
7	what is outside. They don't care if the ship is sailing or not.
8	They know the ship is at port and they concentrate on the drill
9	also. And for us, it's work was working perfect for them. I
10	see them happy.
11	MR. YOUNG: And where did this voyage start for these
12	passengers?
13	MR. ENE: Montreal.
14	MR. YOUNG: Montreal?
15	MR. ENE: Yes. Montreal, 10 October.
16	MR. YOUNG: And at the time of the incident was the bridge
17	still attended or was it
18	MR. ENE: Yes.
19	MR. YOUNG: It is?
20	MR. ENE: Yeah.
21	MR. YOUNG: Even though you're alongside, you had people on
22	the bridge?
23	MR. ENE: Yeah. Always.
24	MR. YOUNG: Even in port you have people on the bridge?
25	MR. ENE: Even in port, yes.
	FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

	2
1	MR. YOUNG: And would there be a mate and a
2	MR. ENE: (Indiscernible) mate.
3	MR. YOUNG: One mate?
4	MR. ENE: One mate in the port alongside. Just the mate
5	that's supervising the bridge 24 hours.
6	MR. YOUNG: And then that mate would receive any alarms
7	which, it sounds like the fire detection system
8	MR. ENE: That's correct.
9	MR. YOUNG: And does the general alarm automatically signal
10	or does it have to be manually
11	MR. ENE: If nobody will attend the fire alarm over to me,
12	then the general alarm will start sounding by itself. Being the
13	mate over there, he already attend the alarms, mute them, and
14	inform us call to the engine to see what the call the fire
15	button to, in the same time, to send him to check the alarm
16	actually because nobody know if it's a fire or maybe could be a
17	false alarm or, you know
18	MR. YOUNG: Right.
19	MR. ENE: But in that time of the incident, he call me
20	directly on the radio, he called the engineer down there by
21	telephone, and also the chief mate was around and he call the
22	bridge that he heard like an explosion down there and he see a
23	lot of smoke. Then, yeah, that why actually the general alarm
24	didn't start until I start it from the bridge because everything
25	was attended before that to me.
	FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

	21
1	MR. YOUNG: Okay. So you manually sounded the general alarm?
2	MR. ENE: Yes. Yes.
3	MR. YOUNG: And you did that prior to the automatic 2-minute
4	start?
5	MR. ENE: Oh, yes. Yeah.
6	MR. YOUNG: Would you say the communication between you and
7	your crew was effective?
8	MR. ENE: Yes.
9	MR. YOUNG: You were able to communicate with the engine room
10	and your safety officer and
11	MR. ENE: Right.
12	MR. YOUNG: and you mentioned an incident commander?
13	MR. ENE: On-scene commander we call it there.
14	MR. YOUNG: On-scene commander.
15	MR. ENE: It's actually the safety officer of the ship. He
16	have this emergency duty. He is on-scene commander, that mean he
17	will be on the scene outside of no-go area and he will meet the
18	fire teams once they are ready and he will explain briefly the
19	situation.
20	MR. YOUNG: Okay.
21	MR. ENE: And in the meantime he prepare the fire hose to be
22	ready for the fire team once they arrive so don't lose the time.
23	MR. YOUNG: Okay.
24	MR. ENE: That's and also he's, after that, he's keeping
25	the communication with the fire teams and he's reporting to the
	FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

	22
1	command center just to avoid miscommunication passing through and
2	also to make, let's say, more effective the fire teams on their
3	performance of whatever incident is down there. Then just
4	communicate closing closing, the communication, and the on-
5	scene commander is the one which give every reports to the command
6	center.
7	MR. YOUNG: And is the command center on the bridge?
8	MR. ENE: Yes.
9	MR. YOUNG: Okay. And that's a separate bank of computers on
10	the aft bulkhead?
11	MR. ENE: Pardon?
12	MR. YOUNG: I know there are some computers that have a fire
13	protection system on the aft bulkhead.
14	MR. ENE: Yeah.
15	MR. YOUNG: Is that considered the
16	MR. ENE: Yes, yes.
17	MR. YOUNG: incident command?
18	MR. ENE: We call it it's the bridge, but we call it the
19	command center for the emergency.
20	MR. YOUNG: Okay. Okay. As you are maneuvering in to
21	Portland, Maine, you were you running both main engines for
22	propulsion?
23	MR. ENE: Yes.
24	MR. YOUNG: And then how does the bow thruster get powered?
25	MR. ENE: The bow thruster is separate. Then before entrance
	FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

	23
1	to the narrow channel, entrance to the river, entrance to the
2	port, we start the bow thruster a half hour prior.
3	MR. YOUNG: Okay. And does that have its own engine or is it
4	electric
5	MR. GELLGAF: Only electrical.
6	MR. ENE: It's electric engine powered.
7	MR. YOUNG: So do you have to start two diesel generators?
8	MR. GELLGAF: We have to start two diesel and we power up the
9	bow thruster.
10	MR. YOUNG: Okay. And then on your entrance in was there any
11	excessive use of power that may have
12	MR. ENE: No.
13	MR. YOUNG: increased the electrical load on the ship?
14	MR. ENE: No.
15	MR. YOUNG: Okay. And while you are maneuvering you have two
16	main engines that have shafts coming out and what do they what
17	do you use for propulsion on the ship? Do you have Azipod?
18	MR. ENE: Azipods, yeah. Yeah.
19	MR. YOUNG: So two Azipods?
20	MR. ENE: Two Azipods and one bow thruster.
21	MR. YOUNG: And one bow thruster?
22	MR. ENE: Yeah.
23	MR. YOUNG: At the and this is more for my report, but at
24	the time of the incident do you know what the draft was of this
25	vessel?
	FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

24 MR. ENE: Yeah, 4.2 meters. 1 2 MR. YOUNG: 4.2. 3 MR. ENE: 4.2 or 4.3. I have it noted. MR. YOUNG: Okay. 4 5 MR. ENE: But this is -- this was 4.2 or 4.3. 6 MR. YOUNG: Okay. And as you are maneuvering in was there 7 any excessive current or wind or anything notable with the 8 weather? 9 MR. ENE: In that day, no. No, the weather condition were 10 pretty good. 11 MR. YOUNG: Okay. Since you have two Azimuth and thrusters, do you have a rudder or no? 12 MR. ENE: No. 13 MR. YOUNG: No steering other than your --14 15 MR. ENE: Yeah. 16 MR. YOUNG: Okay. And I know you said the mate on watch had 17 heard some fire detection and also -- do you have anything else other than smoke and fire detectors down there? Do you have flame 18 sensors? 19 MR. ENE: Flame detectors, smoke detectors, manual call 20 21 points and --MR. YOUNG: Manual call points as well? 22 23 MR. ENE: Yeah. 24 MR. YOUNG: And was -- were both flame and smoke detectors 25 activated down below? FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

	25
1	MR. ENE: Yes.
2	MR. YOUNG: Okay. Several?
3	MR. ENE: Several, yeah. Like six or eight, something.
4	MR. YOUNG: Okay. So I had some questions about how your
5	department responded and you did the general alarm. You used the
6	VHF to call
7	MR. ENE: The Coast Guard.
8	MR. YOUNG: the Coast Guard. You used your phone to call
9	the agent. The agent called the fire department.
10	MR. ENE: And the ambulance. Yeah, he call actually the 911
11	before me. Because I was in the same time with the Coast Guard on
12	the VHF, and the same time I talk to agent, if you can call 911,
13	just do it or I will do it after 1 minute after I talk because
14	with the Coast Guard I report our position, you know, the whole
15	steps. I cannot I couldn't tell them I'm in Portland, layup
16	MR. YOUNG: Right.
17	MR. ENE: Of course they and then he just say, don't
18	worry, I just called the 911. I said, okay, perfect.
19	MR. YOUNG: Right. That's great. And all these steps, it
20	seems like it's very you took the steps. Was that some sort of
21	a obviously training or
22	MR. ENE: Yes.
23	MR. YOUNG: drills that you have done to understand all
24	these?
25	MR. ENE: Yes. Yes. Because actually our procedure on the
	FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

drill, on case of the -- of course, on the emergency, you can 1 change some things in the meantime. But the procedure is very, 2 3 very clear. Once you have an alarm on the bridge, you (indiscernible) that alarm, you check it, you send the fire 4 department to check that specific area and then he report. If 5 6 it's a fire, the fire patrol evacuate and close the area. Or if 7 somebody else report directly -- let's say we have a fire in the galley and some cooks are there, they report the fire and they are 8 already trained to evacuate and isolate the area and wait outside 9 of the affected area for the on-scene commander/safety officer to 10 11 come and to take over. Then once those things are reported to the bridge, it's myself or chief officer or the officer on duty take 12 13 on the PA microphone and make the -- give the alarm, the three times plus the location plus the 14 15 incident, it's a fire, a collision, or damage. 16 MR. YOUNG: And that's your code to talk to the crew, right? 17 MR. ENE: That's our code to, exactly, to talk with the crew because the passengers they are not involved in that. Once we 18 19 discover that the fire -- and in this are just such things to be activated, like fire teams, like engine control team, 20 bridge team, stairway guides, and for safety, search and rescue, 21 22 and that's more or less -- boat preparation. Then the rest of 23 them, they just are aware that something happen, because everybody 24 as a crew member know what means. But they just to 25 don't create panic between the passengers, maybe it's a small fire FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

and everything will be finalized in 5 minutes, then no necessary
 to create a lot of panic on board.

MR. YOUNG: Right.

3

MR. ENE: Okay. And then, after the teams are ready, they 4 report to the bridge. They are -- first of all, they report it's 5 6 like a radio check with the command. Second, they report present 7 and -- or missing persons from their teams. Then once they are ready, fire groups are dressed, wearing the mask, the suit or the 8 whole gear, they report -- they report readiness to the bridge and 9 10 the bridge coordinate them where to proceed to the on-scene 11 commander, the safety officer. Once they arrive next to him, they will be split. Fire group 1 will go perform boundary cooling or 12 (indiscernible) and the fire group 2 to go do -- they will be the 13 attacking team. 14

15 Once those teams -- in the meantime, the engine control room, 16 they -- depends of the area, they will cut off electricity, shut 17 down ventilation, and -- sorry. And after that, once everything is done, the fire teams getting inside, whatever is the fire team 18 19 get the permission to go inside of the affected area. They report 20 back to on-scene commander what is inside, if there are casualty or not, that's the first thing what they are doing. They report, 21 22 depend of the area, if the sprinkler system is activate or not. 23 They report again electricity, if it's cut off on shore or not, the ventilation if it's shut down or not. Then they, if it's a 24 25 fire, they start to attack it, depend of the -- they report also

> FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

1 the class of fire first. And depend on the class of fire, they 2 wills start attacking the fire. Then if they succeed to 3 extinguish the fire, they will say, okay, the fire is coming under 4 control and, in the end, the fire is extinguished. 5 In the meantime, if necessary, the other fire team will start

6 boundary cooling or not, again, depending of the fire. Then if 7 the fire is out of control, then that's the time when we sound the general alarm because they realize, okay, the fire is getting 8 bigger and bigger, okay, let's sound the general alarm. The other 9 10 emergency teams will be activated like muster station teams, 11 evacuation teams. It's a central group for the reception desk, you know. And then they will guide the passengers -- the 12 passengers will have heard the general alarm as well. They will 13 be guided to their muster stations, A and B, as I said. 14

15 And the emergency teams -- emergency evacuation teams, they 16 are going to each cabin to be sure that everybody's evacuated and 17 to their muster station. The muster station report to the bridge the number of the passengers or the missing ones. In case 18 19 somebody's missing, we have cabin 1-1-1 missing. It depends of 20 the area, where is located the fire. We have either -- we send 21 the search and rescue team if the area is a no-go area. Or if 22 it's, let's say, like a normal safe area, the emergency teams --23 emergency evacuation team, which are there double check that cabin 24 to see if the persons are inside or not.

25

Then once everything is done and everybody is on their muster

FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

	29
1	
T	stations, then now depends. While we are underway, of course
2	everybody will be guided to their lifeboats. After that, the
3	guests and all the crew which are not assigned to the lifeboats to
4	have duty on the lifeboats, they are coming on the life raft
5	station. And yeah, that's the whole
6	MR. GILES: Elaborate on the shoreside communication element.
7	I think, there's a little bit more that you could add to that.
8	MR. ENE: Oh, yeah. Call my superintendent, call my DPA what
9	was
10	MR. GILES: Back to the Coast Guard to notify local
11	authority, then he calls me
12	MR. ENE: Yeah.
13	MR. GILES: or the DPA, and then we call the QI. I called
14	SMS Resolve to get them going and whether we need them or not,
15	let's get everybody rolling.
16	MR. YOUNG: Right.
17	MR. GILES: And then I let our corporate crisis team know
18	what's going on, and then we immediately start having crisis
19	meetings. We'll have an initial meeting and then there's every
20	30 minutes there's another meeting. So and in that, I'm the
21	communication link, myself or the DPA, depending who's available.
22	We were actually both on planes
23	MR. YOUNG: That's right.
24	MR. GILES: getting planes. We were tag teaming him that
25	morning. But we'll be the direct link and then update the crisis
	FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

	30
1	team. And then they're, you know, doing what they need to as far
2	as what we do with the guests, who do we interface with, do we
3	need to get hotel rooms, buses, blah, blah, blah. So
4	MR. YOUNG: And that is a lot of information. Do you have a
5	checklist that would help you remember all this stuff or some sort
6	of a guide that would help you?
7	MR. ENE: I do have a checklist, but in that time the only
8	checklist which we recorded was exactly what was happening on
9	board with the fire, passengers, and casualty, all of these
10	things. The phone calls, I didn't record them, but I have them on
11	my telephone.
12	MR. YOUNG: Right. Right.
13	MR. ENE: You know?
14	MR. YOUNG: Right.
15	MR. ENE: I have a guidance of who I need to call and
16	(indiscernible), but the timing being up and down, there and
17	there, we have to be sure that everything is under control and
18	everything was going smooth and fine. I was on the telephone and
19	with Mr. Dietrich and with our DPA as well. And all the time
20	MR. GILES: Our system is set up to where his hands are full,
21	notify local authority, notify the Coast Guard, or vice a versa,
22	depending on where he's at. And then let us know, and then we
23	take care of all the heavy lifting because he can't be calling the
24	QI or anything like that, so
25	MR. YOUNG: Right.
	FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

	31
1	MR. ENE: Yeah.
2	MR. GILES: And response center or whatever.
3	MR. YOUNG: I guess what I'm getting at with this, too, is do
4	you have a safety management system that gives you guidance when
5	there's a fire?
6	MR. ENE: Yeah.
7	MR. YOUNG: What you need to do for abandon ship, is that
8	that's what I was asking.
9	MR. GILES: We do. We have an emergency response booklet
10	that details different crises and what to do.
11	MR. YOUNG: It spells out what to do. Okay.
12	MR. GILES: Open it up and
13	MR. YOUNG: And is that a booklet or a sheet that's on the
14	bridge that you can access?
15	MR. ENE: Yes.
16	MR. YOUNG: Okay. Great. I know I'm trying to just
17	remember some of things you said. But did you say there was a
18	sprinkler system in the engine room or no?
19	MR. ENE: No. No, no, no.
20	MR. YOUNG: Okay. Okay.
21	MR. ENE: No, no, no.
22	MR. YOUNG: When the emergency teams are assembling was at
23	any time any water applied or boundary cooling?
24	MR. ENE: No.
25	MR. YOUNG: It wasn't necessary, right?
	FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

1 MR. ENE: It wasn't necessary. MR. YOUNG: And did any of your crew go on air to go in? 2 3 MR. ENE: Yes, all of them. I mean, whoever was going in, all of them was on air. 4 5 MR. YOUNG: Okay. And then you had a backup team? 6 MR. ENE: Yes. And we have backup -- we have their oxygen 7 mask as well. 8 MR. YOUNG: Okay. And then was there ever a discussion to 9 prepare or be prepared to release CO2 in the engine room? 10 MR. ENE: Yes. The engine control room, they are secondary 11 assemble station, it's by the CO2 room. MR. YOUNG: Okay. 12 13 MR. ENE: Then will prepare anytime, if I will give the order, to release the CO2. 14 15 MR. YOUNG: Okay. But it didn't get to that point --16 MR. ENE: No. 17 MR. YOUNG: -- and you never released it, right? 18 MR. ENE: Correct. 19 MR. YOUNG: Did you -- from the bridge, did you take any 20 isolation procedures down such as starting a fire pump? 21 MR. ENE: No. I didn't start any fire pump because our main 22 fire pump is in automatic position. I mean, once we start the 23 hydrant, then the hose -- the fire pump will start automatically. 24 MR. YOUNG: Okay. And no one opened any hydrants so there 25 was no need to start it? FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902

Balt. & Annap. 410-974-0947

33 1 MR. ENE: Correct. MR. YOUNG: Okav. 2 3 MR. ENE: And in case of that one will not start, then I have the emergency fire pump which I can start it from the bridge. 4 5 MR. YOUNG: Okav. Interesting. 6 MR. GILES: And the fire pumps constantly charge. 7 MR. ENE: Yeah. 8 The fire system is always charged, so --MR. GILES: 9 MR. YOUNG: How is that being charged? 10 MR. ENE: It's under pressure all the time. 11 MR. GELLGAF: Under pressure all the time. MR. GILES: Yeah, the pump, when it -- if it leaks down, the 12 13 pump will come on and pump it back out. MR. YOUNG: So as soon as you open up a nozzle, it's on? 14 15 MR. GELLGAF: It's on, yeah. 16 MR. YOUNG: Okay. How about ventilation? Had that been 17 secured, the engine room ventilation? 18 MR. ENE: Due to the blackout, I think already all the 19 dampers been closed. MR. GELLGAF: The damper been closed and the guys should 20 21 check and (indiscernible) -- if there's some leak from one 22 (indiscernible), the dampers are tightened. 23 MR. YOUNG: Okay. So electrically, when you lose electrical 24 power, the fans electrically stop. Are the dampers held open 25 electrically as well? FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

	34
1	MR. GELLGAF: No. No, they are opened electrically, but
2	they're closed by springs.
3	MR. YOUNG: Springs.
4	MR. GELLGAF: When we lose the power, they're closing by
5	springs.
6	MR. YOUNG: Okay.
7	MR. GILES: They only close.
8	MR. YOUNG: Okay. And watertight doors, are they typically
9	closed underway?
10	MR. ENE: Yes. Always underway they are closed.
11	MR. YOUNG: Okay. And fire screen doors?
12	MR. ENE: Fire screen doors, you can close them manually or
13	you can locally or you can close them from the bridge by
14	automatic.
15	MR. YOUNG: And did that happen on the day of the fire? Were
16	they closed as well?
17	MR. ENE: The fire screen doors, because of the affected area
18	was in the main engine room, we have only the watertight doors
19	over there, which they were closed. The fire doors were closed
20	manually locally because they were in no-go area and they were
21	just closing that day.
22	MR. YOUNG: Okay.
23	MR. GILES: I'd like to add that the fire screen doors are
24	really a judgment call because it impedes evacuation
25	MR. YOUNG: Got it.
	FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

35 MR. GILES: -- as well because all the doors close. 1 Oh, throughout the entire vessel? 2 MR. YOUNG: 3 MR. GILES: Yes. MR. YOUNG: Okay. 4 5 MR. GILES: If you hit the button in the bridge, they all 6 close. So --7 MR. YOUNG: Got it. So it sounds like by closing the watertight doors, which are closed already, and the dampers, the 8 9 engine room is completely isolated. 10 MR. ENE: Isolated, yeah. 11 MR. YOUNG: Okay. 12 When they made entry into the engine room, they MR. GILES: did it through a watertight door, but they isolated the fire doors 13 behind them so they created a no-go boundary. 14 So should 15 things -- the smoke come in, which it did, it wouldn't go anywhere 16 else, you know, so --17 MR. YOUNG: Right. And I know you've talked a lot about evacuation drills with the passengers. Do you -- can you talk 18 19 about some of the firefighting drill you do with your crew? Do 20 you do frequent firefighting drills? 21 MR. ENE: Weekly. 22 MR. YOUNG: Weekly? Fire and emergency drills. 23 MR. ENE: 24 MR. YOUNG: Okay. And have you ever done an engine room fire 25 drill? FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

36 1 MR. ENE: Yes. Like maybe two times a month in the engine, 2 in the engine room. 3 MR. YOUNG: And do people get suited up and charge hoses and everything, that kind of a drill where you have a scenario? 4 5 MR. ENE: I have a scenario, I did it, but it's not a weekly 6 to charge these hoses. 7 MR. YOUNG: Okav. 8 MR. ENE: Yeah. 9 MR. YOUNG: Good. I don't have any more questions for you, 10 Captain. You answered most of my questions by one giant answer, 11 so I appreciate it. MR. ENE: Yeah. Thank you. 12 13 MR. My only question -- this is Coast Guard. Who is the sister ship to this vessel? 14 15 MR. GILES: Ocean Voyager. 16 Is she the same configuration? MR. 17 MR. GILES: Yes. 18 Okay. Have you guys talked to them about this MR. 19 and are they doing anything to kind of look at that generator on 20 board that vessel to make sure -- I mean, are they on the same 21 schedule as far as maintenance or are they totally different? 22 MR. GILES: They're a little bit different, but we've 23 notified them of it. The nature of this is not something that you can really look at and say, oh, there's a problem --24 25 Yeah. MR. FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947
37 1 MR. GILES: -- without tearing into it. 2 MR. Okay. 3 MR. GILES: What happened here, whether it was a piston failure or a head failure or a rod -- a bearing failure, is 4 5 something you could only know by opening up the engine and really 6 looking at it. So --7 MR. Okay. I was just wondering if this engine had more hours on it than the other vessel or if it's -- or if they 8 9 have --MR. GILES: It had less. 10 This had less than -- okay. So, for the record, 11 MR. the Ocean Voyager has more hours on its generator than the 12 13 Ocean -- than this one. MR. GILES: Since it -- since they had the in-frame overhaul, 14 15 yes. 16 Okay. Yeah. All right. That's all the MR. 17 questions I had. MR. YOUNG: Do you have any? 18 19 MR. ROSEN: Yeah. I just had a general question about --20 you said that you put on another generator when you came into port. Was the starboard generator -- which one did you put on? 21 22 Did you put on the port or the starboard? 23 MR. ENE: When we came to port we used both generators. 24 MR. ROSEN: Right. Were you running one coming -- when you 25 were out in blue water were you running on one generator? FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

38 1 MR. ENE: Yes. Out in -- yeah, at sea we run one. 2 MR. ROSEN: Okay. So which one did you turn on coming into 3 Portland? Do you remember? Do you recall? MR. ENE: Yeah, the 2, the number 2. 4 5 MR. ROSEN: The number 2? 6 MR. ENE: Usually run number 2. 7 MR. ROSEN: Okav. That's -- number 2 is the starboard? 8 MR. YOUNG: 9 MR. ENE: Yes, starboard side. 10 MR. YOUNG: We can shift our gears to the chief and ask some 11 engineering questions now, if you're prepared. Or if you need a 12 break or some water or --13 MR. ENE: No, no, no. 14 MR. YOUNG: Okay. UNIDENTIFIED SPEAKER: Do you guys need some water or 15 16 something? 17 UNIDENTIFIED SPEAKER: I'm okay. MR. GELLGAF: Okay, I (indiscernible). 18 19 MR. YOUNG: So this is Brian Young with the NTSB again, speaking with the chief. Chief, can you talk to us about how many 20 21 years you have been sailing as a chief engineer? 22 MR. GELLGAF: I started as work as engineer in 1992 and as 23 chief engineer 2004, 2006, I don't remember exactly. And this is -- I see my ISP, ISPC my report, and since 2010. 24 25 MR. YOUNG: 2010? FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

39 MR. GELLGAF: Yeah. 1 2 MR. YOUNG: And how long have you been working on these 3 vessels? MR. GELLGAF: On this vessels I came in 2019. 4 5 MR. YOUNG: 2019? 6 MR. GELLGAF: Yeah. 7 MR. YOUNG: Okay. And with your engine crew on this ship do you have manned watches in the engine room or do you go unmanned? 8 9 MR. GELLGAF: We have manned watches, one duty engineer and one motorman. 10 11 MR. YOUNG: And they're on watch all the time you're on board? 12 13 MR. GELLGAF: They're all the time on watch, yeah, 24 hours. MR. YOUNG: Okay. And do they do 4 hour watch, 8 --14 15 MR. GELLGAF: Four, that's usually the standard. Four hour 16 watch is --17 MR. YOUNG: And when you're maneuvering --MR. GELLGAF: When -- I am up -- me and chief electrician, we 18 19 are always in engine room for maneuvering. MR. YOUNG: In the control --20 21 MR. GELLGAF: And control room for maneuvering and also for 22 the locks for rivers. 23 MR. YOUNG: Right. Okay. And when your crews do a 24 changeover of watch, say, at the 8 o'clock or the noon, do they do 25 a checklist? FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

	40
1	MR. GELLGAF: They complete (indiscernible) checklist. And
2	my (indiscernible) engine logbook.
3	MR. YOUNG: In the logbook, too. Okay. And I think we had
4	talked a little bit about as you are at sea typically you'll run
5	two main engines?
6	MR. GELLGAF: We're at sea, yes, typically we run two main
7	engine and one DG.
8	MR. YOUNG: One DG. And what's your and this might be
9	more for the captain, but what's your normal cruising speed?
10	MR. ENE: Ten knots.
11	MR. YOUNG: Ten knots? And what kind of an engine load does
12	that have for the mains?
13	MR. GELLGAF: For the mains, the main engine has around 65
14	percent 65, 70 percent of load. It depends (indiscernible)
15	MR. YOUNG: And when you're at sea at 10 knots and you have a
16	hotel load of crew and passengers, is it okay to run one
17	generator?
18	MR. GELLGAF: Yes. It's more than enough. The generator is
19	designed for 1 mega and our maximum load is 400, 450 kilowatts;
20	600 in summertime when AC line is full power.
21	MR. YOUNG: Okay. And the two mains and the two auxiliaries,
22	are they all the same 35/16 engines?
23	MR. GELLGAF: 35/16 engines, exactly same.
24	MR. YOUNG: Right. And the generators run at constant speed?
25	MR. GELLGAF: Generator run at constant speed and main engine
	FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

1 variable speeds.

2	MR. YOUNG: Variable speed, yeah. And did you have any
3	excessive load on the way into Portland before the incident with
4	the generator?
5	MR. GELLGAF: No.
6	MR. YOUNG: No?
7	MR. GELLGAF: No, just everything as usual, the bow
8	thruster and
9	MR. YOUNG: Okay. And then when you do run the bow thruster
10	for maneuvering, you do start a second engine typically?
11	MR. GELLGAF: Yeah. Also we do we can start only with
12	two start bow thruster with two DG online.
13	MR. YOUNG: Okay. And then after you arrive in port, the bow
14	thruster shuts down and you can shut down the main engines and go
15	to one
16	MR. GELLGAF: When we arrive in port, yeah, we shut down main
17	engines. Usually we have to, we shut down bow thruster, main
18	engine. After, shut down one DG.
19	MR. YOUNG: One DG. And then for a hotel load sitting in
20	port one DG is okay?
21	MR. GELLGAF: One is okay because we have in port 400
22	kilowatts.
23	MR. YOUNG: So about 400 kilowatts is a normal load?
24	MR. GELLGAF: Yes. It's every, every (indiscernible)
25	MR. YOUNG: And about what percent is that? Maybe
	FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

42 1 MR. GELLGAF: It's 40 percent. 2 MR. YOUNG: Forty percent load on the engine? 3 MR. GELLGAF: Forty percent load. MR. YOUNG: And was that about the load at the time of the 4 5 incident? 6 MR. GELLGAF: Yes. 7 MR. YOUNG: Nothing excessive? 8 MR. GELLGAF: Nothing excessive, no. 9 MR. YOUNG: Do the DGs put out 450 volt? Are they 450 volt generators or how high? 10 11 MR. GELLGAF: 480. MR. YOUNG: 480? 12 13 MR. GELLGAF: Yeah. MR. YOUNG: And then the morning after arriving and singling 14 15 up on the one DG, were there any alarms leading up to the 16 incident? 17 MR. GELLGAF: In the morning we have during maneuvering, we have high -- we seen an alarm because we have exhaust gets alarm 18 on starboard side DG. 19 20 MR. YOUNG: Starboard DG? 21 MR. GELLGAF: Oh, sorry, not starboard. Port side DG. 22 MR. YOUNG: Port side DG. 23 MR. GELLGAF: On port side DG. When we finish with the 24 engine at 6:30, after that I inspect both generator myself just to 25 see what it is and to compare parameters between DG generator. Ι FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

	43
1	couldn't see any abnormality. The temperature on exhaust gas.
2	ves, on the port side exhaust gas was higher than the ones on
3	starboard side.
4	MR. YOUNG: So the port generator had a high exhaust
5	temperature?
6	MR. GELLGAF: (Indiscernible), veah, one cylinder.
7	MR. YOUNG: On one cylinder?
8	MR GELLGAF. One cylinder was low, another one was high
9	After we do. I decide to stop the port side DG and start to
10	investigate what is the reason.
11	MR. YOUNG: Okay. But no problems on the starboard
12	generator?
13	MR. GELLGAF: Was on the starboard was starboard was at a
14	normal. The DG parameters were here and compare it with this port
15	side.
16	MR. YOUNG: Okay.
17	MR. GELLGAF: All exhaust was around 300, 320 degrees.
18	MR. YOUNG: Is that normal?
19	MR. GELLGAF: It's normal.
20	MR. YOUNG: Do you know what the normal bearing temperatures
21	are underway for a generator running?
22	MR. GELLGAF: Well, generator running the temperature should
23	be around 186 Fahrenheit.
24	MR. YOUNG: 180-?
25	MR. GELLGAF: 186.
	FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

	44
1	MR. YOUNG: And did you see any elevated bearing temperatures
2	on the starboard generator?
3	MR. GELLGAF: On the starboard generator is bearing
4	actually we don't have bearing reading. We have general lube oil
5	temperature.
6	MR. YOUNG: Okay. So you don't you can't see each
7	individual bearing?
8	MR. GELLGAF: You cannot see individual bearing because they
9	are just have just (indiscernible) checking, we're checking it
10	with (indiscernible) was some no any division between.
11	MR. YOUNG: Okay. And was the lube oil temperature, the
12	general lube oil temperature
13	MR. GELLGAF: Then the general lube oil temperature was a
14	little bit high. It was something 190, 192 degrees, but it's
15	(indiscernible) clean it.
16	MR. YOUNG: Okay. And was that different than any other day
17	or is it
18	MR. GELLGAF: It always, it always has difference with lube
19	oil temperature. On the starboard side usually it's
20	(indiscernible).
21	MR. YOUNG: Okay.
22	MR. GELLGAF: We clean coolants and everything because to
23	make a judgment, you know, of the bearing. But it was still safe
24	in the limit, safe limit.
25	MR. YOUNG: Okay, still within the limit?
	FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

MR. GELLGAF: Still within the limit.

2 MR. YOUNG: Okay. And then after arriving in port the ship's
3 electrical load is on the starboard generator.

4

MR. GELLGAF: Yes.

5

MR. YOUNG: The port generator was secured.

6 MR. GELLGAF: (Indiscernible) was just -- yes, we put lube 7 oil on the -- disconnect generator from the bus bar. I sent 8 motorman, my engineer to put it to cool down load. And just went 9 to also open deck when -- just went out from engine room to open 10 deck because captain called me. After this, this is, yes, some 11 ship preparation and look out at same time.

I just ran back when is (indiscernible) station, I have my 12 13 third engineer, he report (indiscernible) engineer at the fire. Ι just went, same time I went down to control room to check the 14 15 security and close -- to check security because to be sure the 16 area is isolated, I close main engine watertight doors same --17 between the engine control room and I see the, I see it was -- the engine room zero visibility. You know, some smoke was coming, was 18 19 coming because this was a very little bit to the control room. 20 MR. YOUNG: Right. Right.

21 MR. GELLGAF: After, went up, check the shutdown of -- we 22 closing 12 and the engine fans. And then we had to prepare --23 check evacuation of engine personnel, and they report to command 24 center that engine, that engine space has evacuated and CO2 25 have -- they are ready to release.

> FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

	46
1	MR. YOUNG: Ready to release?
2	MR. GELLGAF: Yes.
3	MR. YOUNG: And so you did activate the quick closing valves
4	for the fuel system?
5	MR. GELLGAF: For the fuel system, actually, yes. But
6	actually they was closed automatically when I went down.
7	MR. YOUNG: They do automatically close?
8	MR. GELLGAF: Yeah, but just to be sure, I was a manual,
9	manual check the manual activation of all engine room system.
10	MR. YOUNG: Okay. And is that activated from the control
11	room?
12	MR. GELLGAF: No. We have emergency station on port side
13	to inside muster station was a way after the weather door to
14	control room.
15	MR. YOUNG: Okay. And so the quick closing valves had
16	automatically closed?
17	MR. GELLGAF: Everything. Everything. Yeah, quick closing
18	valve, all engine pumps all engine pumps, and also the zone for
19	zone of what will be the response for all ships, evacuation will
20	be started from there.
21	MR. YOUNG: Okay. And then the CO2, you said you had prepare
22	to go, right?
23	MR. GELLGAF: It depends, I open the door to CO2 room and
24	keep it open to if in case it needed to dump faster.
25	MR. YOUNG: Okay.
	FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

	47
1	MR. GELLGAF: We were at 19 to 20 percent (indiscernible) and
2	we can pull the (indiscernible) in command center, command
3	center
4	MR. YOUNG: Understood. Understood.
5	MR. GELLGAF: But, yes, we all try when fire team told us
6	that we need to start evacuation, it was to open the the door
7	was open, and door from starboard side muster station. I was
8	trying to put emergency DG generator on the bus bar but load was
9	too high.
10	MR. YOUNG: Um-hum. You're trying to back feed the emergency
11	generator?
12	MR. GELLGAF: Back feed the emergency DG.
13	MR. YOUNG: To provide power to the ship's (indiscernible)
14	MR. GELLGAF: To provide power. This was, yes, result
15	(indiscernible). Because later when we have chance to enter to
16	control room, I switch off all breakers which remains on and we
17	provide power to main switchboard and we start establish it and
18	engine fans.
19	MR. YOUNG: Okay. The starboard generator, we understand
20	that a connecting rod exited the crank case and
21	MR. GELLGAF: Yes.
22	MR. YOUNG: damaged the block. What cylinder area was it?
23	MR. GELLGAF: Cylinder number 13, and it's exactly we should
24	(indiscernible), it's in number 13.
25	MR. YOUNG: Thirteen?
	FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

	48
1	MR GELLCAF. Thirteen And the grank gase door broken
1 1	The is some is considered the number 14 (indiscoupible)
2	Inis is same, is considered the number 14 (indiscernible)
3	MR. YOUNG: The crank case door was
4	MR. GELLGAF: Crank case door, yeah.
5	MR. YOUNG: And can you recall the last time that any work
6	had been done on the main bearings?
7	MR. GELLGAF: On the main bearings you have I have of
8	running hours, they came just last month. It's around
9	90,000 13,900 plus 400. Last month it was 13,900 plus 400.
10	From this month's it will be 14,300 running hours.
11	MR. YOUNG: So about 14,300 hours since the last time the
12	bearings were
13	MR. GELLGAF: Yes.
14	MR. YOUNG: inspected or
15	MR. GELLGAF: Inspect (indiscernible)
16	MR. YOUNG: And how many hours are on the engines now? Or
17	the generators, the
18	MR. GELLGAF: Generator you used to run about something
19	like 2,000 (indiscernible) this is 3,000 running hours.
20	MR. GILES: In 2019, a main in-frame overhaul was done and
21	that's where that 13 hour 13,000 hours, since that in-frame.
22	MR. GELLGAF: Since the in-frame.
23	MR. YOUNG: Okay.
24	MR. GILES: And then we did the beginning of this year, we
25	did a top end.
	FREE STATE REPORTING, INC.
	Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

49 1 MR. GELLGAF: Top end. 2 Which has got like 3500 hours on it. MR. GILES: 3 MR. YOUNG: Since the top end? MR. GILES: Since the top end. 4 5 MR. GELLGAF: One half of estimated service period for 6 (indiscernible) 7 MR. YOUNG: Okay. And during the top end overhaul were any 8 of the conrod bearings or main bearings opened or inspected whatsoever? They don't --9 10 MR. GELLGAF: No. 11 MR. YOUNG: -- touch them for that --12 MR. GELLGAF: Usually no. 13 MR. YOUNG: And do you base your maintenance, engine maintenance on engine hours or fuel consumption? 14 15 MR. GELLGAF: Fuel consumption. 16 MR. YOUNG: Fuel consumption. 17 MR. GELLGAF: But actually we do have between (indiscernible) 18 MR. GILES: It's (indiscernible) 19 MR. GELLGAF: We have thousand, a thousand (indiscernible) 20 between fuel consumption. 21 MR. GILES: We're less than what fuel consumption says, but a 22 little bit more than the hours, so --23 MR. GELLGAF: Yes. 24 MR. YOUNG: Okay. 25 MR. GILES: But the --FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

Something, something manual. 1 MR. GELLGAF: 2 MR. YOUNG: Some things. So when would the bearings be due 3 next to have inspection on the main bearings? MR. GILES: Next? They're -- from around 30,000 hours. 4 5 MR. YOUNG: Thirty. So you're about halfway to any bearing 6 maintenance? 7 MR. GILES: Yeah. 8 And the in-frame in 19- -- do you have the MR. YOUNG: 9 service records from it, history? 10 MR. GILES: (Indiscernible) 11 MR. YOUNG: Okay. 12 MR. GILES: It's in that file that I --13 MR. YOUNG: And was that done by ship's crew or by some sort 14 of service type --15 MR. GELLGAF: No, it was --16 MR. GILES: Force Power out of Houma, Louisiana. 17 MR. GELLGAF: Force Power in Louisiana. 18 Okay. And then the top end, how about that? MR. YOUNG: 19 MR. GILES: Blanchard Machinery out of Sellersberg [sic], 20 South Carolina. Sellersberg. 21 MR. GELLGAF: I don't think --22 MR. GILES: Charleston. 23 MR. GELLGAF: Charleston. 24 MR. YOUNG: I think we talked the other day, but you do a 25 regular lube oil analysis? FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

51 1 MR. GELLGAF: Yes. By a monthly basis. MR. YOUNG: Every -- monthly? 2 3 MR. GELLGAF: Every month. MR. YOUNG: And I think you had shown me the most recent and 4 5 there were --6 MR. GELLGAF: (Indiscernible) but the result -- let me see. 7 Oh, for the meters, the (indiscernible) is contaminate -- have one 8 contamination going down. 9 MR. YOUNG: Okay. And I think it came back as good or no 10 issues on the last one. Have you had any issues with any lube oil 11 reports that you can remember? 12 MR. GELLGAF: No. Never. Two years ago, we have high copper 13 contained in oil because we put new coolant. MR. YOUNG: Okay. 14 15 MR. GELLGAF: We cannot found what it is the reason after. 16 If we put new coolant, then we have to wash cap from the coolant 17 pipe. MR. YOUNG: Yeah. Okay. That makes sense. 18 19 MR. GILES: I will add, too, these engines have a Alfa Laval 20 bowl centrifuge that's tied to all the engines, and you can select 21 one at a time. So we run that all day for 2 or 3 days, and then 22 we go to another engine and then another. So that lube oil is 23 constantly getting purified. 24 MR. YOUNG: Purified. Okay. And that's running whether the 25 engine is running or not --FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

52 1 MR. GILES: Right. 2 -- the purifier? So the main engines and the MR. YOUNG: 3 generators --MR. GELLGAF: Once a day we --4 5 MR. YOUNG: -- are purified? 6 MR. GELLGAF: Once a day we put one of main engines and --7 port or starboard, and one of auxiliary engines. 8 MR. YOUNG: Okay. 9 And the generators, too, are fitted with pretty MR. GILES: 10 good pumps. They are? 11 MR. YOUNG: MR. GELLGAF: Yes. It fitted to a pumps, so it cannot -- in 12 13 automatic mode you cannot start the engines before putting the 14 pump brings the pressure up. 15 MR. YOUNG: Okay. So when you hit the start sequence, the pre-lube comes on? 16 17 MR. GELLGAF: Pre-lube pump, right. We pre-lube before -before start the engine, we run pre-lube pump in manual mode. 18 19 MR. YOUNG: Okay. 20 MR. GELLGAF: One minute, 2 minutes, (indiscernible) to after 21 start, and it's -- it's starting for 5 seconds and after because 22 already it has pressure and it's easy, you know, to start. 23 MR. YOUNG: Okay. Okay. That's good. And how often would 24 you say the engines get purified? Is it every few days? 25 MR. GELLGAF: Every few days. This was -- this is already FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

53 1 are falling. It can -- was getting better and better. 2 MR. YOUNG: Right. Right. 3 MR. GELLGAF: Usually you have opposite like. MR. YOUNG: Right. Right. 4 5 MR. GELLGAF: You have to repair it. 6 MR. YOUNG: And on the fuel, do you burn like diesel fuel? 7 MR. GELLGAF: Diesel (indiscernible) also for --MR. YOUNG: MDO or MGO or something? 8 9 MR. GILES: MDO. 10 Do you have any records of any of the -- on MR. YOUNG: MDO. 11 the starboard generator of the journals on the crank shaft being cut down? 12 13 MR. GELLGAF: No. Unfortunately, no. MR. YOUNG: You don't know? 14 15 MR. GELLGAF: We don't have any measurement position. 16 MR. YOUNG: Okay. 17 MR. GILES: I have a note to request that from the firm that did the in-frame. 18 19 MR. YOUNG: Okay. 20 MR. GILES: They can provide that information. 21 MR. YOUNG: Okay. Just one of the things to check off to 22 rule out. 23 MR. GILES: That was prior to us taking over technical 24 management, so we're able to deal with the previous company and 25 that firm to get that. FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

54 1 MR. YOUNG: Okay. Great. 2 MR. GILES: Hopefully they have it. 3 MR. YOUNG: And your engine monitoring system down in the control room, I think it was called IMax? 4 5 MR. GELLGAF: It was EMax. 6 MR. YOUNG: EMax. Does that have the ability to graph or 7 trend any temperatures or -- of the engines? 8 MR. GELLGAF: Yeah, but they need to do it with it running. 9 MR. YOUNG: With it running. Okay. No, we can pull history. 10 MR. GILES: 11 MR. GELLGAF: We have a list of (indiscernible) 12 MR. YOUNG: And you can do exhaust temperatures, right, on 13 each cylinder? MR. GELLGAF: No, exhaust to temperature not connected to 14 15 EMax. MR. GILES: Oh, it's not? 16 17 MR. GELLGAF: It's not. MR. YOUNG: And you said for bearings there were no sensors 18 19 on the bearings? 20 MR. GELLGAF: No sensors on the bearings. Noise, we don't have (indiscernible), we don't have noise detector. 21 MR. YOUNG: Okay. 22 23 There's a common exhaust temperature that we can MR. GILES: 24 trend and then there's the, you know, the whole temperature we can 25 trend, but the pyrometers are restricted to the LOPE. FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

	55
1	MR. YOUNG: Okay. And did these have any ECMs on it that
2	might have recorded any abnormalities within the engines?
3	MR. GILES: We maybe the Cat guys downloaded those reports
4	and I put them in that folder. But yeah, so whatever's in
5	there whatever it picked up is in that report, so
6	MR. YOUNG: And were you or was the service tech able to look
7	at them and say they noticed anything or have they not yet been
8	accessed?
9	MR. GILES: We haven't got that far.
10	MR. YOUNG: Okay. Okay.
11	MR. GILES: Maybe he did. He didn't share it with me. But I
12	didn't see nothing jumped out at me on a quick review.
13	MR. YOUNG: Okay.
14	MR. GILES: But I haven't had a chance to really dive in.
15	MR. YOUNG: Right. Right. And do you have a port engineer
16	that you work with, someone shore side?
17	MR. GILES: Here he is.
18	MR. GELLGAF: He's
19	MR. YOUNG: So if you need maintenance on the engine and if
20	it's coming due for, say, some maintenance that requires shoreside
21	assistance, how would you
22	MR. GELLGAF: Well, if you need (indiscernible) from
23	Dietrich, you can (indiscernible) shoreside assistance.
24	MR. YOUNG: Okay. And you usually send an email or does your
25	maintenance system automatically
	FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

56 1 MR. GELLGAF: No, send in command. 2 MR. YOUNG: Okay. And do you have a computerized maintenance system? 3 MR. GELLGAF: No. 4 5 MR. YOUNG: No. So how do you know when it's time to --MR. GELLGAF: Oh, the Excel tables. 6 7 MR. YOUNG: Excel? 8 MR. GELLGAF: Excel tables. 9 MR. YOUNG: Based on running hours, maybe it's time to check 10 the filters or --11 MR. GELLGAF: The running hours. The filter is, yes, yes, but covered also by pressure differential. 12 13 MR. YOUNG: Okay. Okay. MR. GELLGAF: I think that was in place 10 -- 10, 12 days ago 14 15 and was inspected. Was no way knowing if crack of (indiscernible) 16 metal or something. 17 MR. YOUNG: Right. MR. GELLGAF: But usually before -- if you have bearing 18 19 (indiscernible) first to track its pressure differentials on 20 computer, have to go (indiscernible). It was in the morning, 11 or (indiscernible) or 20 percent. I don't remember. 21 22 MR. YOUNG: Okay. I think just -- when the engine failed, 23 you said you were out of the engine room getting coffee, maybe. 24 MR. GELLGAF: Yeah. 25 MR. YOUNG: Other than the sound of the connecting rods FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

	57
1	leaving the engine, were there any other sounds that people
2	reported that they heard prior to the incident?
3	MR. GELLGAF: No. It was just I was came from was
4	called to the engine room. Came to control room, switch off from
5	the generator from the generator panels. Told (indiscernible) put
6	the engine to cool down to see (indiscernible) number 2 has
7	(indiscernible). Put it to cool down and went I went exactly,
8	it was 4 minutes or something. I say, okay, (indiscernible) stop
9	it, stop engine number 1. And after sudden 1 minute, I can see
10	on the alarm, it is very close.
11	MR. YOUNG: And the two the engineer and the motorman were
12	in the engine room.
13	MR. GELLGAF: Yes.
14	MR. YOUNG: What was their job?
15	MR. GELLGAF: Prior to the explosion, they start preparing
16	tools for number 1, and at that time they observe smell of oil and
17	leaks from crank case door of cylinder number 12.
18	MR. YOUNG: A smell of fuel and?
19	MR. GELLGAF: Oil.
20	MR. YOUNG: Oil. They smelled oil?
21	MR. GELLGAF: Smell oil and found the bolts from
22	(indiscernible) was come out. And they start to tighten the bolts
23	so don't have oil leak.
24	MR. YOUNG: On the starboard engine? On the starboard
25	generator?
	FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

	58
1	MR. GELLGAF: Starboard generator, yeah.
2	MR. YOUNG: And is that
3	MR. GELLGAF: One of the motorman which has injury, she
4	was to to stay exactly on the front of on the number 14
5	cylinder. And the engineer, he was on the number 12 cylinder
6	(indiscernible).
7	MR. YOUNG: Okay. And it might have been lube oil that was
8	leaking out of the crank case door?
9	MR. GELLGAF: It was bolt yes, crank case door was
10	spraying lube oil.
11	MR. YOUNG: And has that is that a new leak that has
12	suddenly come or how
13	MR. GELLGAF: No, just sudden this door (indiscernible) leak.
14	MR. YOUNG: It just started
15	MR. GELLGAF: Sudden, just suddenly appear.
16	MR. YOUNG: Okay. And was that the only place it was leaking
17	or there were other places where there was oil?
18	MR. GELLGAF: No. Only here.
19	MR. YOUNG: Okay. And was it spraying out or just dripping?
20	MR. GELLGAF: It just was a drip, dripping.
21	MR. YOUNG: Dripping. But they initially had gone to the
22	engine room to prepare to work on the port generator?
23	MR. GELLGAF: Yes, yes.
24	MR. YOUNG: But while they were down there, they noticed
25	MR. GELLGAF: Yes. So prepare two priority, of course we
	FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

	59
1	need to explain this starboard side or, sorry, this port side.
2	MR. YOUNG: Okay.
3	MR. GELLGAF: This point is number 1 and we need to see
4	what's happened.
5	MR. YOUNG: Understood. And it was at that time when they
6	were changing or
7	MR. GELLGAF: Yeah, yeah, starting looking for the tools, for
8	the spare parts, and
9	MR. YOUNG: Okay. I have all my questions. Thank you.
10	Thank you for your time.
11	MR. Just two questions for me, Chief. What was the
12	motorman working on the number 1 generator, what was he doing to
13	that? Planning to do to that?
14	MR. GELLGAF: We was planning to number 1, I was planning
15	to open the charger unit, open one already.
16	MR. Yeah.
17	MR. GELLGAF: To check the condition, to check
18	(indiscernible) the charger condition of the compressor.
19	MR. Okay. Checking the compressors?
20	MR. GELLGAF: Checking the condition of the compressor part.
21	MR. Okay. So there was nothing wrong that you knew
22	of on that generator?
23	MR. GELLGAF: No.
24	MR. They were just checking it?
25	MR. GELLGAF: Just checking it to found what the
	FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

(indiscernible) and the other one to -- because all engines was 1 2 higher. 3 Okay. MR. MR. GELLGAF: The was to open the cooler to check condition 4 of air coolant. 5 6 Air coolant. MR. 7 MR. GELLGAF: After proceed to this -- if don't succeed to 8 this one, proceed to cut out (indiscernible). But it was not 9 reusable. 10 Okay. And the last question is, you said the MR. 11 starboard generator is running in port. Is that always the generator that used when it's in port or do you alternate? 12 MR. GELLGAF: Some -- mostly we use to run starboard side to 13 bring the running hours to (indiscernible) 14 15 MR. Okay. So you do alternate generators in port? 16 MR. GELLGAF: Yeah. Mostly we use to run starboard, yeah. 17 MR. But mostly the starboard? MR. GELLGAF: Mostly the starboard. 18 19 MR. Okay. Okay. 20 MR. GELLGAF: We change it, sometimes we change it to do 21 maintenance on the --22 MR. That's all I have. Okay. 23 MR. ROSEN: Yeah, I just have one. I didn't see it down 24 there, but there's no oil mist detector on --25 MR. GELLGAF: No oil mist detector on this kind of engine and FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

1	no bearing temperature sensor.
2	MR. ROSEN: Right. Right.
3	MR. YOUNG: The time is 2:29 and if there's no further
4	questions, we'll secure the recording. Thank you all for your
5	time and your assistance with us, so
6	(Whereupon, at 2:29 p.m., the interview was concluded.)
7	
8	
9	
10	
11	
12	
13	
14	
15	
16	
17	
18	
19	
20	
21	
22	
23	
24	
25	
	FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

## CERTIFICATE

This is to certify that the attached proceeding before the

## NATIONAL TRANSPORTATION SAFETY BOARD

DCA22FM040

IN THE MATTER OF:

FIRE ABOARD OCEAN NAVIGATOR IN PORTLAND, MAINE ON OCTOBER 18, 2023 Interview of Vlad Ene, Alexander Gellgaf, and Dietrich Giles

ACCIDENT NO.:

PLACE: Aboard Ocean Navigator

DATE: October 25, 2023

was held according to the record, and that this is the original, complete, true and accurate transcript which has been transcribed to the best of my skill and ability.


Transcriber

FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

	7
1	
1	MR. YOUNG: Okay. Okay. Thank you. That's good.
2	And if we could move on to the captain. Captain, can you
3	tell us a little bit about your experience and how much maritime
4	experience you have?
5	MR. ENE: Yes, of course. I start my career back in 2010,
6	and since then I was working only on the passenger shipsAnd-I'm
7	with my recruiting company from 2012, and until now with American
8	Queen Voyages, but still my recruiters are the same main company,
9	the CMI. Then actually they are recruiting us as an international
10	group for American Queen Voyages. Then, yeah, mostly all my
11	career was with them all these years, growing up, let's say,
12	apprentice or (indiscernible) till what I am now as a captain.
13	And I'm captain since, what, October? Yeah, October last year.
14	MR. YOUNG: And were you captain on this ship?
15	MR. ENE: Yes.
16	MR. YOUNG: Since October last year?
17	MR. ENE: Yeah. Yeah.
18	MR. YOUNG: And you have sailed as third mate, second mate,
19	chief mate?
20	MR. ENE: Everything. ALL ABOVE.
21	MR. YOUNG: Everything on this with this company?
22	MR. ENE: With this company, yeah. Yeah. I never change
23	company.
24	MR. GILES: I think it's important, when did you come over to
25	these vessels?
	FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

	8
1	MR. ENE: To those vessels to this one and to the sister
2	ship, <del>2000</del> first time T join, <del>2015</del> , February <del>2015</del> . And since
3	then, I miss only 6 months, I was to another ship in Europe with
4	the same company. But after that, always here.
5	MR. YOUNG: So you worked on
6	MR. ENE: On this one or on the other one.
7	MR. YOUNG: So even when the previous company was running
8	these ships, you were working on these ships?
9	MR. ENE: Yeah. I was working on as safety officer,
10	chief officer.
11	MR. YOUNG: Okay. Understood.
12	MR. ENE: A couple of years, 7, 8 years with those ships.
13	MR. YOUNG: And do you typically work the entire sailing
14	season straight?
15	MR. ENE: Yeah, every year. And also, I'm working a
16	lot in layup period. I or the chief officer are supervisor,
17	however you want to call it. But yeah, a lot of maintenance of
18	the ship, I was here with both ships.
19	MR. YOUNG: Okay. And during a normal day during the sailing
20	season, do you typically work days
21	MR. ENE: Yes.
22	MR. YOUNG: or do you stand a watch
23	MR. ENE: I'm a dayworker.
24	MR. YOUNG: Dayworker?
25	MR. ENE: Yeah, no watch. WATCHKEEPER
	FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

MR. YOUNG: Okay.

		£.
2	MR. ENE: The watch, I perform due to the season, I	
3	perform a couple of watch once we are passing through the rivers.	
4	Then I'm sharing the watch with my chief mate and still we have	
5	the officers on watch, just for a precaution, double-safety AHD	
6	safetySafety it's not a rule, it's just implemented by us	
7	just to be sure that everything is going well.	
8	MR. YOUNG: Right. Right.	
9	MR. ENE: And, $\frac{\sqrt{25}}{2}$ , other than that, all the maneuverings	
10	passing through the locks, I'm the one who is doing it. And,	
11	yeah, except for that, only normal work like daywork.	
12	MR. YOUNG: Okay. And then do your mates do 4 hours on/8	
13	hours off watches?	
14	MR. ENE: Yes. That's correct.	
15	MR. YOUNG: And then what's a standard watch at sea? They	
16	have a second and third mate and a lookout on the bridge?	
17	MR. ENE: Yes, yes. Always.	
18	MR. YOUNG: Always.	
19	MR. ENE: Yeah.YES	
20	MR. YOUNG: And on the day of the incident, can you just talk	
21	about where you had been coming from or sailing from and	
22	MR. ENE: Yeah. YES	
23	MR. YOUNG: where you were coming into?	
24	MR. ENE: We are coming from our last port of call was	
25	Halifax, Canada, and we departed on the date of 16, arriving here	
	FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947	

- 1		
	10	
1	on the 18 of October early in the morning, was 5 o'clock was	
2	the pilot, 6:30 T think 6:30 we were alongside on the passenger	
3	terminal of Ocean Gate. Tied up the ship, secure, stop the	
4	engines, stop the bow thruster, and pilot disembark already. And	
5	then, then everything was normal after arrival with the CBP to	
6	come to clear us. It was like they were scheduled somewhere, -	
7	want to say 1:30 in the morning.	
8	And I was heading down from the bridge going to take my	
9	breakfast. I had the breakfast actually, and then I pick up a	
10	coffee and I was just sitting on the balcony on deck 3 just having	
11	the coffee, waiting for the announcement from the gangway to tell	
12	me to hear when the CBP will show up. And then suddenly I	
13	heard something, like a boom or some not exactly a boom. It	
14	was more like a shake of the ship, you know. I said, okay,	
1.5	something wrong, you know.	
16	And being on the deck 3 balcony, I was just looking on the	
17	outside, you know, and I saw that the smoke come from the funnel.	
18	Then I was thinking in that time that that's not a normal smoke.	
19	Even they start to do I mean, they start an engine to do a	
20	maintenance or something or to check something, that's not	
21	possible. Once I open the door to get inside, it was already	٠
22	blackout.	
23	Then in the meantime, I was going to the stairs up to the	
24	bridge and I called actually from by radio, I called the bridge	
25	to see what's happening. The officer on watch inform me that we	
	FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947	

.

have a chain of fire alarms in the engine room. And once I arrive 1 there, he already got the report that the starboard generator get 2 3 a crack, explosion, and it's a fire down there. Then the next step was just to go to our usual emergency, calling the 4 IT IS AUR SIGNAL 5 alarm. What mean here, in case of fire, damage, or collision. And told them the location. 6 7 And after that, knowing that already the fire down there, I didn't need another confirmation. Then the second step, the 8 general alarm activate to activate the entire ship crew. 9 10 Then everybody was present. What they normally do, they 11 report to the bridge, to the command center. In the meantime, 12 they evacuate the --- the engine room was empty. They reposition 13 their secondary assemble station. And the fire teams getting ready, the stairway guys -- the whole crew. 14 15 Then after that, I inform the Coast Guard by the VHF radio. And after that -- or in the meantime, I call by telephone the 16 17 agent because I knew he is down there - he was down there on the 18 pier. And immediately he called for the shore firefighters and 19 ambulance. And I found out in the meantime that we have the casualty, the gentleman, the motorman on duty who was next to 20 21 the -- or close to the generator, and he got burned and he was 22 running by himself to the hospital, the ship hospital. He got 23 there. What I know, that the doctor immediately applied his 24 the first aid to him. 25 And then after everybody report, on-scene commander was on

> FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

1 the scene, area was isolated by the watertight door being closed, 2 the fire screen door being closed on the no-go area as well. 3 No-go area was properly evacuated, nobody around. Then finally we 4 knew that we have only one casualty on that time.

5 And in the meantime, the passengers been mustered to their 6 muster station for the first step, evacuate from their cabins or 7 (indiscernible) wherever they were in that time. And this 8 procedure was done quickly, fast, and they perform pretty well 9 from my point of view. Then everybody was gathering the muster 10 stations.

In the meantime, the fire group number 2 was down to the 11 CHECK scene. They asked for permission to get inside to the see the 12 13 situation, if it's still a fire or not. The no-go area was full of fire of full of smoke, sorry. Then they got a permission 14 from the command center. They passed through the watertight door. 15 They get inside. They check the area. They reported that it's 16 not any fire anymore, the fire in control and actually it's 17 extinguished by itself. And then it's a lot of smoke down there. 18 THE CREAN In the same time, I -- after they reported the passenger was 19 20 gathered to the muster station, it was kind of -- in the same time 21 the people -- the firefighter from the shore side arrive. They came on board. In that same time, I give the order to evacuate 22 23 the passengers to the pier just to be on the, you know, on the HILL safe look in case of something were happening again down there. 24 25 Being so -- such a lot of smoke, you don't know, maybe the fire

> FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

1 was ignite or not, never know.

2	Then we succeed to evacuate the passengers, all of them on
3	the pier. And the next step, I evacuate all crew members on the
4	pier, except myself, chief mate, chief engineer, the fire teams,
5	and the on-scene commander. Plus we have on on board two I
6	think that they were two fire squads from the shore.
7	Then fire squad from the shore, one of them together with one
8	of my fire teams, going through all the cabins to double check one
9	more time for somebody, in case just but in the gangway and the
10	guys which evacuate the people, they already report that everybody
11	is evacuated. But for a double checking, they just go all around
12	the ship to have a closer look again.
13	And the other team, fire squad from the shore, with my team,
14	which they were on the scene, they double check as well the engine
15	room and they confirm that the fire it is extinguished, it's only
16	smoke inside. It's just don't forget when the blackout, I come
17	back when the blackout occur, the emergency generator just start
18	automatically directing the fire dampers was closed, fire screen
19	doors and, as I said, the area was isolated.
20	And then they decide, the firemen from the shore, they said
21	that they were asking me if the they were asking if there's
22	any possibility to start to ventilate the area. Then what we did,
23	according how our engine room is builded, we have the two bunker
24	stations which they are going through engine room. Then we open
25	the doors, the outside doors, to flow the air and to try to get

FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

	14
1	away with the smoke down there. In the meantime, the chief
2	engineer, he start he try to start the pumps. In that time, he
3	didn't succeed, only after a while. But being with the door open,
4	in, let's say, 1 hour, 1 hour and a half, or whatever, all the
5	smoke was out. We keep that door for the whole ship open. I
6	mean, also the step tower doors to the balcony or gangways, they
7	were open, totally open just to provide as much flow, you know, of
8	the air to pass through.
9	And, $\frac{\text{YES}}{\text{Yeah}}$ , I think also the Coast Guard arrive in the
10	meantime, the QI arrive in the meantime. After the smoke was out,
11	we got all the passenger in the terminal, we got the crew in the
12	terminal. All the crew finally, together with me, we are out with
13	the also with the guys from the firefighters from the shore,
14	just waiting a little bit for the ship to the smoke of the ship
15	to get out and to leave and to clear the smoke.
16	Then I don't remember exactly the time, I have the note, but
17	I do believe it was like 10:30 or 11 when the ship was considered
18	safe again. Then, in that time I was with Mr. here. We
19	came back on board. We check again I was down there again, we
20	checking there. We checked the area. Everything looks safe, no
21	sign of smoke, no sign of fire. Everything was, let's say, back
22	to normal.
23	And after discussing with the U.S. Coast Guard, they allowed
24	us to let the passenger by groups to get on board guided by our
25	crew members to pick up their luggage, pack their luggage, pick
	FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

THEY WERE 1 up, and go back to the terminal. Then it was like 15 or 20 by group back and forth, back and forth. Everything, all the process 2 perform like fine, safely, no casualty, no injured person, no ---3 like was like on the line, you know. Everything was step by step 4 PERFORMED but perform it well. And except the casualty, no more trauma, was 5 LOBOBY ELSE GOT INJURED. 6 ther than that, that was pretty much the whole story. 7 MR. YOUNG: That's very good memory of the whole story. 8 That's great. That's great. It's a lot to remember. 9 Can you remember, and I'm sure you have it written down, how 10 many passengers you had on board? MR. ENE: Yes. We had in that time 128, 1-2-8, passengers 11 12 and 82 crew on board, 8-2, the crew members who were on the boat. MR. YOUNG: And when the passengers originally came aboard, 13 had you done any sort of drills with the passengers? 14 15 MR. ENE: Yes. Well, every embarkation we do -- before departure we do a safety drill with the passengers. We -- on the 16 17 safety drill what we really do, we got everybody from their cabin 18 to their muster station to be familiar in case of an emergency 19 where they supposed to go when they hear the general alarm. And 20 we demonstrate them how to wear a life jacket. And then we guide 21 them to their abandon ship stations, which are the lifeboats on 22 deck 4, port and starboard. Having two muster station, muster THis ic 23 station A, which is exactly here in the conference lounge, the are 24 the largest one, and the muster station B, which is on deck 4 up 25 we call the grill, over there.

> FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

	16
1	MR. YOUNG: And is that where you, on the day of the
2	incident, the passengers mustered at A and B
3	MR. ENE: Yes. Correct. Correct.
4	MR. YOUNG: muster stations?
5	MR. ENE: Yes. Exactly.
6	MR. YOUNG: And then it's typical to train to do an
7	evacuation to go to the lifeboats, but have you ever done some
8	sort of drill or exercise where you've
9	MR. ENE: For my crew member, yes.
10	MR. YOUNG: evacuated the passengers?
11	MR. ENE: Yes, on the pier. Yeah. We did that you know,
12	being in layup, we do a little drill. We keep up with our
13	maintenance, but we keep with out safety training. And being
14	there always on the pier, we do the drills and we really do
15	they have operation on the pier, not only with the lifeboats or
16	life raft. Then the good thing was that even with this
17	experience, being on layup was helpful for everybody because the
18	crew, they were like just they have implemented, let's say, in
19	mind. It was like something normal for them. It was not
20	something new. Okay, maybe something new for some of hotel crew
21	members, but few of them, and of course a real emergency was for
22	all of us, you know. But as I said, everybody perform very good
23	their duties without any kind of panic or shock or nothing. No
24	screamings around, no it was like just a normal it was like
25	a drill.

FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947
17 MR. YOUNG: And that's one of my questions. Do you feel that 1 2 your drills helped you --3 MR. ENE: A lot. MR. YOUNG: -- coordinate the evacuation? 4 5 MR. ENE: A lot. Once -- what I observed during my, even my 6 career, and I been a lot of time safety officer, once you consist 7 with your training and drills, maybe not all the personnel of the 8 ship they like it because I understand sometimes you have to work and to have safety trainings, but in the end, everybody realize 9 10 that everything what we did till that moment was helpful for 11 everybody. 12 MR. YOUNG: Right. 13 MR. ENE: And the circumstances show this thing, you know. 14 MR. GILES: One thing that we have, too, just to add to that, 15 not only do we drill to get passengers off the gangway -- we know there's only one gangway, so we drill to get them off the 16 lifeboats and the rafts waterside, should that be compromised, 17 18 so ---MR. YOUNG: And are all these drills part of a safety 19 20 management system? Is that some sort of a --21 MR. ENE: Yes. 22 MR. YOUNG: -- package that -- do you have that here? 23 MR. GILES: I don't know if the gangway drills are. We --24 MR. ENE: No, the gangway drills actually no. 25 MR. GILES: That's just something that we started doing in FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

18 1 layup and --ES MR. ENE: Yea 2 3 MR. GILES: -- it just kind of took. YES 4 MR. ENE: Yeah. 5 MR. GILES: Right. It's something we should put it in there. YES 6 MR. ENE: Yeah. Because actually this -- exactly, as I 7 started to say, this -- and I said this was -- those drills, 8 special drills that they would special have operation on the pier was only on the layup. And also on the layup, there being not 9 10 full crew on board, we have this temporary muster list. And on 11 that temporary muster list we add even like a note, remember, like 12 first primary evacuation on the pier. If that's not working, WITCH SIDE 13 we'll go for the lifeboat, depends on the size of the ship. And 14 if suddenly we cannot lower the lifeboat, we go for the life raft, 15 depend on which side of the ship. Then we have three ways for evacuation in case of emergency on board. 16 MR. YOUNG: And I know you drill when you have new passengers 17 18 come on, but is the drilling part of a requirement for your safety 19 management system? DRILL MR. ENE: The passengers are ready, yes. 20 Yes. 21 MR. YOUNG: Do you have a safety management system for the 22 ship? 23 MR. ENE: Each passenger embarkation, the drill should not be 24 postponed more than 24 hours after the embarkation. That way 25 we -- immediately when they embark on the port, after half hour, FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

	1
1	until they, you know, set up in their rooms, feel comfortable,
2	then we proceed with the drill before we depart the port.
3	MR. YOUNG: Excellent.
4	MR. ENE: And make, I mean, for we always do that. I
5	don't think I did it anytime after the departure because I saw
6	everybody is more focused, everybody I mean, they don't care
7	what is outside. They don't care if the ship is sailing or not.
8	They know the ship is at port and they concentrate on the drill
9	also. And for us, it's work was working perfect for them. I
10	see them happy.
11	MR. YOUNG: And where did this voyage start for these
12	passengers?
13	MR. ENE: Montreal.
14	MR. YOUNG: Montreal?
15	MR. ENE: Yes. Montreal, 10 October.
16	MR. YOUNG: And at the time of the incident was the bridge
17	still attended or was it
18	MR. ENE: Yes.
19	MR. YOUNG: It is?
20	MR. ENE: Yeah.
21	MR. YOUNG: Even though you're alongside, you had people on
22	the bridge?
23	MR. ENE: Yeah. Always.
24	MR. YOUNG: Even in port you have people on the bridge?
25	MR. ENE: Even in port, yes.
	FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

		20
1	MR. YOUNG: And would there be a mate and a	
2	MR. ENE: (Indiscernible) mate.MATE.	
3	MR. YOUNG: One mate?	
4	MR. ENE: One mate in the port alongside. Just the mate-	
5	that's supervising the bridge 24 hours.	
6	MR. YOUNG: And then that mate would receive any alarms	
7	which, it sounds like the fire detection system	
8	MR. ENE: That's correct.	
9	MR. YOUNG: And does the general alarm automatically signal	
10	or does it have to be manually	
11	MR. ENE: If nobody will attend the fire alarm over to me,	
12	then the general alarm will start sounding by itself. Being the	
13	mate over there, he already attend the alarms, mute them, and	
14	inform us. call to the engine to see what the call the fire	
15	button to, in the same time, to send him to check the alarm	
16	actually because nobody know if it's a fire or maybe could be a	
17	false alarm or, you know	
18	MR. YOUNG: Right.	
19	MR. ENE: But in that time of the incident, he call me	
20	directly on the radio, he called the engineer down there by	
21	telephone, and also the chief mate was around and he call the	
22	bridge that he heard like an explosion down there and he see a	
23	lot of smoke. Then, yeah, that why actually the general alarm	
24	didn't start until I start it from the bridge because everything	
25	was attended before that to me.	
	FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947	

21 1 MR. YOUNG: Okay. So you manually sounded the general alarm? 2 MR. ENE: Yes. Yes. 3 MR. YOUNG: And you did that prior to the automatic 2-minute start? 4 MR. ENE: Oh, yes. Yeah. 5 6 MR. YOUNG: Would you say the communication between you and 7 your crew was effective? 8 MR. ENE: Yes. 9 MR. YOUNG: You were able to communicate with the engine room 10 and your safety officer and --11 MR. ENE: Right. MR. YOUNG: -- and you mentioned an incident commander? 12 MR. ENE: On-scene commander we call it. there. 13 MR. YOUNG: On-scene commander. 14 15 MR. ENE: It's actually the safety officer of the ship. He 16 have this emergency duty. He is on-scene commander, that mean he 17 will be on the scene outside of no-go area and he will meet the 18 fire teams once they are ready and he will explain briefly the 19 situation. 20 MR. YOUNG: Okay. 21 MR. ENE: And in the meantime he prepare the fire hose to be 22 ready for the fire team once they arrive so don't lose the time. 23 MR. YOUNG: Okay. 24 MR. ENE: That's -- and also he's, after that, he's keeping 25 the communication with the fire teams and he's reporting to the FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

	22
1	command center just to avoid miscommunication passing through and
2	also to make, let's say, more effective the fire teams on their
3	performance of whatever incident is down there. <u>Then just</u>
4	-communicate closing closing, the communication, and the on-
5	scene commander is the one which give every reports to the command
6	center.
7	MR. YOUNG: And is the command center on the bridge?
8	MR. ENE: Yes.
9	MR. YOUNG: Okay. And that's a separate bank of computers on
10	the aft bulkhead?
11	MR. ENE: Pardon?
12	MR. YOUNG: I know there are some computers that have a fire
13	protection system on the aft bulkhead.
14	MR. ENE: Yeah.
15	MR. YOUNG: Is that considered the
16	MR. ENE: Yes, yes.
17	MR. YOUNG: incident command?
18	MR. ENE: We call it it's the bridge, but we call it the
19	command center for the emergency.
20	MR. YOUNG: Okay. Okay. As you are maneuvering in to
21	Portland, Maine, you were you running both main engines for
22	propulsion?
23	MR. ENE: Yes.
24	MR. YOUNG: And then how does the bow thruster get powered?
25	MR. ENE: The bow thruster is separate. Then before entrance
	FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

	23
1	to the nerrow channel entrance to the river entrance to the
	to the harrow channel, entrance to the river, entrance to the
2	port, we start the bow thruster a half hour prior.
3	MR. YOUNG: Okay. And does that have its own engine or is it
4	electric
5	MR. GELLGAF: Only electrical.
6	MR. ENE: It's electric engine powered.
7	MR. YOUNG: So do you have to start two diesel generators?
8	MR. GELLGAF: We have to start two diesel and we power up the
9	bow thruster.
10	MR. YOUNG: Okay. And then on your entrance in was there any
11	excessive use of power that may have
12	MR. ENE: No.
13	MR. YOUNG: increased the electrical load on the ship?
14	MR. ENE: No.
15	MR. YOUNG: Okay. And while you are maneuvering you have two
16	main engines that have shafts coming out and what do they what
17	do you use for propulsion on the ship? Do you have Azipod?
18	MR. ENE: Azipods, yeah. Yeah.
19	MR. YOUNG: So two Azipods?
20	MR. ENE: Two Azipods and one bow thruster.
21	MR. YOUNG: And one bow thruster?
22	MR. ENE: YES
23	MR. YOUNG: At the and this is more for my report, but at
24	the time of the incident do you know what the draft was of this
25	vessel?
	FREE STATE REPORTING, INC.
	Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

	24	
	YES	
1	MR. ENE: Yeah, 4.2 meters.	
2	MR. YOUNG: 4.2.	And a subscription of the local division of
3	MR. ENE: 4.2 or 4.3. I have it noted.	
4	MR. YOUNG: Okay.	
5	MR. ENE: But this is this was 4.2 or 4.3.	
6	MR. YOUNG: Okay. And as you are maneuvering in was there	
7	any excessive current or wind or anything notable with the	
8	weather?	
9	MR. ENE: In that day, no. No, the weather condition were	
10	pretty good.	
11	MR. YOUNG: Okay. Since you have two Azimuth and thrusters,	
12	do you have a rudder or no?	
13	MR. ENE: No.	
14	MR. YOUNG: No steering other than your	
15	MR. ENE: Yeah	
16	MR. YOUNG: Okay. And I know you said the mate on watch had	
17	heard some fire detection and also do you have anything else	
18	other than smoke and fire detectors down there? Do you have flame	
19	sensors?	
20	MR. ENE: Flame detectors, smoke detectors, manual call	
21	points and	
22	MR. YOUNG: Manual call points as well?	
23	MR. ENE: Yeah.	
24	MR. YOUNG: And was were both flame and smoke detectors	
25	activated down below?	
	FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947	

25 MR. ENE: Yes. 1 2 MR. YOUNG: Okav. Several? VES 3 MR. ENE: Several, yeah. Like six or eight, something. 4 MR. YOUNG: Okay. So I had some questions about how your 5 department responded and you did the general alarm. You used the VHF to call --6 7 MR. ENE: The Coast Guard. MR. YOUNG: -- the Coast Guard. You used your phone to call 8 the agent. The agent called the fire department. 9 MR. ENE: And the ambulance. Yeah, he call actually the 911 10 11 before me. Because I was in the same time with the Coast Guard on 12 the VHF, and the same time I talk to agent, if you can call 911, just do it or I will do it after 1 minute after I talk -- because 13 with the Coast Guard I report our position, you know, the whole 14 steps. I cannot -- I couldn't tell them I'm in Portland, layup --15 16 MR. YOUNG: Right. MR. ENE: Of course they -- and then he just say, don't 17 worry, I just called the 911. I said, okay, perfect. 18 MR. YOUNG: Right. That's great. And all these steps, it 19 seems like it's very -- you took the steps. Was that some sort of 20 21 a obviously training or --MR. ENE: Yes. 22 23 MR. YOUNG: -- drills that you have done to understand all 24 these? 25 MR. ENE: Yes. Yes. Because actually our procedure on the FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

1 drill, on case of the -- of course, on the emergency, you can 2 change some things in the meantime. But the procedure is very, 3 very clear. Once you have an alarm on the bridge, you (indiscernible) that alarm, you check it, you send the fire 4 PATROL 5 department to check that specific area and then he report. If 6 it's a fire, the fire patrol evacuate and close the area. Or if 7 somebody else report directly -- let's say we have a fire in the galley and some cooks are there, they report the fire and they are 8 already trained to evacuate and isolate the area and wait outside 9 10 of the affected area for the on-scene commander/safety officer to 11 come and to take over. Then once those things are reported to the 12 bridge, it's myself or chief officer or the officer on duty take on the PA microphone and make the -- give the alarm, the 13 three times plus the location plus the 14 incident, it's a fire, a collision, or damage. 15 MR. YOUNG: And that's your code to talk to the crew, right? 16 17 MR. ENE: That's our code to, exactly, to talk with the crew 18 because the passengers they are not involved in that. Once we 19 discover that the fire -- and in this are just such 20 things to be activated, like fire teams, like engine control team, 21 bridge team, stairway guides, and for safety, search and rescue, 22 and that's more or less -- boat preparation. Then the rest of 23 them, they just are aware that something happen, because everybody 24 as a crew member know what means. But they just to 25 don't create panic between the passengers, maybe it's a small fire FREE STATE REPORTING, INC. Court Reporting Transcription

ourt Reporting Transcriptior D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

and everything will be finalized in 5 minutes, then no necessary 1 2 to create a lot of panic on board. MR. YOUNG: Right. 3 4 MR. ENE: Okay. And then, after the teams are ready, they report to the bridge. They are -- first of all, they report it's 5 6 like a radio check with the command. Second, they report present 7 and -- or missing persons from their teams. Then once they are 8 ready, fire groups are dressed, wearing the mask, the suit or the 9 whole gear, they report -- they report readiness to the bridge and 10 the bridge coordinate them where to proceed to the on-scene 11 commander, the safety officer. Once they arrive next to him, they 12 will be split. Fire group 1 will go perform boundary cooling or WILL PERFORM BOUNDARY COOLINY. Will be the attack Team (indiscernible) and the fire group 2 to go do -- they will be the 13 or will be the attock Teom. Depends of the Fire LocotTion. 14 15 Once those teams - in the meantime, the engine control room, 16 they -- depends of the area, they will cut off electricity, shut REPORT TO BRIDGE 17 down ventilation, and - sorry. And after that, once everything 18 is done, the fire teams getting inside, whatever is the fire team 19 get the permission to go inside of the affected area. They report 20 back to on-scene commander what is inside, if there are casualty 21 or not, that's the first thing what they are doing. They report, 22 depend of the area, if the sprinkler system is activate or not. 23 They report again electricity, if it's cut off on shore or not, 24 the ventilation if it's shut down or not. Then they, if it's a 25 fire, they start to attack it, depend of the -- they report also

FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

the class of fire first. And depend on the class of fire, they 1 2 wills start attacking the fire. Then if they succeed to extinguish the fire, they will say, okay, the fire is coming under 3 control and, in the end, the fire is extinguished. 4 5 In the meantime, if necessary, the other fire team will start 6 boundary cooling or not, again, depending of the fire. Then if the fire is out of control, then that's the time when we sound the 7 general alarm because they realize, okay, the fire is getting 8 bigger and bigger, okay, let's sound the general alarm. The other 9 emergency teams will be activated like muster station teams, 10 11 evacuation teams. It's a central group for the reception desk, 12 you know. And then they will guide the passengers -- the 13 passengers will have heard the general alarm as well. They will be guided to their muster stations, A and B, as I said. BEFORF. 14 15 And the emergency teams -- emergency evacuation teams, they 16 are going to each cabin to be sure that everybody's evacuated and to their muster station. The muster station report to the bridge 17 18 the number of the passengers or the missing ones. In case 19 somebody's missing, we have cabin 1-1-1 missing. It depends of the area, where is located the fire. We have either -- we send 20 21 the search and rescue team if the area is a no-go area. Or if it's, let's say, like a normal safe area, the emergency teams --22 23 emergency evacuation team, which are there double check that cabin 24 to see if the persons are inside or not. 25 Then once everything is done and everybody is on their muster

> FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

	29
1	stations then new depends. While we are underway, of course
	stations, then now depends. While we are underway, or course
	everybody will be guided to their lifeboats. After that, the
3	guests and all the crew which are not assigned to the lifeboats to
4	have duty on the lifeboats, they are coming on the life raft
5	station. And yeah, that's the whole
6	MR. GILES: Elaborate on the shoreside communication element.
7	I think, there's a little bit more that you could add to that.
8	MR. ENE: Oh, yeah. Call my superintendent, call my DPA what
9	Was ==
10	MR. GILES: Back to the Coast Guard to notify local
11	authority, then he calls me
12	MR. ENE: Yeah.
13	MR. GILES: or the DPA, and then we call the QI. I called
14	SMS Resolve to get them going and whether we need them or not,
15	let's get everybody rolling.
16	MR. YOUNG: Right.
17	MR. GILES: And then I let our corporate crisis team know
18	what's going on, and then we immediately start having crisis
19	meetings. We'll have an initial meeting and then there's every
20	30 minutes there's another meeting. So and in that, I'm the
21	communication link, myself or the DPA, depending who's available.
22	We were actually both on planes
23	MR. YOUNG: That's right.
24	MR. GILES: getting planes. We were tag teaming him that
25	morning. But we'll be the direct link and then update the crisis
	FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

1	r
	30
1	team. And then they're, you know, doing what they need to as far
2	as what we do with the guests, who do we interface with, do we
3	need to get hotel rooms, buses, blah, blah, blah. So
4	MR. YOUNG: And that is a lot of information. Do you have a
5	checklist that would help you remember all this stuff or some sort
6	of a guide that would help you?
7	MR. ENE: I do have a checklist, but in that time the only
8	checklist which we recorded was exactly what was happening on
9	board with the fire, passengers, and casualty, all of these
10	things. The phone calls, I didn't record them, but I have them on
11	my telephone.
12	MR. YOUNG: Right. Right.
13	MR. ENE: You know?
14	MR. YOUNG: Right.
15	MR. ENE: I have a guidance of who I need to call and
16	inform ON THAT MOMENT
17	there, we have to be sure that everything is under control and
1.0	everything was going smooth and fine. I was on the telephone and
10	with Mr. Dietrich and with our DPA as well - And all the time
20	MR CILES. Our quater is get up to where his hands are full
20	AR. GILLS: Our system is set up to where his hands are full,
21	notity local authority, notity the coast Guard, or vice a versa,
22	depending on where he's at. And then let us know, and then we
23	take care of all the neavy lifting because he can't be calling the
24	VI or anything like that, so
25	MR. IOUNG: Right.
_	

FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

		-
		-
1	MR. ENE: Yeah.	
2	MR. GILES: And response center or whatever.	
3	MR. YOUNG: I guess what I'm getting at with this, too, is d	0
4	you have a safety management system that gives you guidance when	
5	there's a fire?	
6	MR. ENE: Yeak.	
7	MR. YOUNG: What you need to do for abandon ship, is that	
8	that's what I was asking.	
9	MR. GILES: We do. We have an emergency response booklet	
10	that details different crises and what to do.	
11	MR. YOUNG: It spells out what to do. Okay.	
12	MR. GILES: Open it up and	
13	MR. YOUNG: And is that a booklet or a sheet that's on the	
14	bridge that you can access?	
15	MR. ENE: Yes.	
16	MR. YOUNG: Okay. Great. I know I'm trying to just	
17	remember some of things you said. But did you say there was a	
18	sprinkler system in the engine room or no?	
19	MR. ENE: No. No, no, no.	
20	MR. YOUNG: Okay. Okay.	
21	MR. ENE: No, no, no.	
22	MR. YOUNG: When the emergency teams are assembling was at	
23	any time any water applied or boundary cooling?	
24	MR. ENE: No.	
25	MR. YOUNG: It wasn't necessary, right?	
	FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947	

32 1 MR. ENE: It wasn't necessary. 2 MR, YOUNG: And did any of your crew go on air to go in? 3 MR. ENE: Yes, all of them. I mean, whoever was going in, all of them was on air. 4 5 MR. YOUNG: Okay. And then you had a backup team? 6 MR. ENE: Yes. And we have backup -- we have their oxygen 7 mask as well. 8 MR. YOUNG: Okay. And then was there ever a discussion to 9 prepare or be prepared to release CO2 in the engine room? 10 MR. ENE: Yes. The engine control room, they are secondary 11 assemble station, it's by the CO2 room. 12 MR. YOUNG: Okay. 13 MR. ENE: Then will prepare anytime, if I will give the 14 order, to release the CO2. 15 MR. YOUNG: Okav. But it didn't get to that point --16 MR. ENE: No. MR. YOUNG: -- and you never released it, right? 17 18 MR. ENE: Correct. 19 MR. YCUNG: Did you -- from the bridge, did you take any 20 isclation procedures down such as starting a fire pump? 21 MR. ENE: No. I didn't start any fire pump because our main 22 fire pump is in automatic position. I mean, once we start the 23 hydrant, then the hose -- the fire pump will start automatically. 24 MR. YOUNG: Okay. And no one opened any hydrants so there 25 was no need to start it? FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

	33
1	MR. ENE: Correct.
2	MR, YOUNG: Okay. FIRE PUMP alo, 1
3	MR. ENE: And in case of that one will not start, then I have
4	the emergency fire pump which I can start it from the bridge.
5	MR. YOUNG: Okay. Interesting.
6	MR. GILES: And the fire pumps constantly charge.
7	MR. ENE: Yeah.
8	MR. GILES: The fire system is always charged, so
9	MR. YOUNG: How is that being charged?
10	MR. ENE: It's under pressure all the time.
11	MR. GELLGAF: Under pressure all the time.
12	MR. GILES: Yeah, the pump, when it if it leaks down, the
13	pump will come on and pump it back out.
14	MR. YOUNG: So as soon as you open up a nozzle, it's on?
15	MR. GELLGAF: It's on, yeah.
16	MR. YOUNG: Okay. How about ventilation? Had that been
17	secured, the engine room ventilation?
18	MR. ENE: Due to the blackout, I think already all the
19	dampers been closed.
20	MR. GELLGAF: The damper been closed and the guys should
21	check and (indiscernible) if there's some leak from one
22	(indiscernible), the dampers are tightened.
23	MR. YOUNG: Okay. So electrically, when you lose electrical
24	power, the fans electrically stop. Are the dampers held open
25	electrically as well?
	FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

34 1 MR. GELLGAF: No. No, they are opened electrically, but 2 they're closed by springs. 3 MR. YOUNG: Springs. MR. GELLGAF: When we lose the power, they're closing by 4 5 springs. 6 MR. YOUNG: Okay. 7 MR. GILES: They only close. 8 MR. YOUNG: Okay. And watertight doors, are they typically 9 closed underway? 10 MR. ENE: Yes. Always underway they are closed. 11 MR. YOUNG: Okay. And fire screen doors? 12 MR. ENE: Fire screen doors, you can close them manually or 13 you can -- locally or you can close them from the bridge by automatic. 14 15 MR. YOUNG: And did that happen on the day of the fire? Were 16 they closed as well? MR. ENE: The fire screen doors, because of the affected area 17 18 was in the main engine room, we have only the watertight doors 19 over there, which they were closed. The fire doors were closed 20 manually locally because they were in no-go area and they were 21 just closing that day. 22 MR. YOUNG: Okay. 23 MR. GILES: I'd like to add that the fire screen doors are 24 really a judgment call because it impedes evacuation --25 MR. YOUNG: Got it. FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

	35
1	MR. GILES: as well because all the doors close.
2	MR. YOUNG: Oh, throughout the entire vessel?
3	MR. GILES: Yes.
4	MR. YOUNG: Okay.
5	MR. GILES: If you hit the button in the bridge, they all
6	close. So
7	MR. YOUNG: Got it. So it sounds like by closing the
8	watertight doors, which are closed already, and the dampers, the
9	engine room is completely isolated.
10	MR. ENE: Isolated, <del>yeah</del> .
11	MR. YOUNG: Okay.
12	MR. GILES: When they made entry into the engine room, they
13	did it through a watertight door, but they isolated the fire doors
14	behind them so they created a no-go boundary. So should
15	things the smoke come in, which it did, it wouldn't go anywhere
16	else, you know, so
17	MR. YOUNG: Right. And I know you've talked a lot about
18	evacuation drills with the passengers. Do you can you talk
19	about some of the firefighting drill you do with your crew? Do
20	you do frequent firefighting drills?
21	MR. ENE: Weekly.
22	MR. YOUNG: Weekly?
23	MR. ENE: Fire and emergency drills.
24	MR. YOUNG: Okay. And have you ever done an engine room fire
25	drill?
	FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

36 1 MR. ENE: Yes. Like maybe two times a month in the engine, 2 in the engine room. 3 MR. YOUNG: And do people get suited up and charge hoses and 4 everything, that kind of a drill where you have a scenario? 5 MR. ENE: I have a scenario, I did it, but it's not a weekly 6 to charge these hoses. 7 MR. YOUNG: Okav. YES. 8 MR. ENE: 9 MR. YOUNG: Good. I don't have any more questions for you, 10 Captain. You answered most of my questions by one giant answer, 11 so I appreciate it. MR. ENE: Yeah. Thank you. 12 13 My only question -- this is Steve Siler, Coast MR. Guard. Who is the sister ship to this vessel? 14 15 MR. GILES: Ocean Voyager. Is she the same configuration? 16 MR. 17 MR. GILES: Yes. 18 MR. Okay. Have you guys talked to them about this 19 and are they doing anything to kind of look at that generator on 20 board that vessel to make sure -- I mean, are they on the same 21 schedule as far as maintenance or are they totally different? MR. GILES: They're a little bit different, but we've 22 23 notified them of it. The nature of this is not something that you 24 can really look at and say, oh, there's a problem --25 MR. Yeah. FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

37 1 MR. GILES: -- without tearing into it. 2 MR. Okay, 3 MR. GILES: What happened here, whether it was a piston 4 failure or a head failure or a rod -- a bearing failure, is 5 something you could only know by opening up the engine and really £ looking at it. So --7 Okay. I was just wondering if this engine had MR. 8 more hours on it than the other vessel or if it's -- or if they 9 have --10 MR. GILES: It had less. :: MR. This had less than -- okay. So, for the record, 12 the Ocean Voyager has more hours on its generator than the 13 Ocean -- than this one. 14 MR. GILES: Since it -- since they had the in-frame overhaul, 15 yes. 16 Okay. Yeah. All right. That's all the MR. 17 guestions I had. 18 MR. YOUNG: Do you have any? 19 MR. ROSEN: Yeah. I just had a general question about -you said that you put on another generator when you came into 20 21 port. Was the starboard generator -- which one did you put on? 22 Did you put on the port or the starboard? 23 MR. ENE: When we came to port we used both generators. 24 MR. RCSEN: Right. Were you running one coming -- when you 25 were cut in blue water were you running on one generator? FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

YES yeah, at sea we run one. MR. ENE: Yes. Out in-1 2 MR. ROSEN: Okay. So which one did you turn on coming into Portland? Do you remember? Do you recall? 3 MR. ENE: Yeah, the 2, the number 2. 4 5 MR. ROSEN: The number 2? 6 MR. ENE: Usually run number 2. 7 MR. ROSEN: Okay. MR. YOUNG: That's -- number 2 is the starboard? 8 9 MR. ENE: Yes, starboard side. 10 MR. YOUNG: We can shift our gears to the chief and ask some 11 engineering questions now, if you're prepared. Or if you need a 12 break or some water or --MR. ENE: No, no, no. 13 14 MR. YOUNG: Okay. 15 UNIDENTIFIED SPEAKER: Do you guys need some water or something? 16 17 UNIDENTIFIED SPEAKER: I'm okay. 18 MR. GELLGAF: Okay, I (indiscernible). 19 MR. YOUNG: So this is Brian Young with the NTSB again, 20 speaking with the chief. Chief, can you talk to us about how many 21 years you have been sailing as a chief engineer? 22 MR. GELLGAF: I started as work as engineer in 1992 and as 23 chief engineer 2004, 2006, I don't remember exactly. And this 24 is -- I see my ISP, ISPC my report, and since 2010. 25 MR. YOUNG: 2010? FREE STATE REPORTING, INC.

Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

## UNITED STATES OF AMERICA

NATIONAL TRANSPORTATION SAFETY BOARD

\*

\* \*

\* \* \* \* \* \* \* \* \* \* \* \* \* \* \* \* Investigation of: \* \*

\* \* \* \* \* \* \* \* \* \* \* \* \*

FIRE ABOARD OCEAN NAVIGATOR IN PORTLAND, MAINE \* Accident No.: DCA24FM004 ON OCTOBER 18, 2023

Interview of: VLAD ENE, Captain ALEXANDER GELLGAF, Chief Engineer Ocean Navigator

> DIETRICH GILES, Marine Superintendent American Queen Voyages

> > Aboard the Ocean Navigator

Wednesday, October 25, 2023

FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947



FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

	4
1	INTERVIEW
2	(1:15 p.m.)
3	MR. YOUNG: Okay. The recording is on. This is Brian Young
4	aboard the Ocean Navigator. It is 1:15. It is October 25th,
5	2023. My last name is Young, Y-o-u-n-g. We're conducting an
6	interview of the captain, the chief engineer, and a company
7	representative aboard the Ocean Navigator. And with us today
8	is
9	MS. JESCHELNIK: Kristyn Jeschelnik, K-r-i-s-t-y-n;
10	Jeschelnik, J-e-s-c-h-e-l-n-i-k. NTSB.
11	MR. Coast Guard
12	Investigations.
13	MR. ROSEN: Dan Rosen, R-o-s-e-n, Marine Safety Consultants,
14	insurance investigation.
15	MR. GILES: Dietrich Giles, marine superintendent for
16	American Queen Voyages, G-i-l-e-s.
17	MR. ENE: Vlad Ene, V-l-a-d, E-n-e, the captain of Ocean
18	Navigator. BIDUSADAG Gerliga
19	MR. GELLGAF: Alexander Gellgaf, chief engineer,
20	$\frac{G-e-1-1-g-a-f}{G-e-1-1-g-a-f}$
21	MR. YOUNG: Thank you. Thank you.
22	INTERVIEW OF VLAD ENE, ALEXANDER GELLGAF, AND DIETRICH GILES
23	MR. YOUNG: Let's just start, Dietrich, with if you could
24	just give us a history of this vessel, maybe as to when it was
25	built and when your company had taken possession of it. Do you
	FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

1 to the narrow channel, entrance to the river, entrance to the 2 port, we start the bow thruster a half hour prior. 3 MR. YOUNG: Okay. And does that have its own engine or is it electric -4 Gerliga 5 MR. GELLGAF: Only electrical. 6 MR. ENE: It's electric engine powered. 7 MR. YOUNG: So do you have to start two diesel generators? Gerligei MR. GELICAF: We have to start two diesel and we power up the 8 9 bow thruster. 10 MR. YOUNG: Okay. And then on your entrance in was there any 11 excessive use of power that may have --MR. ENE: No. 12 MR. YOUNG: -- increased the electrical load on the ship? 13 MR. ENE: No. 14 MR. YOUNG: Okay. And while you are maneuvering you have two 15 16 main engines that have shafts coming out and what do they -- what 17 do you use for propulsion on the ship? Do you have Azipod? MR. ENE: Azipods, yeah. Yeah. 18 19 MR. YOUNG: So two Azipods? 20 MR. ENE: Two Azipods and one bow thruster. MR. YOUNG: And one bow thruster? 21 22 MR. ENE: Yeah. 23 MR. YOUNG: At the -- and this is more for my report, but at the time of the incident do you know what the draft was of this 24 25 vessel? FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

MR. ENE: Correct. 1 2 MR. YOUNG: Okav. 3 MR. ENE: And in case of that one will not start, then I have the emergency fire pump which I can start it from the bridge. 4 5 MR. YOUNG: Okay. Interesting. 6 MR. GILES: And the fire pumps constantly charge. 7 MR. ENE: Yeah. 8 MR. GILES: The fire system is always charged, so --9 MR. YOUNG: How is that being charged? MR. ENE: It's under pressure all the time. 10 MR. GELLGAF: Under pressure all the time. 11 MR. GILES: Yeah, the pump, when it -- if it leaks down, the 12 pump will come on and pump it back out. 13 MR. YOUNG: So as soon as you open up a nozzle, it's on? 14 61~1192 MR. GELLGAF: It's on, yeah. 15 MR. YOUNG: Okay. How about ventilation? Had that been 16 17 secured, the engine room ventilation? MR. ENE: Due to the blackout, I think already all the 18 dampers been closed. 19 Gerliga The damper been closed and the guys should 20 MR. GELLGAF: close the manual dampes check and (indiscernible) -- if there's some leak from one 21 manual dampes Should be (indiscernible), the dampers are tightened. 22 MR. YOUNG: Okay. So electrically, when you lose electrical 23 power, the fans electrically stop. Are the dampers held open 24 25 electrically as well? FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

1 MR. ENE: Correct. 2 MR. YOUNG: Okay. 3 MR. ENE: And in case of that one will not start, then I have 4 the emergency fire pump which I can start it from the bridge. 5 MR. YOUNG: Okay. Interesting. MR. -GILES: 6 And the fire pumps constantly charge. 7 MR. ENE: Yeah. 8 MR. GILES: The fire system is always charged, so --9 MR. YOUNG: How is that being charged? 10 MR. ENE: It's under pressure all the time. Berligg MR. GELLCAF: Under pressure all the time. 11 MR. GILES: Yeah, the pump, when it -- if it leaks down, the 12 13 pump will come on and pump it back out. 14 MR. YOUNG: So as soon as you open up a nozzle, it's on? Ger 119a MR. GELEGAF: It's on, yeah. 15 16 MR. YOUNG: Okay. How about ventilation? Had that been 17 secured, the engine room ventilation? 18 MR. ENE: Due to the blackout, I think already all the dampers been closed. 19 GERTIGO 20 MR. GELLGAF: The damper been closed and the guys should 21 check and (indiscernible) -- if there's some leak from one (indiscernible), the dampers are tightened. 22 23 MR. YOUNG: Okay. So electrically, when you lose electrical power, the fans electrically stop. Are the dampers held open 24 25 electrically as well? FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

34 Gerliga 1 MR. GELLGAF. No. No, they are opened electrically, but 2 they're closed by springs. 3 MR. YOUNG: Springs. 621190 MR. GELIGAF: When we lose the power, they're closing by 4 5 springs. 6 MR. YOUNG: Okay. 7 MR. GILES: They only close. MR. YOUNG: Okay. And watertight doors, are they typically 8 9 closed underway? MR. ENE: Yes. Always underway they are closed. 10 MR. YOUNG: Okay. And fire screen doors? 11 12 MR. ENE: Fire screen doors, you can close them manually or you can -- locally or you can close them from the bridge by 13 automatic. 14 15 MR. YOUNG: And did that happen on the day of the fire? Were 16 they closed as well? 17 MR. ENE: The fire screen doors, because of the affected area was in the main engine room, we have only the watertight doors 18 19 over there, which they were closed. The fire doors were closed manually locally because they were in no-go area and they were 20 just closing that day. 21 22 MR. YOUNG: Okay. 23 MR. GILES: I'd like to add that the fire screen doors are really a judgment call because it impedes evacuation --24 25 MR. YOUNG: Got it. FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

38 1 MR. ENE: Yes. Out in -- yeah, at sea we run one. 2 MR. ROSEN: Okay. So which one did you turn on coming into 3 Portland? Do you remember? Do you recall? MR. ENE: Yeah, the 2, the number 2. 4 5 MR. ROSEN: The number 2? 6 MR. ENE: Usually run number 2. 7 MR. ROSEN: Okay. 8 MR. YOUNG: That's -- number 2 is the starboard? 9 MR. ENE: Yes, starboard side. 10 MR. YOUNG: We can shift our gears to the chief and ask some engineering questions now, if you're prepared. Or if you need a 11 break or some water or --12 13 MR. ENE: No, no, no. 14 MR. YOUNG: Okay. 15 UNIDENTIFIED SPEAKER: Do you guys need some water or something? 16 17 UNIDENTIFIED SPEAKER: I'm okay. am okay thank you 60-1198 18 MR. GELLGAF: Okay, I (indiscernible). 19 MR. YOUNG: So this is Brian Young with the NTSB again, 20 speaking with the chief. Chief, can you talk to us about how many years you have been sailing as a chief engineer? 21 Genliga 22 MR. GELLCAF: I started as work as engineer in 1992 and as chief engineer 2004, 2006, I don't remember exactly. And this hare started with ISP 23 24 is -- I see my ISP, ISPC my report, and since 2010. 25 MR. YOUNG: 2010? FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

39 Genelige MR. GELLGAF: 1 Yeah. 2 MR. YOUNG: And how long have you been working on these 3 vessels? Ger liga MR. GELLGAF: 4 On this vessels I came in 2019. 5 MR. YOUNG: 2019? 600-1199 MR. -GELLCAF: Yeah. 6 7 MR. YOUNG: Okay. And with your engine crew on this ship do 8 you have manned watches in the engine room or do you go unmanned? MR. GELLEGAF: We have manned watches, one duty engineer and 9 one motorman. 10 11 MR. YOUNG: And they're on watch all the time you're on 12 board? 60x1192 MR. - SELLGAF: 13 They're all the time on watch, yeah, 24 hours. after & MR. YOUNG: Okay. And do they do 4 hour watch, & 14 621198 MR. GELLGAF: 15 Four, that's usually the standard. Four hour watch is standard 16 17 MR. YOUNG: And when you're maneuvering -we have a maneuvering 624/198 18 MR. GELLGAF: When -- I am up me and chief electrician, we 19 are always in engine room for maneuvering. In the control --20 MR. YOUNG: In the 21 MR. GELLGAF: And control room for maneuvering and also for 22 the locks for rivers. 23 MR. YOUNG: Right. Okay. And when your crews do a 24 changeover of watch, say, at the 8 o'clock or the noon, do they do a checklist? 25 FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

40 have to complete the MR. GELLGAF: They  $\checkmark$  complete (indiscernible)  $\checkmark$  checklist. And 1 al30 the 2 my\_(indiscernible) engine logbook. 3 MR. YOUNG: In the logbook, too. Okay. And I think we had 4 talked a little bit about as you are at sea typically you'll run 5 two main engines? Gerliga 6 MR. GELLGAF: We're at sea, yes, typically we run two main 7 engine and one DG. 8 MR. YOUNG: One DG. And what's your -- and this might be 9 more for the captain, but what's your normal cruising speed? 10 MR. ENE: Ten knots. MR. YOUNG: Ten knots? And what kind of an engine load does 11 that have for the mains? 12 Engines berliga MR. GELLGAF: For the mains, the main engine has around 65 13 of sailing condition percent -- 65, 70 percent of load. It depends (indiscernible) 14 15 MR. YOUNG: And when you're at sea at 10 knots and you have a 16 hotel load of crew and passengers, is it okay to run one 17 generator? Gerlige MR. GELLGÄF: Yes. 18 It's more than enough. The generator is 19 designed for 1 mega and our maximum load is 400, 450 kilowatts; are runing with 20 600 in summertime when AC line is full power. 21 MR. YOUNG: Okay. And the two mains and the two auxiliaries, 22 are they all the same 35/16 engines? Genliga MR. GELLGAF: 35/16 engines, exactly same. 23 MR. YOUNG: Right. And the generators run at constant speed? 24 are runing with Gerliga 25 MR. GELLGAF: Generator run at constant speed and main engine FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

41 with Wariable speeds. 1 2 MR. YOUNG: Variable speed, yeah. And did you have any 3 excessive load on the way into Portland before the incident with 4 the generator? GERLIGA 5 MR. GELLGAF: No. 6 MR. YOUNG: No? GERLIGA 7 MR. GELLGAF: No, just everything as usual, the bow thruster and -- AC were in operation 8 9 MR. YOUNG: Okay. And then when you do run the bow thruster for maneuvering, you do start a second engine typically? 10 should start DG Bow Thruster GERLIGA MR. GELLGAF: Yeah. Also we do -- we can start only with D6. We should started 11 12 two  $\bigvee$ - start bow thruster with two DG online. 13 MR. YOUNG: Okay. And then after you arrive in port, the bow thruster shuts down and you can shut down the main engines and go 14 15 to one --6ER616A MR. GELLGAF: When we arrive in port, yeah, we shut down main 16 two DGonline 17 engines. Usually we have to, we shut down bow thruster, main engine. After, shut down one DG. 18 19 MR. YOUNG: One DG. And then for a hotel load sitting in 20 port one DG is okay? 6ERLIGA MR. GELLGAF: One is okay because we have in port 400 21 kilowatts. 22 23 MR. YOUNG: So about 400 kilowatts is a normal load? enough for everything GERLIGA It's every, every (indiscernible) 24 MR. GELLGAF: Yes. MR. YOUNG: And about what percent is that? Maybe --25 FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

42 GERLIGA 1 MR. GELLGAF: It's 40 percent. MR. YOUNG: Forty percent load on the engine? 2 of GERLIGA 3 MR. GELLGAF: Forty percent load. MR. YOUNG: And was that about the load at the time of the 4 5 incident? GERLIGA MR. GELLGAF: Yes. 6 7 MR. YOUNG: Nothing excessive? GERLIGA 8 MR. GELLGAF: Nothing excessive, no. 9 MR. YOUNG: Do the DGs put out 450 volt? Are they 450 volt 10 generators or how high? GERLIGA 11 MR. GELLGAF: 480. 12 MR. YOUNG: 480? GERGIGA MR. GELLGAF: Yeah. 13 MR. YOUNG: And then the morning after arriving and singling 14 up on the one DG, were there any alarms leading up to the 15 16 incident? alarm on DG#1 GERLIGA MR. <u>GELLGAF</u>: In the morning we have during maneuvering, we exhaust gas temperatures high gas temperature 17 gas temperature have high V- werseen an alarm because we have exhaust gets alarm 18 have 19 on starboard side DG. MR. YOUNG: Starboard DG? 20 GERLIGA 21 MR. GELLGAF: Oh, sorry, not starboard. Port side DG. 22 MR. YOUNG: Port side DG. 6ERLIGA MR. GELLGAF: On port side DG. When we finish with the 23 have inspected engine at 6:30, after that I inspect both generator myself just to 24 going on see what it is and to compare parameters between DG generators I 25 FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

couldn't see any abnormality. The temperature on exhaust gas, 1 yes, on the port side exhaust gas was higher than the ones on 2 3 starboard side. MR. YOUNG: So the port generator had a high exhaust 4 All cylinders had high exhast 5 temperature? Gerliga MR. GELLGAF: (Indiscernible), yeah, one cylinder had & difference 6 7 MR. YOUNG: On one cylinder? 602/198 MR. GELLGAF: One cylinder was low, another one was high. 8 After we do, I decide to stop the port side DG and start to 9 10 investigate what is the reason. MR. YOUNG: Okay. But no problems on the starboard 11 generator? 16A It wasn't any abnormal parameaters 12 DG MR. GELLGAF: Was on the starboard was -- starboard was at a 13 in limits 110 range. normalY The DG parameters were here and compared it with this port 14 15 side. MR. YOUNG: Okay. 16 6ERLIGA MR. GELLGAF: All exhaust was around 300, 320 degrees. 17 18 MR. YOUNG: Is that normal? GERLIGA 19 MR. GELLGAF: It's normal. 20 MR. YOUNG: Do you know what the normal bearing temperatures are underway for a generator running? 21 6ERLIGA MR. -GELLGAF: Well, generator running the temperature should 22 be around 186 Fahrenheit. 23 MR. YOUNG: 180-? 24 25 MR. GELLGAF: 186. FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

MR. YOUNG: And did you see any elevated bearing temperatures 1 2 on the starboard generator? 6ERLIGA 3 MR. GELLGAF: actually we don't have bearing reading. We have general lube oil 4 5 temperature. 6 MR. YOUNG: Okay. So you don't -- you can't see each 7 individual bearing? temperature GERLIGA MR. GELLGAF: You cannot see individual bearing because they 8 don't have a sensors choice for manual are just A- have just (indiscernible) checking, we're checking it infrared thermometar gun There were them 9 with (indiscernible) (was some) -- no any division between / 10 MR. YOUNG: Okay. And was the lube oil temperature, the 11 12 general lube oil temperature --GERLIGA 13 MR. GELLGAF: Then the general lube oil temperature was a little bit high. It was something 190, 192 degrees, but it's 14 in working range (indiscernible) clean it. 15 MR. YOUNG: Okay. And was that different than any other day 16 17 or is it --MR. GELLGAF: It always, it always has difference with lube 18 between D6 oil temperature $\mathcal V$  On the starboard side usually it's 19 (indiscernible). few degrees higher compare with port side 20 MR. YOUNG: Okay. GERLIGA have cleaned the coolers 21 MR. GELLGAF: We clean coolants and everything because to 22 Inspected make a judgment, you know, of the bearing ( But it was still safe 23 condition in the limit, safe limit. 24 25 MR. YOUNG: Okay, still within the limit? FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947
45 GERLICH 1 MR. GELLGAF: Still within the limit. 2 MR. YOUNG: Okay. And then after arriving in port the ship's 3 electrical load is on the starboard generator. GERLIGA 4 MR. GELLGAF: Yes. 5 MR. YOUNG: The port generator was secured. GERLIGA The generocitor disconected from Swith board MR. GEBLGAF: (Indiscernible), was just v- yes, werput tube Engine to cool down mode after disconnection 6 7 oil on the -- disconnect generator from the bus bar. I sent mode 8 motorman, my engineer to put it to cool down load. And just went the to also open deck when V- just went out from engine room to open 9 to the brigge Defore lie Run to engine room to deck because captain called me. After this, this is, yes, some check situation engine room myself 10 check Situation 11 ship preparation and look outvat same time. he met duty engineer in banker met 12 I just ran back when is (indiscernible) station, I have Vmy reported to me STBD generator STBID generator 13 third engineer, he report (indiscernible) engineer at the fire. Т have just went, same time I went down to control room to check the 14 security V and close -- to check security because to be sure the 15 0000 area is isolated, I close main engine watertight doors same -16 have a lot of smoke in ER ACroom between the engine control room and I seenthe, I seenit was -- the 17 has engine room Vzero visibility. You know, some smoke was coming, was to ECR of fire but we have smoke in 18 comingVbecauseV this was a very little bit to the control room. 19 MR. YOUNG: Right. Right. 20 guick closing valves GERLIGA 21 MR. GELLGAF: After, went up, check the shutdown of V--, we'c'/e WTD Stop ER foredlise CO2 have closing/12 and the engine fans. And then we had to prepare --22 then I have reported check evacuation of engine personnel, and they report to command 23 center that engine, that engine space has evacuated and CO2 [ prepedred the CO2 system [ fis 24 have  $\gamma - they$  are ready to release. 25 FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

46 1 MR. YOUNG: Ready to release? GERLIGA 2 MR. GELLGAF: Yes. 3 MR. YOUNG: And so you did activate the quick closing valves 4 for the fuel system? GERLIGA 5 MR. GELLGAF: For the fuel system, actually, yes. But lie 6 actually they was closed automatically when  $\ne$  went down. 7 MR. YOUNG: They do\_automatically close?, I're switched of manualy from lockal panels GERLIGA 8 MR. GELLGAF: Yeah, but just to be sure, I-was a manual, he check manual --- check the manual activation of all engine room system. 9 10 MR. YOUNG: Okay. And is that activated from the control 11 room? of the ship LERI, 16A MR. GELLGAF: No. We have emergency station on port side V 3 fair casing On the way to bunker. It's on the way to ER to -- inside muster station was a way -- after the weather door to 12 13 14 control room. MR. YOUNG: Okay. And so the quick closing valves had 15 16 automatically closed? GERIIGA MR. GELLGAF: Everything. 17 Everything. Yeah, quick closing fueloil forns valve, all engine vpumps -- all engine vpumps, and also the zone for 18 Dire Which activation 19 fzone of what will be the response for all ships, evacuation will 20 be started from there. MR. YOUNG: Okay. And then the CO2, you said you had prepare 21 22 to go, right? 23 MR. GELLGAF: It depends, I open the door to CO2 room and have acssee COZ cylinders keep it open to  $\bigvee$ - if in case it needed to dump $\bigvee$ faster. 24 25 MR. YOUNG: Okay. FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

master station. he recieved the order from captain to start 47 ventilation for ER. 1 MR. GELLGAF: We were at 19 to 20 percent (indiscernible) and put the ER fans in operation. The order was given for we can pull the (indiscernible) in command center, command 2 center has given the order. 3 10UNG: Understood. Understood. to open the door from STB' funker station to ER 4 MR. YOUNG: MR. GELLGAF: But, yes, we all try V- when fire team told us Ventiled ion rectricted actses door. When 5 6 that we need to start evacuation, it was to open the -- the door bunklir 7 was open, and door from starboard side muster station. I was main trying to put emergency DG generator on the bus bar but load was 8 9 too high. 10 MR. YOUNG: Um-hum. You're trying to back feed the emergency 11 generator? to Main Switch board from GERLIGA MR. GELLGAF: Back feed the emergency DG. 12 13 MR. YOUNG: To provide power to the ship's (indiscernible) The was unsuccess ful GERLIGA 14 This was, yes, Vresult 15 (indiscernible). Because later when we have chance to enter to control room, I switch off all breakers which remains on and we 3tarted electrical supply for Lighting 16 17 provide power to main switchboard and we start establish it and engine fans. 18 19 MR. YOUNG: Okay. The starboard generator, we understand 20 that a connecting rod exited the crank case and --GERLICA 21 MR. GELLGAF: Yes. 22 MR. YOUNG: -- damaged the block. What cylinder area was it? beeliga MR. GELIGAF: Could see 23 Cylinder number 13, and it's exactly we should (indiscernible), it's in number 13. 24 25 MR. YOUNG: Thirteen? FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902

Balt. & Annap. 410-974-0947

48 GERLIGA MR. GELLGAF: Thirteen. And the crank case door broken. 1 chol # 13 cylinders on same crankpin journa crancasecloor 2 This is same is considered the number 14 (indiscernible) The crank case door was --3 MR. YOUNG: was brouken GERLIGA MR. GELLGAF: Crank case door / yeah. 4 5 MR. YOUNG: And can you recall the last time that any work 6 had been done on the main bearings? runcing hours for last month GERLIGA :110 7 MR. GELLGAF: On the main bearings you have -- I have k- of it in report for 8 running hours, they came just last month. It's around 9 90,000 -- 13,900 plus 400. Last month it was 13,900 plus 400. From this month's it will be 14,300 running hours. 10 MR. YOUNG: So about 14,300 hours since the last time the 11 bearings were --GERLIGA 12 13 MR. GELLGAF: Yes. MR. YOUNG: -- inspected or --14 MR. GELLGAF: Inspected(indiscernible) by CATtechnicians 15 16 MR. YOUNG: And how many hours are on the engines now? Or 17 the generators, the --GERLIGA We MR. <u>GELLGAF</u>: Generator you used to run about -- something or no 3000 running hours since last TopEnd overhaul 18 like 2,000 -- (indiscernible) this is 3,000 running hours. 19 20 MR. GILES: In 2019, a main in-frame overhaul was done and that's where that 13 hour, -- 13,000 hours, since that in-frame. 21 GERGIGA Still MR. -GELLGAP: Since the in-frame. 22 23 MR. YOUNG: Okay. 24 MR. GILES: And then we did -- the beginning of this year, we 25 did a top end. FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

49 604/148 MR. GELLGAF: 1 Top end. 2 MR. GILES: Which has got like 3500 hours on it. 3 MR. YOUNG: Since the top end? 4 MR. GILES: Since the top end. MR. GELLCAF: 5 One half of estimated service period for top end over overchaul (indiscernible) 6 7 MR. YOUNG: Okay. And during the top end overhaul were any 8 of the conrod bearings or main bearings opened or inspected 9 whatsoever? They don't --6001148 MR. GELLGAP: 10 No. 11 MR. YOUNG: -- touch them for that --Gerliga MR. GELLGAF: 12 Usually no. MR. YOUNG: And do you base your maintenance, engine 13 14 maintenance on engine hours or fuel consumption? Con liga 15 MR. GELLCAF: Fuel consumption. 16 MR. YOUNG: Fuel consumption. maintenence intervals 6 er 1192 MR. GELLGAF: But actually we do have between (indiscernible) Limits Grunning house and fuel consumption 17 It's (indiscernible) 18 MR. GILES: average value for service internals 6221148 MR. GELIGAF: We have thousand, a thousand (indiscernible) 19 between fuel consumption. cind raming hours. 20 MR. GILES: We're less than what fuel consumption says, but a 21 little bit more than the hours, so --22 Gerliga MR. GELLGAF: Yes. 23 MR. YOUNG: 24 Okay. 25 MR. GILES: But the --FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

50 GERLIGA Service according the 1 MR. GELLGAF: Something, something manual. 2 MR. YOUNG: Some things. So when would the bearings be due 3 next to have inspection on the main bearings? 4 Next? They're -- from around 30,000 hours. MR. GILES: 5 MR. YOUNG: Thirty. So you're about halfway to any bearing 6 maintenance? 7 MR. GILES: Yeah. 8 MR. YOUNG: And the in-frame in 19- -- do you have the 9 service records from it, history? 10 MR. GILES: (Indiscernible) 11 MR. YOUNG: Okav. It's in that file that I --12 MR. GILES: 13 MR. YOUNG: And was that done by ship's crew or by some sort of service type --14 done by CAT technician 6ERLIGA 15 MR. -GELLGAF: No, it was 16 MR. GILES: Force Power out of Houma, Louisiana. GERLIGA 17 MR. GELLGAF: Force Power in Louisiana. 18 MR. YOUNG: Okay. And then the top end, how about that? 19 MR. GILES: Blanchard Machinery out of Sellersberg [sic], 20 South Carolina. Sellersberg. MR. GELLGAF: I don't think -- It was in Charleston GERGIGA 21 22 MR. GILES: Charleston. GERLIGA 23 MR. GELLGAF: Charleston. 24 MR. YOUNG: I think we talked the other day, but you do a 25 regular lube oil analysis? FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

51 GERGIGA 1 MR. GELLGAF: Yes. By a monthly basis. 2 MR. YOUNG: Every -- monthly? 6ERLIGA 3 MR. GELLGAF: Every month. 4 MR. YOUNG: And I think you had shown me the most recent and 5 there were --GERLIGA The lube oil sample have sent regulary MR. GELLGAF: (Indiscernible) but the resultion- let me see. MR. GELLGAF: (Indiscernible) but the resultion- let me see. MR. GELLGAF: (Indiscernible) but the resultion- let me see. 6 the oil, we 7 Oh, for the meters, the (indiscernible) is contaminate  $d-\gamma$  have one 8 contamination going down. 9 MR. YOUNG: Okay. And I think it came back as good or no issues on the last one. Have you had any issues with any lube oil 10 reports that you can remember? 11 GERLIGA MR., GELLGAF: No. Never. 12 Two years ago, we have high copper contents cooler 13 contained in oil because we put new coolant. ofit 14 MR. YOUNG: Okay. GERLIGA MR. GELLGAF: , We cannot found what, it, is the reason after. 15 *cooler* the oil has started copped coolery If we put new coolant, then we have to wash cap from the coolant coolen's 16 17 pipe. MR. YOUNG: Yeah. Okay. That makes sense. 18 MR. GILES: I will add, too, these engines have a Alfa Laval 19 bowl centrifuge that's tied to all the engines, and you can select 20 21 one at a time. So we run that all day for 2 or 3 days, and then we go to another engine and then another. So that lube oil is 22 constantly getting purified. 23 MR. YOUNG: Purified. Okay. And that's running whether the 24 25 engine is running or not --FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

52 1 MR. GILES: Right. MR. YOUNG: -- the purifier? So the main engines and the 2 3 generators -change them. Geneliga per MR. GELLGAF: Once & day we 4 5 MR. YOUNG: -- are purified? Gerlige MR. GELLGAF: 6 Once a day we put one of main engines and --another day port or starboard, and one of auxiliary engines. 7 8 MR. YOUNG: Okay. 9 MR. GILES: And the generators, too, are fitted with pretty 10 good pumps. MR. YOUNG: They are? GERLIGA with prelubrication 11 started without or MR. -GELLGAF: Yes. It fitted to a pumps, so it cannot -- in 12 13 automatic mode you cannot start the engines before putting the In operation and bring the oil pump brings the pressure up. 14 MR. YOUNG: Okay. So when you hit the start sequence, the 15 16 pre-lube\_comes on? manyaly 6ERLIGA 17 MR. GELLGAF: Pre-lube pump, right. We pre-lube before -before start the engine, we run pre-lube pump in manual mode. 18 pre-lub pumpruns 19 MR. YOUNG: Okay. GERLIGA One minute, 2 minutes, (indiscernible) to after 20 MR. GELLGAF: in outo mod start, and it's -- it's starting for 5 seconds and after because 21 011 In system 22 already it has pressure and it's easy, you know, to start. 23 MR. YOUNG: Okay. Okay. That's good. And how often would you say the engines get purified? Is it every few days? 6ERLIGA a proceedure the ortennations 24 MR. GELLGAF: Every few days. 25 This was -- this is already FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

53 down, We analysis reports. Oil are falling. It can -- was getting better and better. 1 MR. YOUNG: Right. Right. situation 2 3 MR. GELLGAF: Usually you have opposite like. MR. YOUNG: Right. Right. *CERLIRA We* oil and lisis reports 4 5 MR. GELLGAF: You have to repair it. MR. YOUNG: And on the fuel, do you burn like diesel fuel? *GERGICA vetra low subfur ME* MR. <del>GELLGAF</del>: Diesel (indiscernible) also for --6 7 8 MR. YOUNG: MDO or MGO or something? 9 MR. GILES: MDO. MR. YOUNG: MDO. Do you have any records of any of the -- on 10 11 the starboard generator of the journals on the crank shaft being 12 cut down? GERLIGA MR. GELLGAF: No. Unfortunately, no. 13 14 MR. YOUNG: You don't know? records 15 MR. GELLGAF: We don't have any measurement position. 16 MR. YOUNG: Okay. 17 MR. GILES: I have a note to request that from the firm that did the in-frame. 18 MR. YOUNG: Okay. 19 20 MR. GILES: They can provide that information. MR. YOUNG: Okay. Just one of the things to check off to 21 22 rule out. MR. GILES: That was prior to us taking over technical 23 24 management, so we're able to deal with the previous company and that firm to get that. 25 FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

1 MR. YOUNG: Okay. Great. 2 MR. GILES: Hopefully they have it. 3 MR. YOUNG: And your engine monitoring system down in the 4 control room, I think it was called IMax? GERGIGA IMACS 5 MR. GELLGAF: It was EMax. 6 MR. YOUNG: EMax. Does that have the ability to graph or 7 trend any temperatures or -- of the engines? GERLIGA 8 MR. GELLGAF: Yeah, but they need to do it with it running. 9 MR. YOUNG: With it running. Okay. 10 MR. GILES: No, we can pull history. atarms in history files GERLICA MR. GELLGAF: We have a list of (indiscernible) 11 12 MR. YOUNG: And you can do exhaust temperatures, right, on each cylinder? 13 GERLIGA MR. GELLGAF: No, exhaust to temperature not connected to 14 IMACS 15 EMax. 16 MR. GILES: Oh, it's not? GER1,16A 17 MR. GELLGAF: It's not. 18 MR. YOUNG: And you said for bearings there were no sensors 19 on the bearings? GERLIGA 20 MR. GELLGAF: No sensors on the bearings. Noise, we don't any abnormal sound from the Engine any abnormal noisp MR. GELLGAF: have (indiscernible), we don't have noise detector. 21 22 MR. YOUNG: Okay. 23 MR. GILES: There's a common exhaust temperature that we can trend and then there's the, you know, the whole temperature we can 24 25 trend, but the pyrometers are restricted to the LOPE. FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

54

MR. YOUNG: Okay. And did these have any ECMs on it that 1 might have recorded any abnormalities within the engines? 2 3 MR. GILES: We -- maybe the Cat guys downloaded those reports 4 and I put them in that folder. But yeah, so whatever's in 5 there -- whatever it picked up is in that report, so --6 MR. YOUNG: And were you or was the service tech able to look 7 at them and say they noticed anything or have they not yet been 8 accessed? 9 MR. GILES: We haven't got that far. 10 MR. YOUNG: Okay. Okay. MR. GILES: Maybe he did. He didn't share it with me. 11 But I 12 didn't see -- nothing jumped out at me on a quick review. 13 MR. YOUNG: Okay. 14 MR. GILES: But I haven't had a chance to really dive in. 15 MR. YOUNG: Right. Right. And do you have a port engineer that you work with, someone shore side? 16 17 MR. GILES: Here he is. 6ERLIGA MR. GELLGAF: He's --18 MR. YOUNG: So if you need maintenance on the engine and if 19 20 it's coming due for, say, some maintenance that requires shoreside 21 assistance, how would you -any assistence WP GERLIGA 22 MR. GELLGAF: Well, if you need (indiscernible) from reguest WP Dietrich, you can (Indiscernible) shoreside assistance. 23 MR. YOUNG: Okay. And you usually send an email or does your 24 25 maintenance system automatically --FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

55

56 GERLIGA e-mail and comunicate MR. GELLGAF: No, send in command. 1 2 MR. YOUNG: Okav. And do you have a computerized maintenance 3 system? GERLIGA MR. GELLGAF: 4 No. 5 MR. YOUNG: No. So how do you know when it's time to --GERLIGA 6 MR. GELLGAF: Oh, the Excel tables. 7 MR. YOUNG: Excel? MR. GELLGAF: 8 Excel tables. 9 MR. YOUNG: Based on running hours, maybe it's time to check 10 the filters or --6ERLIGA MR, GELLGAF: The running hours. The filter is, yes, yes, fifters checkell 11 12 but covered also by pressure differential. MR. YOUNG: Okay. Okay. fifters have replaced 13 I think that was in place 10 -- 10, any founding particles of 14 MR. GELLGAF: 12 days ago Was no way knowing if crack of (indiscernible) 15 and was inspected. metal or something. 16 MR. YOUNG: Right. bearing failure 17 MR. -GELLGAF: But usually before 7- if you have bearing mage 18 damage (indiscernible) first to track its pressure differentials on 19 not Up computer, have to go (indiscernible). pressure difference was 16 pc/ It was Vin the morning, 11 20 or (indiscernible) or 20 percent. I don't remember. 21 MR. YOUNG: Okay. I think just -- when the engine failed, 22 you said you were out of the engine room getting coffee, maybe. 23 MR. GELLGAF: Yeah. 24 MR. YOUNG: Other than the sound of the connecting rods 25 FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

1 leaving the engine, were there any other sounds that people 2 reported that they heard prior to the incident? Engine Room ] GERLIGA DAY sound t coming backfrom ER Engine R. MR. GELLGAF: No! It was just -- I was came from -- was coming backfromER 3 Inspected 11e called to the engine room. V Came to control room, switch off from Δ The to duty engineer #1 the generator vfrom the generator panels. V Told (indiscernible) put 5 Stop 11 DG the engine to cool down to see (indiscernible) number 2 has 6 run (indiscernible). Put it to cool down and went -- I went exactly, 7 Stop DEAL for maintenens 400 I say, okay, (indiscernible) stop 8 it was 4 minutes or something. sciddenly in few minutes it, stop engine number 1. And after sudden -- 1-minute, I can see 9 history on the alarm, Vit is very close. 10 MR. YOUNG: And the two -- the engineer and the motorman were 11 12 in the engine room. GERLIGA 13 MR. GELLGAF: Yes. MR. YOUNG: What was their job? 14 GERLIGA 15 MR. GELLGAF: Prior to the explosion, they start preparing DG tools for number  $1_{i}^{\gamma}$  and at that time they observe smell of oil and 16 17 leaks from crank case door of cylinder number 12. MR. YOUNG: A smell of fuel and? 18 GERUGA MR. GELLGAF: Oil. 19 MR. YOUNG: Oil. They smelled oil? 20 6ER416A 21 MR. GELLGAF: Smell oil and found the bolts from Grancase door 22 (indiscernible) was come out. And they start to tighten the bolts 23 so don't have oil leak. 24 MR. YOUNG: On the starboard engine? On the starboard 25 generator? FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

57

58 6ERLIGA MR. GELLGAF: Starboard generator, yeah. 1 2 MR. YOUNG: And is that --He 6ERLIGA 3 MR. GELLGAF: One of -- the motorman which has injury, she staging crancase door was to to stay exactly on the front of --, on the number 14 4 close to 5 cylinder. And the engineer, he was <del>on</del> the number 12 cylinder CRANCESE door 6 (indiscernible). 7 MR. YOUNG: Okay. And it might have been lube oil that was leaking out of the crank case door? 8 GERLIGA Loosen MR. GELLGAF: It was bolt -- yes, crank case door was 9 spraying lube oil. 10 11 MR. YOUNG: And has that -- is that a new leak that has suddenly come or how -sciddenly happened dosn't hav agy before 12 GERLIGA MR. GELLGAF: No, Just sudden this door V(indiscernible) leak. 13 14 MR. YOUNG: It just started --GERLIGA Suddenly 15 MR. -SELLGAF: Sudden, just suddenly appear. MR. YOUNG: Okay. And was that the only place it was leaking 16 or there were other places where there was oil? 17 GERLIGA MR. GELLGAF: No. Only here. 18 19 MR. YOUNG: Okay. And was it spraying out or just dripping? GERLIGA 20 MR. GELLGAF: It just was a drip, dripping. 21 MR. YOUNG: Dripping. But they initially had gone to the 22 engine room to prepare to work on the port generator? GERLIGA 23 MR. GELLGAF: Yes, yes. MR. YOUNG: But while they were down there, they noticed --6ERLIGA They show Id prepared the tools properly 24 MR. GELLGAF: Yes. So prepare two -- priority, of course we 25 FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

59 DE investgate the 06 need to explain this starboard side  $\sqrt{-}$  or, sorry, this port side. 1 2 MR. YOUNG: Okay. GER616A Wag MR. GELLGAF: This point is number 1 and we need to see 3 4 what's happened. 5 MR. YOUNG: Understood. And it was at that time when they 6 were changing or --They were GERLIGA Yeah, yeah, V starting looking for the tools, for 7 MR. GELLGAF: ect the spare parts, and --. 8 MR. YOUNG: Okay. I have all my questions. Thank you. 9 10 Thank you for your time. 11 Just two questions for me, Chief. What was the MR. motorman working on the number 1 generator, what was he doing to 12 that? Planning to do to that? 13 work on D6 GERLIGA were MR. SELLGAF: We was planning to  $\stackrel{\vee}{-}$  number 1, I was planning 14 filter 15 to open the charger unit, open one already. MR. 16 Yeah. GERGIGA MR. GELLGAF; To check the condition, to check 17 gas side on thurbocharders and (indiscernible) the charger condition of the compressor. 18 Okay. Checking the compressors? 19 MR. GERGIGA 20 MR. GELLGAF: Checking the condition of the compressor part. 21 MR. : Okay. So there was nothing wrong that you knew of on that generator? GERLIGA 22 23 MR. GELLGAF: No. They were just checking it? 24 MR. GERLIGA 25 MR. GELLGAF: Just checking it to found what the FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947

60 reasonof high exhaust temperature temperatures on engine were (indiscernible) and the other one to -- because all engines was 1 2 higher. 3 Okay. MR. coolers planing GERLIGA 4 MR. -GELLGAF: The was to open the cooler- to check condition coolegos 5 of air coolant. 6 MR. Air coolant. with with ER LIGA 7 After proceed to this -- if don't succeed to MR. GELLGAF: this one, proceed to cut out (indiscernible). But it was not 8 happened 9 reusable. 10 MR. Okay. And the last question is, you said the starboard generator is running in port. Is that always the 11 generator that used when it's in port or do you alternate? 12 Any of them 6ERLIGA 13 MR. GELLGAF: Some -- mostly, we, use to run starboard side to next over haule 14 bring the running hours to (indiscernible) 15 MR. Okay. So you do alternate generators in port? 16 MR. GELLGAF: Yeah. Mostly we use to run starboard, yeah. 17 MR. But mostly the starboard? 18 MR. GELLGAF: Mostly the starboard. 19 Okay. Okay. MR. We change it, sometimes we change it to do 20 MR. GELLGAF: STBD SICLEDE maintenance on the --21 22 Okay. That's all I have. MR. 23 Yeah, I just have one. I didn't see it down MR. ROSEN: 24 there, but there's no oil mist detector on --GERLIGA 25 MR. GELLGAF: No oil mist detector on this kind of engine and FREE STATE REPORTING, INC. Court Reporting Transcription D.C. Area 301-261-1902 Balt. & Annap. 410-974-0947