



National Transportation Safety Board
Washington, D.C. 20594

June 22, 2022

Mr. Francisco Sanchez:

Reference: **Interview Regarding the August 15, 2021, Coolidge, Arizona Pipeline Rupture and Fire - NTSB case number PLD21FR003**

Attached is a transcript of your interview on August 18, 2021 as a part of the on-going investigation of the above referenced accident. Please review the transcript for accuracy and make any necessary editorial changes.

You may either reference the relevant page and line number along with the suggested change or redline a copy of the document. Please initial any changes when marking up or redlining the original document.

When replying be sure and checkmark one of the three statements below, even if you have no changes.

Please submit replies to me via email no later than **July 8, 2022**.

I have reviewed my transcript(s) from the above referenced accident and...

I have no comments to make.

My comments are submitted herewith.

My comments are marked on the attached copy.

Please note that these transcripts must be treated as confidential at this time. These transcripts are for your use only, and not for release outside of the investigation. If you have any questions, please contact me by phone or email.

Thank you for your assistance and cooperation,

Alex C. Colletti

Pipeline Accident Investigator
National Transportation Safety Board
Office of Railroad, Pipeline, and Hazardous Materials Investigations
[REDACTED], SW
Unit [REDACTED]
Washington, D.C. 20594



UNITED STATES OF AMERICA

NATIONAL TRANSPORTATION SAFETY BOARD

* * * * *

Investigation of: *

*

NATURAL GAS PIPELINE RUPTURE *

IN COOLIDGE, ARIZONA, *

Accident No.: PLD21FR003

ON AUGUST 15, 2021 *

*

* * * * *

Interview of: FRANCISCO SANCHEZ, Electrical Controls Tech IV
Kinder Morgan

Casa Grande, Arizona

Wednesday,
August 18, 2021

APPEARANCES:

RACHEL GUNARATNAM, HAZMAT Investigator
National Transportation Safety Board

JOHN PEARCE, Representative

TIFFANY BAKER, Program Analyst
FMCSA

DAVID CARROLL, Operations Manager
Kinder Morgan

RYAN WEIGHT, Senior/Lead Investigator and Inspector
Arizona Corporation Commission's Pipeline Safety Section

I N D E X

<u>ITEM</u>	<u>PAGE</u>
Interview of Francisco Sanchez:	
By Ms. Gunaratnam	5
By Ms. Baker	19
By Mr. Carroll	26
By Mr. Weight	29
By Ms. Gunaratnam	34
By Ms. Baker	38
By Mr. Carroll	39
By Mr. Weight	41

I N T E R V I E W

(10:44 a.m. MST)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MS. GUNARATNAM: Good morning. My name is Rachel Gunaratnam. I'm a HAZMAT investigator with the National Transportation Safety Board out of Washington, D.C.

Today is August 18, 2021, and the time is 10:44 a.m. Mountain Standard Time. We are currently at the Radisson Hotel in Casa Grande, Arizona. We here in response to the natural gas incident that occurred on August 15, 2021, in Coolidge, Arizona.

Today we are interviewing -- and if you could say your name and spell it for the transcriber?

MR. SANCHEZ: Yes. Francisco Sanchez, F-R-A-N-C-I-S-C-O, Sanchez, S-A-N-C-H-E-Z.

MS. GUNARATNAM: And you are free to have a representative to consult with you during the interview. Is there anyone here that you would like to be your --

MR. SANCHEZ: Yes. John Pearce.

MS. GUNARATNAM: Okay. John, can you --

MR. PEARCE: John Pearce, P-E-A-R-C-E.

MS. GUNARATNAM: Thank you. And I'll go ahead and introduce -- go around the room for introductions.

MS. BAKER: All right. I'm Tiffany Baker, T-I-F-F-A-N-Y, B-A-K-E-R. I'm a program analyst with PHMSA Southern Region out of Atlanta, Georgia.

MR. CARROLL: I'm David Carroll, D-A-V-I-D, C-A-R-R-O-L-L,

1 and I am the operations manager for the Phoenix area for Kinder
2 Morgan.

3 MR. WEIGHT: Ryan Weight, R-Y-A-N, W-E-I-G-H-T, and I am a
4 lead senior investigator and inspector for the Arizona Corporation
5 Commission's Pipeline Safety Section.

6 MS. GUNARATNAM: Okay. Thank you.

7 INTERVIEW OF FRANCISCO SANCHEZ

8 BY MS. GUNARATNAM:

9 Q. So just to let you know, the purpose of this investigation is
10 to improve safety. We don't assign fault, blame, or any
11 liability. Our sole mission is to improve and prevent these
12 accident -- improve transportation safety and prevent these
13 accidents from happening again. Unfortunately, NTSB cannot offer
14 any guarantee of confidentiality or immunity from any legal
15 proceedings by other agencies, local, state, or federal.

16 A transcript of this interview will be placed on our public
17 docket, where you can access it, but I'll be sending you a copy of
18 that for you to review. You can read it and say, "Hey, the
19 transcriber didn't get this right," you know, and then you can
20 make your correction, or whatever, and send it back to me.

21 A. Okay.

22 Q. And I'll get your e-mail off the record. So do you have any
23 questions?

24 A. No.

25 Q. Okay. Great. All right. We'll go ahead and start. Tell me

1 a little bit about yourself professionally. Tell me about your
2 time with Kinder Morgan, your title, and then after that, just
3 kind of go back into your other career jobs, and stuff like that.

4 A. Okay. I'm currently an electrical controls technician, level
5 4. I've been with the gas company 20 years. Prior to my current
6 position, I was the operations supervisor for Phoenix area before
7 that, I believe, from 2014 to 2020, I believe. Then prior to
8 being a supervisor, I was ~~a~~^{an electrical and FS} ~~electronic~~ controls technician, or
9 controls tech for El Paso Natural Gas.

10 I started my career in 1993 at Gila Compressor Station. Then
11 transferred over to Casa Grande Compressor Station. Then I've
12 worked in the Tucson area in 2000, 2004, and I've been back here
13 in Phoenix since 2006. ~~Mostly~~^{Most of FS} my knowledge is in compression and
14 turbines. As I moved up through to the pipeline area, I picked up
15 knowledge in the pipeline in Tucson --

16 Q. Okay. Sorry. You were a control tech?

17 A. Controls technician.

18 Q. Oh, for Kinder or --

19 A. For El Paso Natural Gas prior to --

20 Q. Oh, right.

21 A. So El Paso ~~quality~~^{I was a FS} controls technician. Kinder Morgan calls
22 it electrical and controls.

23 Q. Got it. And that was El Paso with -- you were with them --

24 A. From '93 to 2012.

25 Q. 2012. Got it. All right. Thank you. All right. Could you

1 describe -- oh, what is your education?

2 A. Excuse me?

3 Q. Your education?

4 A. Just high school

5 Q. Okay.

6 A. Yeah.

7 Q. Can you describe your training qualifications --
8 certifications?

9 A. Oh, while I was a controls technician when in El Paso, we had
10 to pass the electrical journeyman's test in New Mexico to become
11 electricians. Had to take the Narti-4 (ph.) test for
12 communications to work on electronics. Then just throughout the
13 on-the-job training with El Paso and Kinder Morgan, they sent me
14 to various schools.

15 As a technician, I had to learn to maintain, operate PLCs for
16 the turbines, so it's (indiscernible) Rally (ph.) programming,
17 and call it man/machine interface that you analyze is -- you have
18 a program called Wonderware, and so I had to learn how to operate
19 that program, as well, to help gas control -- gather information
20 from the stations so you can monitor (indiscernible). Other than
21 that, it just, just throughout the years, you have on-the-job
22 training experience.

23 Q. Okay. Great. Have you ever worked with line 2000?

24 A. Yes.

25 Q. For how long?

1 A. Since we took over in 2000.

2 Q. Oh, okay. All right.

3 A. Yeah. So my first involvement was just working in the
4 plants, and then I worked in doing actual pipeline maintenance.

5 Q. Okay. Like pipeline maintenance?

6 A. Yeah, and right-of-way, and controls, yeah.

7 Q. Okay. Yeah. So in 2000, did line 2000 get -- were there any
8 repairs on line 2000 in that, in that incident location?

9 A. Oh, I don't know --

10 Q. Not familiar? Okay. All right.

11 A. No. I wasn't involved at that time. I was mostly in the
12 plant, so, yeah.

13 Q. Okay. All right. When did you start moving into the
14 pipeline stuff?

15 A. Probably in -- probably 2001, 2002, when I was in Tucson. I
16 was -- started getting involved to helping converting the 1100-003
17 (ph.) and the 1600 line, converting them over to make them ^{FS}In line inspection
18 capable. So that's when I started working the pipeline stuff.

19 Q. Okay. Great. All right. So now going to what happened on
20 August 15th.

21 A. Okay.

22 Q. If you could just tell us about your day, you know, the point
23 where you first got notice of the incident and, you know, who
24 called you, times, how you traveled, that kind of thing. So give
25 us as much detail as you can.

1 A. Okay. Dave Carroll called me at 5:45 Sunday morning, put me
2 on a conference call with gas control to, to discuss the line
3 pressure. And then, then, of course, that's when I heard that
4 there was a fire, too, as well. So after that conversation, I got
5 ready, and I proceeded to drive out to the rupture site, or the
6 area they gave me. And as I drove from my house, I could see the
7 fire from the house.

8 So at that time, I decided to go ahead to go to valve 39 and
9 start doing the line isolating. And as I left my house, I called
10 Kenny. Then I told him to go ahead and go to valve 38. So I got
11 to the valve 39 and got it to -- I got it closed at 6:29. And
12 then that's -- I made contact with Dave, and I told him that the
13 valve was closed at that time.

14 So prior to -- the way to put the fire out was we had to blow
15 the pipeline down. Prior to blowing the pipeline down, I knew we
16 had several taps along the -- from there -- between there and the
17 rupture site that we had to isolate. So then after I got the
18 valve closed, another ^{co-worker} ~~corporate~~ came in. I told him to get the
19 valve -- or get the blow-off read to blow down, and I'm going to
20 go down the pipeline and start ^{to} ~~popping and~~ isolate the line. And
21 so I started moving towards, towards the east at that point.

22 Q. Where is valve 39 exactly?

23 A. It's just off of [REDACTED] and [REDACTED] Road, [REDACTED] corner.

24 Q. How do you spell [REDACTED]?

25 A. [REDACTED]

1 Q. Oh, [REDACTED] [REDACTED] Road. Was anyone with you?

2 A. Rogelio Chavez (ph.) was there with me.

3 Q. Okay. Who called him?

4 A. I called him at 6:12.

5 Q. Okay. To come join you at valve 39?

6 A. Yes.

7 Q. Oh, okay. So when you got to valve 39, can you tell us how
8 you went about the steps you took to close the valve?

9 A. Yes. I got there, opened the gate, needed a wrench, so I had
10 to go back to my truck and get a wrench to open up the valve for
11 the power gas so I could not break the valve. Opened up the power
12 gas, proceeded to pull the handle to pneumatically close it. We
13 did not have enough pressure to actually get the valve to unseat
14 (ph.), so I shut the power gas off. Then I put in manual, started
15 using the hydraulic pump, and I got the valve to move
16 hydraulically, and we took it off the seat. Then I turned the
17 power gas back on, pulled the handle. Then the valve closed by
18 itself --

19 Q. Okay. And then how do you confirm?

20 A. There's an indication and it just stops. You can actually
21 feel the valve, it just stops, and it was closed.

22 Q. Okay. And you said you left your house. Where is your
23 house?

24 A. I'm about [REDACTED] miles away.

25 Q. [REDACTED] miles, you said?

1 A. [REDACTED] miles.

2 Q. [REDACTED] miles.

3 A. Maybe a little bit less than that. I don't know off the top
4 of my head. I left around -- it was after 6:00 by the time I got
5 ready and left my house.

6 Q. Right. Okay. So after valve 39 was closed, you went towards
7 the fire -- well, in that direction?

8 A. Well, I was going, going in the direction of the --

9 Q. Yeah, and you started bleeding out --

10 A. No, I started, I started to close -- verify that if there's
11 any, any ~~tap~~ ^{taps FS} off that line, so I wanted to make sure that those
12 valves were closed.

13 Q. Do you remember how many?

14 A. So the first one I went to is a location called the line
15 2000/1007 crossover. So I stopped at that location and verified
16 that valve was closed and isolated from the pipeline, and it was.
17 The next one down would be Sundance Powerplant.

18 At that time, James Morton called me. He is the measurement
19 technician for the area. He called me at 6:52 and told me that he
20 was going to close the valve at Sundance. So I told him okay.
21 Then I told him I was going to head over to Picacho station, which
22 is just west of the rupture site. He called me back at 7:01,
23 around there, told me that he was done at Sundance, that he was
24 also going to Picacho.

25 And prior -- let's see -- that -- so then right at -- I got a

1 call from Mike Mayerhofer, who is my supervisor, and he told me
2 there was a technician out of Tucson going to valve 37. I haven't
3 heard back from Kenny, so I tried contacting Kenny, and so I'm not
4 sure where he was at en route to 38, so when I heard that there
5 was a technician from Tucson going to 37, I called Richard Posey,
6 the supervisor at Tucson, and I got the name and number of the
7 technician at 37.

8 Q. What was his name?

9 A. His name was Alex. And I called --

10 Q. Do you know his last name? Sorry.

11 A. I think it's Dietz.

12 Q. And he's coming from Tucson?

13 A. He was coming out of the Tucson area, probably Catalina.

14 MR. PEARCE: D-I-E-T-Z.

15 MS. GUNARATNAM: Okay.

16 BY MS. GUNARATNAM:

17 Q. Just to back up a little bit.

18 A. Uh-huh.

19 Q. So you went to 1007 and you verified it was closed or it was
20 closed or --

21 A. Yeah, it was closed. Yeah, I went to see if it was open, but
22 it was, it was closed.

23 Q. Oh, it was closed. Okay.

24 A. Yeah.

25 Q. And then on the way to Sundance Powerplant, James Morton

1 called you saying he's already closed it.

2 A. He's the one who closed it, yes.

3 Q. And then you guys discussed going to Picacho or --

4 A. No -- yeah, I told him because he had one more valve there
5 that his -- at Picacho station, the ~~201-20~~²⁰¹²⁰ (ph.) line, it gets fed
6 off from the 1600 line or 2000. Normal operation is that it gets
7 fed off the 1600 line. So I told him, "Hey, just go to Picacho
8 and just verify that line 2000 is closed." And it was closed,
9 because that's the normal operation --

10 Q. I see.

11 A. So -- and that was the last valve that we need to confirm to
12 isolate it before we blow it down the pipeline.

13 Q. At that time, did you know of 37/38 yet?

14 A. No, I did not hear about 38. Let's see. When did I hear --
15 okay. I think last -- when I heard from 38 was from James Pigg
16 called me at 7:31, that he just said that Kenny was having
17 difficulties getting to 38 because of the recent rains and washed
18 out. So -- and that's when I heard that Brett Berry was there.
19 And then I -- and then, then Thomas met me at Picacho, and then
20 that's when I sent Thomas to go help Brett out at 38.

21 Q. Okay.

22 A. And at this time, Alex was already at 37, and he was closing
23 valve 37.

24 Q. When did you --

25 A. I'm not sure exactly what time Alex closed his valve. I

1 don't have that time. But I did -- he did call me, and then I
2 called Rogelio, and we had a conference call. And we started --
3 and once he got his valve closed and we had the blow-offs open,
4 and then at 7:41, that's when we started blowing down the pipe.

5 Q. What time did you talk to Mike Mayerhofer?

6 A. Michael, I talked -- he called me at 7:09. Sorry about that.

7 Q. Yeah, that's -- thank you. Okay. So then you started --
8 walk me through what happened when you started blowing down the
9 pipeline --

10 A. So once we got the valves -- line isolated, valves closed,
11 blow-offs -- we started blowing down the pipeline, that was at
12 7:41, and roughly right around 8:00, that's when the fire went
13 out. We had the fire extinguished at that point.

14 Q. Okay. So you got confirmation at 37/38, before you started
15 blowing down, you got confirmation that they were closed?

16 A. Yes. Well, at 37 was -- I got confirmation on the 37. Alex
17 called me. He said he's closed and he's got his blow-off ready to
18 blow down, and that's when I conferenced in Rogelio right about
19 7:30 -- I have my phone -- I told him go ahead and -- just go
20 ahead and open up the blow-offs and start blowing down. We
21 started blowing down at 7:41. Yeah. So I didn't hear about 38
22 until after, after the fire was out.

23 Q. Right. So I hear that you know this line very well, line
24 2000?

25 A. Yes.

1 Q. And so you know the, the valves that needed to be done right
2 away?

3 A. Yes.

4 Q. So in your thinking, when you were talking to Dave in the
5 beginning, why those valves?

6 A. Given from the location of the intersection that gas control
7 gave me, I know it was right close to Picacho station, and I knew
8 that the next downstream valve was 39 and the next ~~downstream~~ ^{upstream FS} from
9 there is 38.

10 Q. Okay. So was that your focus, 39 and 38?

11 A. Yes. Once, yes, once I left the house, I saw the fire. And
12 for me -- there was no reason for me to go to the fire; it was for
13 me to get the pipeline isolated.

14 Q. Right.

15 A. So I went to 39 first, and I told Kenny to go to 38, so I
16 wanted to get that line isolated as quick as possible.

17 Q. Okay. So when you heard that Kenny couldn't -- or you
18 couldn't reach Kenny about 38, what was your next thought?

19 A. When I didn't hear from Kenny, then that's my -- you know,
20 Thomas, when I told Thomas, well, we needed to go to 38 and go
21 help Kenny, that's when James called me, and then James told me,
22 "Well, Brett is on his way over there." I said, "Okay. Great.
23 At least Brett hopefully can help Kenny get there, help him out."
24 And then that's when I decided to -- I was talking to Brett, and
25 Thomas was with me at Picacho, and I told him, "Why don't you go

1 help ~~Thomas~~ ^{Brett FS} out?" And I didn't know that James was heading out,
2 as well. They ended up -- they all headed out to that area, you
3 know, and they all went to a different location, because the way
4 that we normally go was washed out. So Kenny, I guess, had
5 problems getting there, so they eventually all got there. I just
6 don't know what time they got there.

7 Q. Right.

8 A. But once I knew Alex was at 37, then I kind of, "Okay, we're
9 going to blow down from 39 and 37.

10 Q. Okay. Yeah.

11 A. So --

12 Q. So those were 37 and 39?

13 A. Yeah.

14 Q. Okay. And then you knew -- when you finished with -- when
15 you started blowing down the pipeline, could you see the fire?

16 A. Yes. Yeah, I was at Picacho station ^{during the blow FS} ~~blowing~~ down, so I was a
17 half a mile away.

18 Q. Okay. And you could see --

19 A. And I could see it --

20 Q. Go down?

21 A. Yeah, go down.

22 Q. How long did it take to go down? Do you remember?

23 A. Once we started blowing, blowing off the pipeline --

24 Q. Yeah.

25 A. -- like I said, from 7:40 to 8, 20 minutes. But you know,

1 the pipeline has been -- once -- I closed 39 at 6:29 in the
2 morning. So that section from 39 to the rupture site, that was
3 constantly being blown out in the fire -- it started -- about that
4 time. So once we got 37 closed, we started blowing it down, then
5 we had -- it went a lot quicker than, you know, so --

6 Q. Okay. Okay. Thank you. Okay. So afterwards, you saw the
7 fire go out. Where did you go?

8 A. I stayed there at Picacho station. I saw Ray Garibay (ph.),
9 which is the measurement supervisor, head over to the command
10 post. So then I followed him over to the command post, and went
11 there with Ray. And then roughly sometime around 8:00 is when
12 Mayerhofer, my supervisor, showed up, and I talked to him for a
13 while. And then once we got the okay to go to the rupture site,
14 then I walked up to the rupture site and took pictures and sent
15 them to Dave. And after that, I finally went back to Picacho
16 station and waited for further instructions from Mike and Dave.

17 Q. How long was that, all that took?

18 A. What time did I send the pictures to Dave? Let's see -- give
19 me a time -- I sent the pictures to Dave at 8:58. So it was --

20 Q. And you --

21 A. You know, after the fire went out, I waited for Ray, we went
22 there. Maybe 8:10, 8:15, Mike showed up, kind of waited there for
23 a while. I didn't go up to the actual site -- I waited a little
24 bit. It was still hot, you know? So I sent the pictures to Dave
25 about -- at 8:58. Then after that, that's when I went -- walked

1 back towards, towards Picacho.

2 Q. Okay. And then after that?

3 A. I just waited there and showed them and just waited to hear
4 what we were going to do next, so --

5 Q. And --

6 A. And then I don't know when the police roped it off and said
7 this was closed off for their investigation, so I, I just don't
8 know what that -- what time that was --

9 Q. And then you went home?

10 A. I went to Casa Grande Station, because the ~~seat~~^{CFS} plant (ph.),
11 which is on the line 2000, it had ESD'd on low suction. So I went
12 to ~~seat~~^{CFS} plant to make sure everything is okay over there.

13 Q. And what did you find?

14 A. Yes, that the ~~clamp~~^{plant FS} was ESD'd. I decided to leave it like
15 that till the next day. So Monday morning, I went back to Casa
16 Grande and reset the station to get the ~~clamp~~^{plant FS} back in service.

17 Q. Okay. So you left it as is, and then did you go home after
18 that?

19 A. I went home. I got home around 6:30, 6:40.

20 Q. Okay.

21 A. Yeah.

22 Q. So that was your last thing was plant -- and then --

23 A. Yeah, I went to Casa Grande Station.

24 Q. Okay. So you went home at around 6:30, and you were done for
25 the day?

1 A. I was done for the day.

2 Q. Yeah, okay. And then did you go back to the site after that?

3 A. I didn't go back till -- excuse me -- Monday I was at Casa
4 Grande -- till this morning. I went to Picacho yesterday, but I
5 didn't go to the site. I went to the site this morning to help
6 set up a table for (indiscernible).

7 MS. GUNARATNAM: Okay. I'll stop there for now.

8 Tiffany?

9 BY MS. BAKER:

10 Q. Hello to you, by the way. I didn't get to speak to you when
11 you came in.

12 A. That's okay.

13 Q. All right. So with the valve isolation, so when you went
14 to -- you went directly to valve 39. You said you spoke to Dave
15 first, correct?

16 A. Yes.

17 Q. Did he direct you to go to 39 or you just knew -- you knew
18 that's where you needed to go, and you just went?

19 A. No, I just -- talking to Dave, Dave -- I think I said I
20 needed to head out and start -- I'm not sure if I said close the
21 valve. I was like, "Well, I need to go out there and see what I
22 need to do." But once I saw the fire, then that's when my thought
23 process changed. I went -- you know, I need to close the valves.

24 Q. Okay. So you went to see if you needed to close the valve,
25 and in the interim, you stopped at the 1007 on the way to 39?

1 A. No. I did 39 first. Then I went to, then I went to the
2 crossover.

3 Q. Okay. So you closed 39 and then you went to verify --

4 A. Verify.

5 Q. -- if the crossover was closed?

6 A. Yeah. Yeah.

7 Q. Okay. All right. And when you --

8 A. Yeah.

9 Q. When you closed 39, can you tell me about what was done at
10 that point once you closed the valve, what your next thought was
11 and what you were going to be doing with your --

12 Q. So, okay, when I closed 39, I -- when Rogelio got there, so
13 my next step was we needed to get this line ready for a blowdown.
14 There was a ~~1/2~~ ^{yale FS} cap, a 10-inch ~~1/2~~ ^{yale FS} cap on the ~~blowout~~ ^{blowoff FS}, so we need to
15 get that knocked off. I'm in my personal truck, because my
16 company truck is in the shop, so I didn't have any tools with me.
17 So Rogelio came in his company truck. Just the blowoff is
18 approximately 7 feet high, so Rogelio had to go back to the office
19 to get a ladder and come back and knock the blowoff.

20 Q. And who did this? I'm sorry.

21 A. Rogelio.

22 Q. Okay. Got you.

23 A. Yeah.

24 Q. All right. So he went and got tools, basically, to assist
25 you getting to the ~~1/2~~ ^{yale FS} cap?

1 A. He knocked off the ^{yale FS} cap.

2 Q. Knocked off the ^{yale FS} cap?

3 A. I told him, "Go ahead and go get what you need, get the line
4 ready, knock off the cap to blow it down, because Kenny is going
5 to be another" -- you know, I'm thinking another 20 or 30 minutes
6 to get to his blowoff to his valve. So we knew -- I knew he had
7 some time to go get his tools and come back and --

8 Q. And you're referring to valve 38?

9 A. So I'm referring to 38. Kenny is going to 38. So I left
10 Rogelio there to go get a ladder and come back and get the cap
11 off, and then my next thought process, well, I need to get the
12 line isolated, so I started going down the pipeline and get the
13 line isolated. And that's when I heard from James. And he was
14 helping me do the same thing. So --

15 Q. Okay. So is there a particular reason why once you did
16 communicate with Kenny -- because I know you said you didn't hear
17 about valve 38 until after the fire was out at that time?

18 A. No. I knew that Kenny was getting -- having trouble getting
19 to 38 before the fire was out.

20 Q. Right.

21 A. That's when just around the same time I was getting the calls
22 that I knew that Alex was going to 37, that's when I said, "Okay,
23 Alex, go ahead and when you get there, close it, get ready for --
24 get your knockoff -- cap off and get ready for a blowdown. Let me
25 know when you're done."

1 So but this time I was -- James was telling me Brett is going
2 over there, Kenny hasn't gotten there yet, and I told Thomas to go
3 ahead and head over there, give Brett a hand. So --

4 Q. Okay. So you called Thomas?

5 A. Yes.

6 Q. Okay. So you called Thomas and got him heading to 38 to
7 assist?

8 A. Yes. Yeah, because, you know, Brett was already at 38.
9 Brett sent us -- sent Thomas a drop pin, so Thomas went over
10 there. Thomas --

11 Q. So did you all actually blow anything off at 37, where Alex
12 was?

13 A. Did what?

14 Q. Did you all blow off any product at 37 where Alex was?

15 A. Yes, we blew down at 37.

16 Q. So you all blow down --

17 A. We did blow down 37.

18 Q. Okay. So, typically, what's the process once you get a
19 closed valve in an emergency? What else should you do there?

20 A. In a fire like that, you got to close, close your line,
21 isolate it, and then blow it down.

22 Q. And then once you physically get the valve closed, is there
23 anything else that you should be doing?

24 A. I can't think of what -- where your question --

25 Q. So I'm actually getting into, like, lockout/tagout.

1 A. We didn't lockout/tagout until after we blew down the
2 pipeline.

3 Q. The next day?

4 A. No. Rogelio locked out his valve that day. And Alex,
5 Alex --

6 Q. So valve 39 --

7 A. Thirty-nine.

8 Q. -- was locked out/tagged out --

9 A. Tagged out.

10 Q. -- on Sunday?

11 A. Valve 37 was locked out/tagged out on Sunday. And then once,
12 once the fire was out, I'm not sure when 38 was closed, but when
13 it was closed, it was locked out/tagged out, too.

14 Q. So you're saying valves 37 and 39 were both locked out/tagged
15 out on Sunday?

16 A. On Sunday, yes.

17 Q. All right. So once you left the valve site 39 and confirmed
18 1007 was closed, you said you went to Picacho Station next,
19 correct?

20 A. I was heading towards Picacho Station, yes.

21 Q. And once you got there a meeting facilitated at that time, or
22 you said you were standing by at that time?

23 A. What does meeting facilitated mean?

24 Q. Did you all meet there to discuss anything at Picacho Station
25 or did you just go there to await orders?

1 A. I waited there to await orders, yeah. I waited there to wait
2 to hear back from Alex. Then soon as I heard from Alex -- between
3 when I was waiting there, I was getting those calls from James
4 Pigg, and then Thomas showed up -- I don't know -- maybe 5, 10
5 minutes after I got there. We were talking -- we're still
6 discussing valve 38 and got communication with Brett. Brett was
7 there already. I told Thomas go ahead and head over and go help
8 Brett out. After Thomas left, then that's when we started -- Alex
9 got in contact with me that he's ready to blow down. Then we blew
10 the pipe down at that point.

11 Q. Okay. So that was kind of where the discussion took place at
12 that point?

13 A. Right. Yes.

14 Q. Okay. All right. And then you left from there. And what
15 made you go to Casa Grande at that point? Did you receive the
16 suction alarm or did somebody call and tell you about it?

17 A. No, I received the suction alarm.

18 Q. Okay. And that was at the station that you got onto your
19 phone --

20 A. At the station.

21 Q. -- to the station?

22 A. No, I got, I got a text message on my phone.

23 Q. Text message on your phone?

24 A. Yeah.

25 Q. Okay. And take me back real quick. Who went to Sundance

- 1 plant the morning of the incident?
- 2 A. James, James Morton.
- 3 Q. James Morton?
- 4 A. Morton, um-hum.
- 5 Q. Okay. And what did he do there that day?
- 6 A. He closed the, the valve from the line 2000 feeding to the
7 power plant
- 8 Q. So from line 2000 feeding --
- 9 A. Sundance Power Plant.
- 10 Q. Okay. Was that particular valve also tagged out that day?
- 11 A. No, that, that valve was not tagged out that day. On the
12 next day, they tagged that out.
- 13 Q. Okay. All right. And you said once you left Casa Grande,
14 you went home at that point, correct, and that was --
- 15 A. Yeah, in the afternoon. I got to Casa Grande around, around
16 4:00, 4:30.
- 17 Q. In the afternoon, correct?
- 18 A. In the afternoon, yeah. Checked the plant out, verified
19 everything was ESD'd and blown down, and then I came home after
20 that.
- 21 Q. Okay. And then on Monday, where did you go?
- 22 A. On Monday morning, I went back to Casa Grande to put the
23 plant back in service.
- 24 Q. Okay. And that was your day was spent at Casa Grande on
25 Monday?

1 A. That Monday, yes, yes.

2 Q. Okay. And then you said yesterday you went to the site?

3 A. I went to Picacho Station.

4 Q. Oh, Picacho Station. That's right.

5 A. Yeah. I didn't go to the rupture site.

6 Q. Oh, okay. So at Picacho Station, what did you do yesterday?

7 A. I helped, I helped James Pigg and ~~Joey Di-Loesch~~ ^{Jody Olivarez FS} (ph.) with
8 the plan for the pressure restriction.

9 Q. Pressure restriction plan?

10 A. Yes.

11 Q. Okay. All right. And did you talk to Brett any?

12 A. I talked to Brett when -- after everything was said and done.
13 Well, I talked to him when he, when he was at the site, when he
14 got to 38. He called me, and then I talked to him and then told
15 me that he was there. He goes, "Yes." "Okay. Well, send me a
16 drop pin." Then I talked to him again until after everything --
17 it was like, I don't know --

18 Q. But at Picacho Station?

19 A. 1:00 or 2:00 at Picacho Station, yeah. It was sometime a
20 couple hours later after everything was done.

21 MS. BAKER: Okay. All right. That's all I have.

22 MS. GUNARATNAM: Okay. David?

23 BY MR. CARROLL:

24 Q. Okay. Frank, you said -- going back through your history
25 here -- you were a controls tech, and that was with El Paso. At

1 one time, El Paso went to cross-functional techs, right?

2 A. Yes.

3 Q. Where were you with the cross-functional?

4 A. I was a senior cross-functional tech with El Paso.

5 Q. Okay. And the senior cross-functional tech has -- you had
6 your plant tasks, and what other tasks did you have at that time?

7 A. You had to have certain measurement tasks, corrosion tasks,
8 and pipeline tasks. To be cross-functional, you had to learn
9 certain -- you had -- I believe back then, A, B, and C, A being
10 more advanced. We had to have a certain amount of C tasks or I
11 can't remember the -- or one or two -- I can't remember the types
12 they were back then. We had to have knowledge of a certain amount
13 of tasks of measurement, corrosion, pipeline, and the plant.

14 Since my strong area was in controls, so I had a lot of my A-
15 level tasks in controls, and I had certain tasks in the pipeline
16 and measurement and corrosion. So back then, we could take ^{pipe FS} part
17 ^{to FS} ~~in the~~ soil (ph.) readings, help measurement do ^{regulator FS} ~~regular~~ ^{regulators and FS} reliefs
18 and do valve servicing, pipe patrol of the pipelines.
19 (indiscernible).

20 Q. So at that time, you had some pipe patrol tasks and --

21 A. Yes, some pipe patrol tasks --

22 Q. -- valve servicing tasks?

23 A. And valve servicing, yes.

24 Q. Okay. And that's how you go more familiar with line 2000?

25 A. Yes. Well, you know, just that -- well, the -- Casa's

1 previous incident, like I said (indiscernible) we had to make our
2 lines piggable. So I have a lot of experience sort of to blowdown
3 (indiscernible) air movers. And then as, as time went on I went
4 from running an air mover to being ^{trained FS} (indiscernible) to do hot (ph.)
5 work and do the cutouts and actually writing, actually writing the
6 actual hot ^{work FS} water (indiscernible) plans, because there was a lot of
7 work trying to make ^{the pipeline piggable FS} (indiscernible)---paperworks.

8 MS. GUNARATNAM: Right.

9 BY MR. CARROLL:

10 Q. So were you involved in the town next to Casa Grande making
11 piggable project on the line 2000?

12 A. When all of the -- I was in the Tucson area. I did a lot --
13 all -- all my work was the 1100, 1103 pipeline.

14 Q. Okay.

15 A. So I was not involved in the line 2000 make piggable. I
16 believe line 2000 already had ball valves, so as that the line
17 1600 had ball and gate valves. So those lines, like, line 1600
18 was, like, one of the first lines we, we pigged after the
19 incident, because that -- there were already -- they had installed
20 the pig launchers and pig receivers, but the mainline valves were
21 already gate valves, so pigging (indiscernible). But I did a lot
22 of work in the line 1100, 1103 in Tucson area because all those
23 valves were ^{plug FS} ~~cut~~ valves -- they were ^{plug FS} ~~cut-in~~ (ph.) ^{valves FS} valve, so --

24 Q. Okay. And when you got to valve 39, you said you were in
25 your personal truck, so you didn't have tools? You didn't have --

1 A. Yeah, I happened to grab a crescent wrench and a pipe wrench
2 when I left my house just, just -- I'm going to grab -- bring
3 these two wrenches with me as just, just --

4 Q. Okay. So you could take care of closing the valve --

5 A. So at least I --

6 Q. But you couldn't do anything with the --

7 A. I couldn't do anything with the, with the cap, yeah. But I
8 had the wrench to open up the power gas valve --

9 Q. Okay. That's all I have.

10 MS. GUNARATNAM: Yup.

11 Ryan?

12 BY MR. WEIGHT:

13 Q. Let's take, Frank, let's take you back. You mentioned
14 earlier that, you know, you opened the cabinet, pulled the lever,
15 and then started in and then used the gas pressure to start
16 blowing down, but you said that, that you had an issue getting it
17 to seat?

18 A. Getting it to unseat. So that was open. It was sitting
19 there. The pressure is already. I had -- I got the alarm
20 from -- Casa Grande Station was another what 10 miles, 5 miles --
21 I can't remember how far it is. I'm talking about the alarm for
22 the low suction -- at 5:54, I got the alarm that it had low
23 suction at Casa Grande Station. So that tells me that I'm at
24 close to 400 pounds at Casa Grande Station, so probably I got less
25 pressure at 39, which is upstream of that. So I don't have enough

1 power gas, enough pressure to initially, to initially unseat the
2 valve. So I shut off the power gas, and then I use a hydraulic
3 pump, got the valve to move about a quarter of an inch to get it
4 off its seat. I felt it getting easier to, to, to operate. So at
5 that time, I said, you know what, I'm going to try the power gas
6 again. Opened the power gas, pull the lever, then the valve
7 ^{closed FS} (indiscernible).

8 Q. Okay. So you had the hydraulic to get it started?

9 A. Yeah, yeah.

10 Q. And when you get those alarms from the station, do they come
11 from -- where do you get those from?

12 A. Yes, they -- from our ClearSCADA. So it's the same alarm
13 that gas control gets. So -- and so the -- the HMI, the, the
14 station receives the alarm, and gas control gets the alarm
15 straight from the PLC, and it's the same alarm that HMI sends us.
16 We just have the script that -- okay, we get this alarm. Who do
17 you want to send it to? And since I'm responsible for Casa
18 Grande, the ^{senior technician FS} (indiscernible) -- junket, I get those alarms.

19 Q. Okay. So that's, so that's -- SCADAs. So that PLC system at
20 Casa Grande automatically sends you that text, saying --

21 A. Yes.

22 Q. -- no suction on seat plant?

23 A. Yes. Yes.

24 Q. All right. And so you were trying to get your power gas from
25 the downstream side of valve 39?

1 A. From the downstream side, yeah, away from the rupture, yeah.

2 Q. Okay. All right. And you said that once, once you managed
3 to hydraulic -- manually hydraulically get the valve to move off
4 the seat to start closing, then you had enough power -- pressure
5 to complete the closure?

6 A. Correct.

7 Q. When you got the alarm for low suction, did it give you,
8 like, a number of what it was registering on the sensor?

9 A. No. It just says 6:49 a.m., CGC alarm, suction pressure
10 alarm low. So it doesn't give us -- give me an indication, but
11 from knowledge of my plant, our ^{low FS} (~~indiscernible~~) suction is set at
12 400 pounds.

13 Q. 400?

14 A. Yeah. And then soon, soon after that alarm, I get unit one
15 and unit two unavailable, telling me it's, it's tripped.

16 Q. So did the entire plant ESD from this time or just the CU
17 (ph.)?

18 A. Just the ^{C FS} ~~seat~~ plant, seat plant is only on the line 2000.

19 MS. GUNARATNAM: Right.

20 BY MR. WEIGHT:

21 Q. Okay. And then you said that once you -- you said Julio
22 [sic] was with you. And you sent him to get the -- go get the
23 ladder and get a couple of tools so that he could start knocking
24 off the, the blown-out cap?

25 A. Yes.

1 Q. When did you send him -- I'm not sure if I got -- what time
2 did you send him to go get the tools to --

3 A. Oh, it was, it was after 6:30. I don't know the exact time.
4 It was after 6:30, after I got the valve closed, so he needed to
5 go get a ladder to get access to the ~~tr~~ cap. It was, it was around
6 6:30 when I saw him and talked to him.

7 Q. Okay. I'm sorry. I'm still writing here.

8 A. It's okay.

9 Q. And then when you went over, then, to the crossover, how were
10 able to then confirm that the crossover valve to town 7 (ph.) line
11 was closed.

12 A. Yeah. Brought my truck, opened the gate, walked to, to the
13 valve, and I, I see the indication that it was indicating that it
14 was closed already.

15 Q. All right. And did you notify -- did you notify -- and I
16 don't know. I may have not caught this, but did you -- once you
17 got valve 39 closed, did you notify anyone who -- saying that
18 valve 39 is closed?

19 A. Yes, I called Dave, and I informed Dave at that time. I
20 called Mike and Dave.

21 Q. So what was the time that you called Dave to report that the
22 valve was -- valve 39 was closed?

23 A. I called Mike at 6:30 and Dave at 6:33.

24 Q. So then you start towards Sundance plant to try and isolated
25 that. That's when Mr. Morton said that he'll take care of that.

1 And then did you have to check any valves by the time you got to
2 Picacho?

3 A. No. No. James, James got to Sundance, got that closed. He
4 went to Picacho and verified that that was closed. I didn't see
5 James till after the, after the fire was out and see James then
6 (indiscernible) gathered at Picacho's. I don't remember time it
7 was, but --

8 Q. All right. So James got to --

9 A. But James --

10 Q. -- Picacho before you did?

11 A. Yeah, he got to Picacho before I did.

12 Q. What time did you get to Picacho --

13 A. Oh, shoot. Let's see. It was probably around 7:20 -- around
14 there. I received a text from Brett that he was at 38 at 7:39,
15 and so I was already at Picacho at 7:39, and so I had been there
16 for maybe 10, 10, 15 minutes, so 7:15, 7:30. I don't know the
17 exact time I got there.

18 Q. Okay. So 7:15 -- I just want to kind of reiterate and make
19 sure I heard you right. So somewhere around 7:15 to 0720 hours,
20 you got to Picacho, and then Brett texted you at 0739, saying that
21 he made it to valve 38?

22 A. Correct.

23 Q. Okay. And then at what time did you instruct Tom, then, to
24 go to valve 38 to help out?

25 A. Just shortly after I received the text from Brett.

1 Q. Okay. And then did you receive any -- and then aside from
2 your initial low-pressure alarm, or low-suction alarm at the seat
3 plant at Casa Grande, did you receive -- I'm just making sure --
4 did you receive any other alarms from the plant automatically
5 besides your first one that you got?

6 A. I received that first one, and then soon after that, I got
7 the two alarms that the units were unavailable. And then the next
8 one after that was a low fuel gas pressure. And then, then an RTT
9 temperature failure, but I'm not sure that anything to do with the
10 low pressure, but that was all the alarms I got on Sunday.

11 Q. Did the PLC at Picacho Station send you any alarms?

12 A. No, because its, its reading pressure is already downstream,
13 and it's on the 1600 line, so 1600 line didn't see any rupture,
14 any, any, any disturbance, so Picacho Station didn't see anything
15 around there, so --

16 Q. Okay. I guess the last question is, is there anything that
17 you -- any additional information that you have relevant to this
18 that you would feel that would help us in our investigation?

19 A. No, I don't -- no, I, I don't think I have anything. I mean,
20 after we got the line isolated and blowing down, that's the --
21 that was my main objective that morning.

22 BY MS. GUNARATNAM:

23 Q. We'll just do a quick second round.

24 A. Okay.

25 Q. Just follow-ups. Just to get down some important times, so

1 valve 39 was closed at 6:29 a.m.?

2 A. Yes.

3 Q. And then you proceeded to then around the time 6:52 --
4 okay -- and then the other time was 7:41, you were blowing down
5 the pipeline, right?

6 A. Yes.

7 Q. Okay. And then around 8, a little after 8, the fire you saw
8 was out?

9 A. Yeah, I can't -- I don't know the exact time, but around,
10 around 8:00, yeah.

11 Q. Okay. All right. In that time from closing valve 39 to not
12 seeing the fire, how often were you updating Dave?

13 A. Let me tell you -- from the initial call from Dave, I called
14 at 6:19, 6:33, 6:56, 7:05, 7:22, 7:37, and that was -- then the
15 last call was at 8:00. And --

16 Q. So you called him about --

17 A. 9:00, called him again at 8:59. So I've been talking to
18 Dave --

19 Q. Yeah, okay.

20 A. And I got calls to Mike, my supervisor. If you want those
21 times, I have them here.

22 Q. No, that's fine.

23 A. Then I -- then a couple text messages that we had as a group,
24 so --

25 Q. So I counted. It was about seven times by the time you saw

1 the fire was out. Okay. Okay.

2 A. Yeah.

3 Q. And you were just telling him what you did?

4 A. Yeah, yeah. I think the one at 7:37 was probably letting him
5 know we're getting ready to blow down.

6 Q. Oh, okay.

7 A. Because 7:41, we started blowing down.

8 Q. Okay. And what kind of training -- I want to go back to your
9 training about emergency response. What kind of training have you
10 had with emergency response with Kinder Morgan?

11 A. Well, we go, we go through a yearly procedure at 159. So we
12 do that yearly training with Kinder Morgan.

13 Q. And what type of training is it?

14 A. Our ~~mission~~^{emergency FS} response plan. Then we go over our own -- our
15 emergency procedure manuals, like --

16 Q. Okay.

17 A. Yeah.

18 Q. And do you ever cover, like, these situations, like,
19 isolating valves quickly and --

20 A. Yeah. So we have tabletop, you know, scenarios, and discuss,
21 you know, something like this, a ruptured line hit, something
22 hitting a major station, what's, what's the, you know, procedures
23 and steps to go through, notification, stuff like that.

24 Q. Okay. Who do you do -- at your level, I mean, who do you do
25 this training with? Is it usually, like, other ops specialists

1 or --

2 A. No, usually it's just the Phoenix area, include the, the
3 measurement (indiscernible) service group and -- is involved.

4 Q. Measurement and other -- are you -- other ENC's?

5 A. Well, yeah, well, ENC is part of the measurement area,
6 Phoenix area --

7 Q. Oh --

8 A. But measurement and corrosion fall under the technical group.

9 Q. Under the what group?

10 A. Technical.

11 Q. Technical? All right. Okay. Great. And Mike is who you
12 report to, Mike Mayerhofer?

13 A. Yes.

14 Q. Okay. Great. Okay. So you did a table -- you do these kind
15 of -- so were there any challenges, did you find, during the
16 response? Was there anything that you noticed was a little, like,
17 challenging to you trying to respond?

18 A. Not, not me. You know, I mean, other than, you know, getting
19 to go out there, and then I had to park on the street because it
20 was a washout, and I took my truck -- personal truck -- I don't
21 want to get it stuck, so I parked on the street and walked, you
22 know, 50 -- 35 feet to the valve. So -- but, you know, it wasn't
23 that far, so I walked back and forth. So getting to the other
24 crossover wasn't too bad after that, checked that one out, and
25 then, you know, get over to Picacho, and other than what I hear

1 afterwards that Kenny had issues, you know, because, because of
2 recent rains --

3 Q. Right.

4 A. So other than that, no, I didn't have -- I didn't think I had
5 any, any issues doing my job.

6 Q. All right. Thanks.

7 MS. GUNARATNAM: Tiffany?

8 BY MS. BAKER:

9 Q. Okay. So valve 1007, why did you go to verify if that valve
10 was closed? What happens if that valve is open?

11 A. So we -- there's -- at that site is -- there's a set of
12 regulators and monitors, and basically, it's the -- you can supply
13 or help supply gas pressure to the 1007 line. So we know our
14 normal operating pressure in line 2000 is between 750 and 850, and
15 the 1007 normally runs around 550 to 600 pounds. So we have ~~rigs~~ ^{regulators}
16 (ph.) set there in normal operations to -- we could -- if we
17 needed to, we could supply extra gas into the 1007 if we needed to
18 through that site.

19 They were doing some work on 1007 a couple weeks prior to
20 the, the incident. So we had that valve, had that valve closed to
21 eliminate issues in 1007. So there's a check valve on, on that
22 ~~rig set~~ ^{regulator site FS} so gas can't back-feed from the 1007 to the line 2000, but
23 you know, through my training and knowledge, I've been told you
24 trust the check valve, so I just wanted to make sure it was
25 closed.

1 Q. Um-hum. So you wanted to make sure it was closed so it
2 didn't back-feed into --

3 A. So if that check didn't hold, then we (indiscernible) pulling
4 gas away from the 1007 into the line 2000 as we're going down and
5 causing some other outages.

6 Q. Got you. Okay. That was all I had.

7 BY MR. CARROLL:

8 Q. Frank, when you were ops supervisor from 2014 to 2020, do you
9 remember any type of unauthorized or unnotified encroachments or
10 any encroachments between 38 and 39 on line 2000?

11 A. Not, not in the top of my head, Dave, no. I don't remember
12 seeing ~~any~~ ^{anything} ^{FS} between that valve section. I would have to look back,
13 have to dig that up for you.

14 Q. Okay. Do you remember any --

15 A. And I don't remember off the top of my head having any issues
16 between that valve section.

17 Q. Okay. Do you remember any work that was done in that area
18 that we may have done?

19 A. We, we in 2018, I believe, you were in there doing an anomaly
20 repairs in 2018 between 38 and 39. There were upstream of that,
21 the location that ruptured, some work was upstream. I can't
22 remember anything downstream or nothing, but I know upstream of
23 that in the fields, we had some, some work done in there. But I
24 can't remember anything in that specific area of the rupture.

25 Q. Okay. And last question. Can you go through -- you said a

1 tabletop. Can you explain what the tabletop would be as far as
2 our training?

3 A. So, so normally, the manager or the (indiscernible)
4 operations supervisor will set up a scenario for the technicians,
5 basically, pick a line and location and set up a scenario saying,
6 you know, we get a call from so-and-so police department saying we
7 have gas blowing at this particular meter station or offsite, and
8 so we set up the scenario for the technicians. And then we, we
9 (indiscernible) technicians get (indiscernible) go, you know,
10 what, what is the first thing you do required by the procedure?
11 You know, who -- the first one that gets on site is the incident
12 commander till he's relieved from a higher -- somebody in a higher
13 position, and then he's relieved.

14 But we sort of go to the sites and, you know, who gets called
15 when, open up the line of communication with, with the -- either
16 the command center would either be at Phoenix conference room or
17 Casa Grande conference room, wherever that -- so
18 manager/supervisor gets the information of -- that way we know the
19 times when people get to each site. And then so you walk through
20 the scenario of this tabletop as a group and trying to get
21 everybody's input to make sure everybody is on the same page and
22 understands what, what the process is, how to do it correctly, and
23 do the notification process.

24 But you know, it's -- everything going through it on
25 tabletop, you go through all your little details, but in

1 emergencies, you kind of -- adrenaline gets to you, you know? So
2 you try to pick up -- just like an athlete. You have most of the
3 memory through practice, so we try to go -- muscle memory to the
4 brain through these tabletop exercises, you know, and hopefully,
5 something, you know, you can remember what you're supposed to do.
6 I guess I've answered that correctly.

7 Q. Great.

8 MS. GUNARATNAM: Thank you.

9 MR. CARROLL: That's all I had.

10 BY MR. WEIGHT:

11 Q. Just a couple more questions. So when you were at valve 39,
12 Julio stayed behind to prepare for blowdown?

13 A. Yes.

14 Q. And was he able to execute blowdown?

15 A. Yes.

16 Q. And what time did he -- did he notify you to say that the
17 blowdown was complete on your -- on --

18 A. Oh, yeah, let's, let's see if I got it. He called me at, he
19 called me at 7:51. 7:51, he called me to tell me that he was down
20 to a ~~laze~~ ^{lazy FS} (ph.) ~~event~~ ^{vent FS}, down to where it's -- well, I don't want to
21 do -- I don't want to suck air into the pipeline and create
22 another bomb, you know, for lack of a better term. So I told him
23 when he gets down to a ~~laze-event~~ ^{lazy vent FS}, to go ahead and close off his
24 blowoff, and that's, that's --

25 Q. When you do a blowdown, what pressure do you take it down to

1 before you close the blowdown valve?

2 A. What pressure do I take it down to? There's -- in this case,
3 there is -- you, you just blow it down. There's no -- I'm not
4 sure what the -- the line was already down below 400 pounds or
5 below 300 pounds that moment, so I'm just guessing what the
6 pressure was, because I know it's below 400, because
7 (indiscernible).

8 MR. CARROLL: Yeah, can you explain the ^{lazy vent FS} ~~laze~~-event?

9 MR. SANCHEZ: The ^{lazy FS} ~~laze~~, oh, the ^{lazy FS} ~~laze~~ -- just, just the ^{lazy FS} ~~laze~~
10 ^{vent FS} ~~event~~ is just gas that you can barely feel coming out, out of the
11 blowoff. Because the -- depending on the elevation between one
12 and the other end, because gas is lighter than air, so you got
13 possible gas getting sucked into the pipeline, so you don't
14 want -- so you close one end off to prevent that air getting
15 sucked in and getting a mixture in the pipe --

16 MS. GUNARATNAM: Right.

17 MR. WEIGHT: All right. And then the -- did ^{Rogelio FS} ~~Julio~~ also
18 notify you when he completed the lockout/tag-out on valve 39?

19 MR. SANCHEZ: He did. I just, I just don't remember exactly
20 what time he did it, though. I think they got the fire out
21 (indiscernible) and I got a call from him at 8:44, and I'm
22 thinking that's the time he had put this lockout/tag-out. Then I
23 talked to Alex at 10:16 just to tell him where we were at, tell
24 him to stand by for a while, and I think we talked about -- make
25 sure that before he leaves to lockout/tag-out his valve, and he

1 said that, that he was going to take care of that. And that's at
2 37.

3 MR. WEIGHT: So the ~~lazy event~~ ^{lazy vent FS} valve is just your standard
4 practice to make sure you're not sucking air into your system once
5 you evacuate the, the line?

6 MR. SANCHEZ: Correct. Yes.

7 MR. WEIGHT: Okay. But there's no set pressure when the ~~lazy~~ ^{lazy FS}
8 ~~event~~ ^{vent FS} comes in?

9 MR. SANCHEZ: No, it's already below pound, yeah, at that
10 time, yeah.

11 MR. WEIGHT: Okay. All right. I have no further questions.

12 MS. GUNARATNAM: Okay. All right. I don't have any others.
13 Everyone is good? Okay. I'm going to end the interview.

14 (Whereupon, the interview was concluded.)
15
16
17
18
19
20
21
22
23
24
25

CERTIFICATE

This is to certify that the attached proceeding before the

NATIONAL TRANSPORTATION SAFETY BOARD

IN THE MATTER OF: NATURAL GAS PIPELINE RUPTURE
 IN COOLIDGE, ARIZONA
 ON AUGUST 15, 2021
 Interview of Francisco Sanchez

ACCIDENT NO.: PLD21FR003

PLACE: Casa Grande, Arizona

DATE: August 18, 2021

was held according to the record, and that this is the original,
complete, true and accurate transcript which has been transcribed
to the best of my skill and ability.



Danielle S. VanRiper
Transcriber