



National Transportation Safety Board
Washington, D.C. 20594

Name: Andrew Marshall

Department: Atmos Energy / Mid-Tex Technical Services

Title: Manager of Engineering Services

Date of Interview: April 25, 2018

I have reviewed my transcript(s) from the above referenced accident and:

I have no comments to make.

My comments are submitted herewith.

My comments are marked on the attached copy.

A large black rectangular redaction box covering the signature area. Faint blue ink handwriting is visible above and below the redaction.

UNITED STATES OF AMERICA

NATIONAL TRANSPORTATION SAFETY BOARD

* * * * *

Investigation of: *

NATURAL GAS-FUELED EXPLOSION OF *
RESIDENCE, DALLAS, TEXAS *
FEBRUARY 23, 2018 *

* Accident No.: PLD18FR002

* * * * *

Interview of: ANDREW MARSHALL

Marriott Courtyard
Plano, Texas

Wednesday,
April 25, 2018

APPEARANCES:

ROGER EVANS, Investigator in Charge
National Transportation Safety Board

CHRIS McLAREN, Distribution Integrity Management
Program Coordinator
Pipeline and Hazardous Materials Safety Administration
(PHMSA)

JIM COLLINS, Regional Manager
Railroad Commission of Texas

JOHN McDILL, Vice President of Pipeline Safety
Atmos Energy

THOMAS TOBIN, Attorney
Wilson Elser
(On behalf of Mr. Marshall)

<u>ITEM</u>	<u>I N D E X</u>	<u>PAGE</u>
Interview of Andrew Marshall:		
By Mr. Evans		5
By Mr. McLaren		20
By Mr. Collins		42
By Mr. McDill		45
By Mr. Evans		51
By Mr. McLaren		70
By Mr. Collins		75
By Mr. McDill		76

I N T E R V I E W

(8:40 a.m.)

MR. EVANS: On the record with Andrew Marshall.

Good morning. Today is April 25th, 2018, and it is now 8:40 a.m. My name is Roger Evans with the National Transportation Safety Board. I'm a senior pipeline investigator with the pipeline accident investigation group out of Washington, D.C. For this accident, I am the investigator in charge.

We are at the Marriott Courtyard Hotel in Plano, Texas. This interview is being conducted as part of the investigation into the fatality home explosion that occurred on February 23rd, 2018 in a west Dallas suburb situated north of Love Field. The NTSB case number for this accident is PLD18FR002.

The purpose of this investigation is to increase safety, not to assign fault, blame or liability. This interview is being recorded and may be transcribed at a later date. A copy of the transcript will be provided to the interviewee for review prior to being entered into the public docket.

Mr. Andrew Marshall, please provide the spelling of your name, the company you work for, and your job title.

MR. MARSHALL: Andrew Marshall, A-n-d-r-e-w, M-a-r-s-h-a-l-l. I'm a manager of engineering services at Atmos Energy.

MR. EVANS: Okay. Thank you.

You're permitted to have one person present during the interview. This is a person of your choice -- a supervisor,

1 friend, family member, or nobody at all. Please state for the
2 record who you have selected.

3 MR. MARSHALL: Mr. Thomas Tobin.

4 MR. EVANS: Okay. Mr. Tobin, can you please give us the
5 spelling of your name and your affiliation?

6 MR. TOBIN: My name is Tom Tobin, T-o-b-i-n. I'm an attorney
7 with the Wilson Elser law firm in New York.

8 MR. EVANS: Okay. Now I'd like to go around the room and
9 have each person introduce themselves, with the spelling of their
10 name and the agency or organization they're representing.

11 MR. COLLINS: Jim Collins, J-i-m, C-o-l-l-i-n-s, regional
12 manager for the Railroad Commission of Texas, Dallas-Fort Worth.

13 MR. McDILL: John McDill, M-c-D-i-l-l, Atmos Energy, Vice
14 President of Pipeline Safety, Dallas, Texas.

15 MR. McLAREN: Chris McLaren, PHMSA DIMP coordinator. That's
16 C-h-r-i-s, M-c-L-a-r-e-n, and Houston, Texas.

17 MR. EVANS: Great. Thank you.

18 INTERVIEW OF ANDREW MARSHALL

19 BY MR. EVANS:

20 Q. Thank you, Andrew, for showing up today. We really
21 appreciate that. We expect to get a great deal out of this
22 interview today. I know you're a key person in your risk program
23 and all that. So before we begin the questioning, I would like to
24 get some background information about you, and let's start with
25 your education and then just -- we'll go on from there.

1 A. Sure. I graduated from Texas A&M University in College
2 Station, Texas. I have a degree in electrical engineering.

3 Q. And are you a PE by chance?

4 A. I am.

5 Q. Okay. And how long have you been with the company?

6 A. I've been with the company since 2007.

7 Q. Okay. And since you joined Atmos, can you go through your
8 hierarchy of positions you've had ~~an~~ ^{and} how many years you were in
9 each one of those positions, just to kind of give us a background?

10 A. Certainly. So joining the company in 2007, I came on as an
11 engineer. Around 2010, I became a compliance manager, which is
12 when I took on responsibilities related to our distribution risk
13 analysis activities. And then my position was changed to a
14 manager of engineering services in early 2016.

15 Q. Okay. And do you have reports?

16 A. I do.

17 Q. Okay. And how many reports do you have?

18 A. Four individuals working for me.

19 Q. Okay. And just if you can give me the -- yeah, I have it
20 here. Thanks. So we'll go through -- so I understand you have
21 Roger Comstock, Bill Peterson, John ~~Johansen~~ ^{Johansson}, and John Tate. So
22 we'll go through those positions. Just briefly, if you can give
23 us an idea of what each one of those -- each person there does for
24 you?

25 A. Surely. So Bill Peterson is an engineer on my team, and Bill

1 is skilled in GIS systems and GIS analysis, as well as database
2 analysis. He helps us with our distribution risk programs
3 primarily.

4 Q. Okay. And what about Mr. Comstock?

5 A. Mr. Comstock is a GIS analyst, a similar skill set to Bill.
6 He helps us primarily with our transmission risk analysis
7 activities.

8 Q. Okay. And how about John ~~Johansen~~ ^{Johansson}?

9 A. John ~~Johansen~~ ^{Johansson} is a GIS specialist, and he bridges between
10 both of our programs, supporting both our distribution and our
11 transmission work.

12 Q. Oh, so you do both?

13 A. We do. The risk analysis pieces.

14 Q. Is common for the whole company, right?

15 A. Yes, for the Mid-Tex Division.

16 Q. Okay, Mid-Tex. Okay. And John Tate?

17 A. John Tate -- Eric Tate. He is new to our team, an engineer,
18 and he helps us with both programs, primarily our transmission
19 risk.

20 Q. Okay. And do these people have reports to them?

21 A. They do not.

22 Q. Okay. Just to kind of kick this off, so I would -- in this
23 particular case, rather than ask you questions, I'd like you to
24 describe how this all works: The fact that you have data that
25 gets acquired out in the field, that data makes its way into your

1 department and you do something with that data. And if you can
2 kind of give us the full picture of that?

3 A. Sure. Very good. So, at a high level, we have a lot of
4 ongoing operations and maintenance activities, as most operators
5 do, which are putting us in a position to have knowledge of our
6 system. We have a corporate GIS system, which houses all of the
7 data about our mains and our facilities, and we have a work
8 management system, CM+, which is Compliance Management Plus, and
9 that stores all of our performance data, our leaks, observations
10 of corrosion, and other collateral information that's gained
11 during the leak management process.

12 So my team takes that data, as well as data from third-party
13 sources, data providers, or data sets that we develop through our
14 own initiative, and we run it through a risk assessment tool. As
15 a part of doing that, we put all of that information into a common
16 geospatial platform. You know, the pipe exists in a place in the
17 world and the things that happen and occur on the pipe are also
18 documented against those same places in the world. So we heavily
19 utilize geospatial analysis to complete our work.

20 As we bring all that data in and we're able to analyze it in
21 a cohesive way, we establish the likelihood of our facilities
22 failing and then the consequence should we be subject to a
23 failure. We come out with risk scores and risk values which help
24 us understand on a relative basis those facilities that are higher
25 relative risks than their peer group within the system at large.

1 Then, in our role, we make that information available to our
2 partners who make decisions about replacement planning and
3 prioritization, as well as those individuals who are responsible
4 for setting up and mobilizing leak surveys and subsequently
5 executing those surveys.

6 Q. Okay. Just to make sure I -- so I have Marlo's role, you
7 just gave us your role, and then I guess you pass your data on to
8 Tammy; is that correct?

9 A. That's correct.

10 Q. Okay. I just wanted to make sure I was clear on that. Okay.
11 So just a few questions about the data. You just mentioned that
12 you have other data coming in besides from your leak work program,
13 CM+. What other data are you talking about? I mean, is it
14 commercial data?

15 A. Commercial and publicly available. So on the publicly
16 available side, we leverage census data, would be the primary one,
17 to understand concentrations of population centers as they affect
18 our assets. And then we also have partnered with a data service
19 provider who is also prominent in the public awareness space, to
20 gain intelligence on all the hospitals, churches, schools, nursing
21 homes, day cares, and similar facilities, where you'd have trouble
22 evacuating or would be of higher consequence should you be subject
23 to a failure, and use that to help most appropriately frame the
24 consequence in the event we were subject to a failure.

25 Q. So you're tracking sensitive-type addresses where you would

1 have issues with -- based on evacuation because it would be a
2 large population in that area?

3 A. Yes, that's correct.

4 Q. Like a school or hospital?

5 A. That's generally correct, yes.

6 Q. Okay. So we have census data and leak data, the sensitive
7 building kind of data, and then all that goes into your model,
8 likelihood times consequence, bingo, you come up with risk?

9 A. A little more than bingo, but yes --

10 Q. Yeah.

11 A. -- overall.

12 Q. Right. Okay. And the model that you use -- and what I'm
13 curious about is, is the model a changing target? I mean, do you
14 change this equation, your likelihood times consequence, kind of
15 -- does that get changed throughout? I mean, have you changed
16 that 10 times in the last 5 years or something? Are you
17 constantly improving that or are you -- is it something that
18 you've calculated what you're -- how you're going to come up with
19 your risk, right, and do you stay with that formula?

20 A. So we have enhanced our modeling capabilities over time. We
21 focus on the data that the model has available to consume and
22 putting that in its best shape, as well as the mechanics of the
23 model and how it operates. An example would be the difference
24 between a leak and the number of clamps installed on a pipe.

25 So several years back, we were looking predominantly at the

1 number of leaks that might be associated with a given segment of
2 pipe, recognizing that a leak record might actually involve the
3 installation of several clamps where gas is actually escaping from
4 the pipe. We made a programming change so that we could
5 accurately reflect the number of clamps in addition to leaks as we
6 try to predict our likelihood and understand how likely different
7 facilities are to fail.

8 Q. Okay. And so, another key part of this I'm curious about in
9 my own mind is, do you have an interface back to -- I mean, do you
10 have contact with the people in the field? If you get data in and
11 you see some eyebrow-raising kinds of circumstances where you see
12 a number of leaks in a concentrated area, do you have a feedback
13 method to go back to management and say, hey, we've got this --
14 without even doing the calculation, we've got problems in this
15 neighborhood?

16 Do you have something like that, that you would go back and
17 say, let's act on this; let's not even wait for our total
18 analysis? You know, some sort of a look-see that your data, as it
19 comes in, showing you some interesting numbers -- because I
20 understand the data comes in rather quickly and you're able to
21 process the data rather quickly, from what I understand. So is
22 there any way to alert those outside your arena here in your work
23 chart to notify the field that this area is highly likely for
24 problems, we need to look at this?

25 A. So for the purposes of the work that my team does, we run our

1 risk analysis annually, which is still more frequent than the rule
2 requires and what a lot of peers would be doing currently. As to
3 leaks that occur or accumulate in between those annual cycles, you
4 know, we have strong processes through our normal operations and
5 maintenance through which individuals in the field have the
6 opportunity to take actions in between those analyses through the
7 knowledge they gain by surveying, responding to leaks, and
8 otherwise.

9 Q. I guess what I was wondering, if you have -- I'm not talking
10 about -- I'm wondering if you do any sort of localized risk
11 assessment for readings that may be coming in, not your umbrella
12 risk assessment for the entire company? Can you run any sort of a
13 routine that says, I'm going to look at this little neighborhood
14 and see what I -- you know, based on these indicators coming in?
15 Are you capable of doing that? Is that part of what you do?

16 A. It's not part of what my team does currently in our work, in
17 our responsibilities.

18 Q. Could you?

19 A. For our complete risk assessment to take place, there's a lot
20 of different data sets that have to be loaded, and it is accurate
21 to say that the leak data is continually available. One of the
22 things we also do through our efforts, though, is we try to
23 improve the quality of the information, the geospatial location of
24 those leaks as they come in. We partner with a firm to review our
25 leak sketches and look at the geocoded address location or the

1 coordinates that our field folks have supplied and give that the
2 context of what was drawn on a sketch and what material those
3 leaks were attributed to, to try and make sure that they fit in
4 the right place. It's not something that we are doing currently.
5 It's certainly a process that could be explored.

6 Q. Okay. Yeah, I was just curious.

7 So if we were to look at all of the factors that you use to
8 build your risk model, could you, from memory, go down the list
9 and say, okay, that was the pipe material, we have clamps, we have
10 -- could you go down and give us some sort of a list of what you
11 are considering?

12 A. Absolutely. So on the likelihood side, we are looking at the
13 piping material, we're looking at the coating, we're looking at
14 the size of pipe, and we're looking at the pressure service. And
15 those things together, along with collateral information, which
16 helps frame how those facilities are performing -- leaks,
17 observations of corrosion and condition reports of the coating --
18 serve to help us frame the likelihood of failure.

19 On the consequence side, you know, the largest drivers of
20 that, we have the building type, which we referenced ^{as} these
21 critical sites, which includes things we identify through our
22 efforts as well as our business district areas, which reflect
23 wall-to-wall paving and things like that. Population density is a
24 very high contributor. We have factors that speak to the presence
25 of conduits, you know, paths for the gas to migrate further than

1 it normally would, as collected when our leaks are repaired. And
2 the type of surface cover where our leaks are found, you know, is
3 it gravel, asphalt, was it just grass, so that we can, again, kind
4 of try and paint the good picture of how likely we are to
5 experience migration.

6 Q. So if you have a soil type that has corrosion properties in
7 it, would that be part of this? Like you have maybe some -- a lot
8 of times when we go to a scene, we'll take a soil sample because
9 it looks like there's something in the soil that could possibly
10 accelerate the corrosion that's on the pipe. I'm not talking
11 about the type of soil, the fact that it's -- could swell and move
12 and all that type of thing, but just basic characteristics of the
13 soil. Is that part of what you look at?

14 A. For our distribution models, we typically look at the
15 performance impacts that are caused by the soil, so the presence
16 of that corrosion and the number of clamps that are installed and
17 the observations of that corrosion.

18 Q. Okay. So when you say you do the analysis once a year -- and
19 you run your risk model, I guess, once a year, right?

20 A. Correct.

21 Q. When you get your results, what do you do with those results
22 and how does that impact the entire company?

23 A. So as we get our results, the first thing that we'll do is my
24 team will review those results and make sure that they're
25 consistent with the changes we might have made to our data

1 pedigree or to the way that the system operates. We will screen
2 those for replacement activity that may have affected the segments
3 that present. It might have been replacement work that happened
4 in the 3 months that it took us to complete our analysis. We want
5 to make sure that that's accurately reflected in those results.
6 And then we send those off to our field folks across the system
7 for review and validation.

8 Q. Okay. So you run your risk analysis, you get the results,
9 you look at the data, and then you send this data out to the
10 parties who are going to act on the data, correct?

11 A. Initially it's a review and validation exercise.

12 Q. Okay.

13 A. So it's our subject matter experts out in the field,
14 typically supervisors, managers, senior construction individuals
15 who have a lot of experience with those local systems and have
16 been through several roles during their time, individuals who are
17 involved in our leak survey or our corrosion control.

18 Q. Okay. Now that particular review and validation process, is
19 that geared toward a department with a head; there's a department
20 head that actually receives this as his responsibility or her
21 responsibility?

22 A. We would initially dispatch the request for the review effort
23 through the local operations director and local operations
24 manager. And subsequently, they would select the individuals in
25 their organizations who would be most appropriate to provide that

1 feedback to us.

2 Q. Okay. And what would that person's name be for the
3 operations manager that would get this report, typically?

4 A. It would vary. We have eight different areas, so there would
5 be a number of individuals across different geographies.

6 Q. Oh, okay. Okay. So it's not -- I got it. Okay.

7 MR. McDILL: It's dispersed.

8 BY MR. EVANS:

9 Q. It's dispersed. Okay. Once this gets out there and you have
10 this to these different operations types, do they have a timeline
11 that they have to meet for review and action back to you to say,
12 here's the results, we have them, it's your turn to do the review
13 and validation? Do you expect that back in so many days?

14 A. Typically we would afford about 4 to 6 weeks to complete that
15 exercise. Some areas you have several hundred individual segments
16 to review, and we want to make sure that they have the time to
17 give that review its due in addition to the other responsibilities
18 that they're carrying.

19 Q. Okay. So now let's take the next step. So they've done the
20 review and now you're going to get their comments. I guess you
21 get some sort of product from them once the review is completed?

22 A. Yes. We have an electronic system that we use to facilitate
23 the review that my team designed, and it provides them with the
24 context of the segment, maps, exhibits, leakage histories, all the
25 information that we use to complete the risk analysis. And in

1 reviewing that, they'll affirm whether or not the segment is high
2 risk. At times there might be a data issue, ~~which~~ ^{where} we called it
3 high risk and it was not in fact a leak that belonged to that
4 segment, perhaps. And they will give us that feedback, and those
5 that they have approved that will take the next steps through my
6 team.

7 Q. Okay. So let's just say there's a correction process of some
8 sort, or some sort of validation that you do to make sure that
9 their comments are accurate and you agree with their comments --
10 or you're going to shoot down their comments or you're going to
11 support their comments, kind of like that, right?

12 A. We would usually call areas that had questions or when a
13 conversation was warranted.

14 Q. Okay. So once that's been resolved, the comment part of it,
15 now you have a completed assessment, right?

16 A. Correct.

17 Q. The assessment is then complete?

18 A. Yes, that's correct.

19 Q. And it's ready to be acted upon, correct?

20 A. That's correct.

21 Q. Okay. Now, so when you have a -- you have all this fruit to
22 pick kind of, so to speak, right? That you identified?

23 A. That's true.

24 Q. And it's going to take time, money, resources, all sorts of
25 stuff to in order to pull this off to make sure that you meet what

1 you found in your assessment. So once this has been kind of
2 assembled, the next step that you take, does it go to a -- which
3 department does it go to, I guess, is the best way to start?

4 A. So it primarily goes two ways. So we package all of the
5 results up into media and materials that can be consumed by our
6 partners throughout the organization. We publish the areas that
7 have been identified as high risk to our corporate GIS system.

8 We prepare lists, maps, summaries, shapefiles, which can be
9 consumed into other applications that some of our teams use, and
10 make that available to the folks who are handling the replacement
11 prioritization and decision making. It's available to folks who
12 are doing project replacement planning who might be related to a
13 street project or road project. And we send the segments off for
14 high-risk surveys, as well, to Marlo's team, who you visited with
15 yesterday.

16 Q. Right.

17 A. So we subject all those segments to an annual survey that
18 have come up as relative high risk.

19 Q. Okay. So is there somewhere along the way that this effort
20 goes to an accountant, where the accountant says, you know, we
21 have to have a budget of X million to do what this risk analysis
22 says?

23 A. Tammy would be better able to speak with that, who you're
24 visiting with later today.

25 Q. Okay. Okay. I'll get that with her. Okay. So once this --

1 you have the materials and they're packaged up and you now know
2 where your high-risk areas are -- and I guess since I saw a part
3 of the presentation that you made to the Dallas city and I saw a
4 lot of money being spent, 8-point-some-billion dollars or
5 something, I think was the number -- it was a lot of money that
6 you're going to be spending over the next umpteen, you know,
7 projects that you have.

8 But what I was wondering was, you have to blend all this
9 stuff in with those projects, correct? Because some of the
10 projects that you're working on may involve what you're working on
11 as projects, so this has to get digested into that part as well,
12 right?

13 A. It's a comprehensive process and program that considers, you
14 know, the risk out of our work, the risks that are being found
15 through the field, and a number of different factors, as I
16 understand it.

17 Q. Okay. So once the assessment's out and you're now going to
18 make, start making progress, I guess, on -- I mean, I would
19 imagine you're going to the high items first, the high-risk items
20 first. How does all that, the items that you've identified, how
21 does all that make its way to say, this needs to be fixed tomorrow
22 or this needs to be fixed even -- ASAP, we don't have time to even
23 let this -- there must be items like that you find when you do a
24 risk assessment?

25 A. So we have -- you know, they all have a numerical score, and

1 you can rank them based on the score. So the ones with the higher
2 scores would traditionally get the earliest attention. With
3 respect to survey, they are -- they're all sent out for that
4 annual survey, and we provide all of the information we have
5 through Marlo's team and published out to the local compliance
6 organizations who handle those surveys. So they'll look at how
7 they need to schedule those.

8 MR. EVANS: Okay. Well, I'm sure I'm going to have a lot
9 more questions, so I'm going to pass it on to you now.

10 BY MR. McLAREN:

11 Q. Chris McLaren with PHMSA. Good morning.

12 A. Good morning.

13 Q. Yeah, trying to go through this discussion in a logical
14 manner, I guess I just look back towards the DIMP rule and --
15 because there's a lot of different questions I have. So maybe
16 just starting on knowledge -- we talked with Marlo yesterday about
17 missing information, trying to gather unknowns, trying to get all
18 the services into the GIS to be able to be utilized in the risk
19 modeling. And we really didn't -- we touched a little bit on the
20 environmental area in which the pipeline operates. One of the --
21 when the DIMP rule talks about that, you know, it's the design,
22 the operations, and the environmental conditions that a pipeline
23 operates in that needs to be gathered to understand threats and
24 consequences.

25 What missing information have you identified in very general

1 high topics, and what's the process where you communicate with the
2 data collection people on the data that you need to make sure it's
3 more accurate, the effect of unknowns within your database?

4 A. Sure. So we're fortunate that there's quite a bit of
5 activity, some of which Marlo spoke to. One of the mechanisms we
6 have for gathering missing data or data that warrants correction
7 or improvement at all times is an electronic map data collection
8 form and process.

9 So all of our field folks have access to a web portal where
10 they can advise our GIS team members of data that requires
11 correction. Maybe a pipe coating could be added where it was
12 otherwise absent, maybe a piping material needs a correction,
13 things like that. We started running that system back in 2013, if
14 memory serves, and we have thousands of transactions that have
15 been acted on to correct the map data out of that effort.

16 We have -- you're familiar with geocoding of leaks. And, you
17 know, you guys probably type an address into Google Maps and
18 sometimes the address can't get where it's supposed to be. A
19 similar problem on historical leak data. We've sent 53,000 leaks
20 over to a partner, ^{an}~~a~~ external firm to review the sketches, like I
21 mentioned, ^{to} look at an improved ^{geolocation}~~geocoding~~ that considers both the
22 address as well as parcel data, and then finally a person looks at
23 it and actually puts the leak associated with the pipe that it
24 most appropriately belongs.

25 We've executed a conflation process. Our main locations as

1 historically reflected in our geographic information system may
2 not have been in a location that matched common mapping locations
3 -- right side of the street, things like that. So the company
4 invested a lot to correct the geospatial location of those
5 facilities so that when you have a leak that's been collected with
6 a GPS unit, you can actually get that leak associated with the
7 pipe where the satellites and the rest of the world thinks that
8 facility ought to be.

9 We always strive to gather new and more data. Through the
10 efforts of my team, we've initiated a process to start capturing
11 leaks by coordinate, in addition to address, so that we get better
12 early information from our field folks that's more precise, and
13 those coordinates are sourced out of our mapping system as opposed
14 to a handheld GIS device, so that it has the context of where that
15 facility was located as those coordinates are collected.

16 And the sites and structures effort that I mentioned, you
17 know, through that we gain over 60,000 unique individual locations
18 where we might have difficulty evacuating folks -- might be kids,
19 might be old folks, might be sick people -- that we can then use
20 to help paint the best picture of our consequence.

21 So there's quite a lot of activity. I mean, for my group and
22 our efforts, there's several hundred thousand dollars a year that
23 we're afforded in budget money to help correct and clean up data.
24 Through Marlo's team, there's much larger dollar figures
25 associated with the distribution record scanning, the service line

1 scanning and subsequent mapping, and some of those efforts.

2 Q. With regards to gathering data, you mentioned that the field
3 can put in the electronic data form. If a field technician is out
4 there completing his exposed pipe report or other data acquisition
5 form, have you -- has your group had input to make sure that the
6 field is collecting the data you need, and are you aware of when
7 that form was last revised to its current state?

8 A. As to the second question, I'm not sure. The compliance team
9 is where the -- so Marlo you visited with yesterday. The GIS
10 function exists under her team, and they'd be able to better speak
11 to the currency of forms.

12 And forgive me, your first part of the question was?

13 Q. Is what's your input into that form to make sure that
14 operations is gathering the data you need to make the decisions
15 that are going to be coming out of it?

16 A. Sure. So with respect to the map correction form, that was a
17 product that was created while I had the GIS function under my
18 responsibilities. So we crafted that to collect the data that was
19 needed to enhance our mapping information, and also to support the
20 risk analysis.

21 As to some of the collateral processes that you're
22 mentioning, we've given our folks training about the map data
23 correction form, when it's to be used and what types of situations
24 where it's important to capture that information. Empowered with
25 that knowledge, we would have them completing it appropriately and

1 at the appropriate times.

2 Q. Okay. What about with regards to the collection of data on
3 environmental factors? That would include not only the soils
4 mentioned in the geologic and hydrophoric, different types of
5 soils and their effect, as was noted during some of this
6 investigation, but also, I think almost ties in -- it's difficult
7 to account for third-party damage other than based on population,
8 but looking at areas of growth, even third-party damage is a big
9 issue for all operators. How do you handle all these different
10 environmental factors within the risk model and data collection
11 forms?

12 A. So with respect to the risk modeling effort, a lot of that
13 information does come to us through reports of performance issues
14 in the form of leaks and collateral information that's collected
15 along with the presence of those leaks.

16 The excavation damage process, we're fortunate to have a good
17 partner in the form of Marlo's organization, and they do manage
18 the damage prevention process as a whole. So all things related
19 to excavation damage and damage prevention do come out of her
20 responsibilities.

21 With respect to other environmental factors, as those things
22 occur, our local field folks will respond to them as they're
23 noted. It might be a tornado, might be a flood, something along
24 those lines, and they will set up these requisite special surveys
25 and undertake other activities. As through those efforts they

1 find leaks or other performance issues that those situations have
2 caused, we get those through our risk-modeling exercise. And
3 we're aware of the cause and we're able to associate those leaks
4 and the causes to the appropriate pieces of piping.

5 Q. Okay. And to go down that little discussion, it was
6 discussed that you were going to provide to Tammy geospatial
7 information, numbers, different sorts of information on what you
8 consider high-risk areas. How are those areas grouped? Is it a
9 square mile, is it half a square mile, is it a particular
10 neighborhood, or does it vary? How do you break up your areas for
11 risk modeling?

12 A. So as we group our assets to support the modeling exercise,
13 we undertake a process called dynamic segmentation. So we take
14 all of our assets, and there are computer scripts that go through
15 and look for pipe groupings with similar physical and operational
16 characteristics and it will package those up. You know, you think
17 about drawing a box around a length of pipe and combination of
18 facilities; it's akin to that.

19 And the way we have our tools programmed, we have it set to,
20 in general, capture 2,000 feet or less of pipe in an individual
21 risk analysis project. So the whole system is divided into these
22 areas of dynamic segmentation. In total, there are about 270,000
23 individual groups of segments that are analyzed on their merits.

24 And I think the part of the question you asked, what we send
25 over to our partners in other areas of the organization who are

1 making those decisions are the representations of those assets and
2 the information we have about those assets, their risk scores,
3 information about the leakage, some of the contexts that qualifies
4 the data we used to call it high risk, information about the
5 corrosion that was experienced so that they have, you know, a
6 numerical representation of the relative risk, a feel for the
7 rank, and also the information which helps them understand what
8 was going on with that segment.

9 Q. And so, of these 270,000 dynamically segmented segments of
10 2,000 feet or less of main, do you look at the top 10 percent and
11 try to group them to understand where an area would be that would
12 be applicable to a replacement project or where a problem area
13 might be?

14 A. As we make those available to the folks who work for Tammy,
15 they have the ability to look at those segments in their systems
16 that they use for flow modeling and to help make a variety of
17 replacement decisions for a variety of reasons. So they can see
18 our segments represented in tandem with the infrastructure and all
19 of the information that's used to make replacement decisions.

20 Q. Okay. And so is that done geospatially? Are they on the GIS
21 and is it coming up as red, yellow and green, or how does it --
22 how does somebody visually integrate that data?

23 A. It would be geospatial. We send them -- one of the products
24 out of our effort are shapefiles.

25 Q. Okay.

1 A. And we send shapefiles to them that they can load into their
2 software, which can accept those types of data files. And then
3 they can see that and have those in mind as they're visiting with
4 the local areas that are their responsibility to coordinate with,
5 and can look at that in the context of all the replacement
6 projects that are proposed and coming up, both those that might be
7 stimulated out of our work as well as for other condition-based
8 reasons or things that have happened between our assessments that
9 warrant attention.

10 Q. And Marlo had mentioned that the services were coming back
11 into -- well, she was hoping to have the services all scanned and
12 into GIS; the program would close out, hopefully, by the end of
13 this year with some carry-on, I would assume, to make it all
14 QA/QC. Is there a plan to incorporate services into the risk
15 modeling?

16 A. We'll incorporate them. We're leveraging the GIS data as
17 they're entered into the GIS system, and that's something we're
18 all looking forward to, I think. We do consider service lines
19 through a parallel modeling effort where we look at our -- you
20 know, our steel service lines have the most leakage on them. And
21 as we analyze our service lines and do modeling activities related
22 to service lines, we have certain steel service ~~line~~ ^{lines} and map
23 sheets that present as higher risk than others.

24 Q. So that would be one of the other programs maybe listed in
25 Section 6, or what would be -- to account for services, you have

1 an external program looking at steel services because the data
2 shows that they have the highest risk. Okay. And so, Mid-Tex is
3 the only one that uses Optimain; is that correct?

4 A. That's correct.

5 Q. And so you supply shared services this information, to Mid-
6 Tex, to Operations, and Tammy and her -- and then is Tammy shared
7 services, also?

8 Okay. So you'd provide that to Tammy at Mid-Tex to do her
9 job. Do you also provide risk-modeling services to the other
10 divisions?

11 A. We don't. You know, we all do collaborate on practice and
12 methodology, but we don't provide services to the rest of the
13 corporation.

14 Q. Okay. On the input of SME qualitative information into the
15 model, rather than existing quantitative data, how does that
16 happen in the model?

17 A. So we have a path through which folks in the field can reach
18 out to us and make us aware of things that they've observed.
19 Typically, we would constrain those in similar fashion to the way
20 that we do the segments that we identify through our own efforts
21 with a, you know, ~~mounding~~ **bounding** box or, you know, along a given segment
22 of pipe. And we would work to understand the things that were
23 going on with that facility or that group of facilities and,
24 subsequently, as appropriate, incorporate those into the listing
25 of what we call high-risk assets.

1 Q. Is it common to get those one a week, one a month, or more,
2 and how is that documented?

3 A. It's infrequent at present time. As we made the transition
4 to getting the clamps enhancement, the main thing we were getting
5 from folks prior to that work was that local folks knew how many
6 clamps they had installed and they had that very present in their
7 minds. As we enabled that capability through our own analysis
8 routines, we started capturing most of the segments that they
9 would have identified for those same reasons.

10 There was a second part to your question there, forgive me.

11 Q. And how is it documented?

12 A. We would --

13 Q. Is it a near-miss-type recording event? Is it some sort of
14 voice box -- or not complaint but a recommendation box?

15 A. We have a voicemail box that's set up, and we also have an
16 email address where folks can reach out to us and initiate that
17 type of dialogue.

18 Q. On the current incident report, it's listed as under
19 investigation with a G8, "other incident cause." Have you made
20 any progress on the incident from February 23rd in identifying a
21 more definitive cause?

22 A. I'm not aware.

23 Q. Okay. You list -- one of the things that we -- it seems to
24 me to be a -- of course, you have a lot of drivers to be
25 addressing leaks, the Texas programs, and you describe in the

1 presentation given to Dallas this input from the model leading
2 towards prioritization. But leak surveys, it seems to be leak
3 surveys is your primary tool for identifying risk?

4 A. Leak survey is the cornerstone of a lot of how the gears turn
5 in the program. I mean, we survey 34 percent more pipe than
6 federal code would otherwise require if you look at it over the
7 past 10 years. Above and beyond the state rules, we survey an
8 additional 10 percent of pipe. So 34,000 more miles ^{than} federal code
9 ~~to Atmos practice~~ in Mid-Tex. And on the Railroad Commission end
10 of things, about 13,000 miles over and above what the Railroad
11 Commission would otherwise require. So we do place a lot of value
12 on survey, it's true.

13 Q. Certainly the lead data trends over time support that you're
14 aggressively addressing leaks and the leak rates. The scheduled
15 leaks at the end of the year seem to be going down. And as you've
16 looked at these areas, do you -- when you look at leak rate and
17 you're saying, I want to replace this material or this
18 construction or this environmental factor, are you finding that
19 you're replacing the right stuff, in the right place, at the right
20 time? As a general comment, do you think that the program is
21 effectively addressing the problem materials and the problem
22 places?

23 A. I do. We work hard through our own efforts, through my team,
24 to make sure that we've provided awareness of where those types of
25 situations exist, where facilities are leaking more frequently,

1 leaks, clamps, understanding what those levels of relative risk
2 are, making them available to a variety of folks who are in the
3 position to act on those facilities. Some of that work is
4 dispatched just as a product of having been identified as relative
5 high risk.

6 And by doing more frequent surveys on them, you know, we're
7 getting health checkups on those facilities ~~at~~ ^{on} an annual basis.
8 So if their condition starts to worsen, our local folks will be
9 the first to know and the first in a position to take action. And
10 then as we complete our subsequent risk analysis, we'll see the
11 downstream effects of what those more frequent surveys are
12 providing to us.

13 Q. Is there a required cast iron replacement program in Texas?

14 A. There is not that I'm aware.

15 Q. And so, from your work, you're going to be identifying what
16 cast iron, what bare steel, what un-CP bare steel, un-CP ~~coded~~ ^{coated}
17 steel, what problem areas -- it's going to be based on leak rate
18 where the problem materials are, regardless of material on those?

19 A. We make that information available to all the folks who are
20 making decisions about replacement prioritization so that they can
21 see where those segments are, you know, constrained by those
22 ~~mounding~~ ^{bounding} boxes like we discussed.

23 Q. Within the Optimain algorithm, how heavily weighted is age or
24 vintage material? Have you done sensitivity analysis to
25 understand what are the primary threat drivers that drive your

1 risk scores?

2 A. So in the way that Optimain works and the way that we set it
3 up in partnership with the vendor, assets are grouped into what we
4 would call failure families. So you might have, you know, coated
5 steel 2-inch IP and you might have some information about its
6 joining method, perhaps. And it would group that as a family of
7 assets that might have a particular likelihood of failure in and
8 of itself.

9 So as you take all of those similar assets across the whole
10 company and you look at all the leaks that have been associated
11 with all similar assets, the software and the partnership with the
12 vendors serves to establish sort of a likelihood curve. That
13 likelihood curve can be affected by other things, you know, like
14 corrosion that might have existed on a given segment, and pull
15 that curve up and down. So then, as you establish that family and
16 you understand the broader prediction of the likelihood of
17 failure, you're able to apply it to a specific segment that's been
18 subject to specific leakage and specific other circumstances and
19 criteria.

20 So the system works to put more emphasis on recent leaks
21 through an algorithm that ages leaks. So, you know, a mid-'90s
22 leak would have a different contribution to the likelihood of
23 failure than would a leak that occurred last year, for instance.

24 Q. Okay. Thank you. On looking towards -- I guess, operations
25 is really more in charge of leak management, or is that part of

1 Tammy's program? Or is that -- do you cover sort of looking at
2 the leak management, is it being located, graded correctly,
3 keeping those records, and then the self-assessment piece?

4 A. That would be under Marlo's purview for the leak management
5 program.

6 Q. Okay. And looking at -- now that the data's been sent in to
7 GIS and you've looked at it from a risk program, what performance
8 measures and metrics do you look at from that data? And I assume
9 that would be part of what you'd be providing to Tammy to be able
10 to make some of her decisions?

11 A. So we have --

12 MR. MARSHALL: This has not been distributed?

13 MR. McDILL: It has not been.

14 MR. MARSHALL: Okay. We have performance measures that we
15 look at. And probably familiar to you, Chris, performance
16 measures which do kind of speak to how your leaks by cause are
17 being impacted by your programs, practices and policies over time.
18 So we trend that. We look at that to try and assure that
19 comprehensive programs, both stimulated by the risk analysis,
20 condition-based work, ^{leak} survey, all those things that are happening,
21 are together serving to reduce risk system-wide.

22 We look at leaks by cause, hazardous leaks by cause. We look
23 at the information about our excavation damages and our damage
24 ratio through a couple different lenses, and we also look at
25 hazardous leaks by material. And then we pull excavation damage

1 out for an alternative view of that just so you can hone in on
2 those leaks that you might be more -- with so many excavation
3 damages being just a result of, you know, no tickets and people
4 not abiding by the laws and regulations, pull those out to get a
5 view of what facilities by material look like without excavation
6 damage in the mix.

7 And we do see that the combination of things the company is
8 doing serve to, year by year, reduce risk over time.

9 BY MR. McLAREN:

10 Q. And one of the things of going through the DIMP exercises is
11 to identify additional actions, risk mitigation measures to take
12 beyond the code minimum requirements. And those actions have some
13 performance trending from a baseline to make sure we're doing the
14 right things and we don't need to change.

15 Realizing that you're going to get -- or that that's Tammy's
16 program to go implement and take the data and identify risk
17 mitigation measures, I then see a lot of measures to address risk
18 in number 6, the table of the many programs, including a cross-
19 bore mitigation program. And it's hard for me to identify which
20 of these are regulatory required, which of these are addressing an
21 industry concern, and which of these, going through your DIMP
22 process, you identify as this is the -- this is what my management
23 system told me to do, in other words, and would then be required
24 to have a performance measure to track it.

25 Can you work with me to look at how all these other

1 programs -- I guess, what's the effect of all these programs that
2 Atmos has implemented on the output of the risk model program? In
3 trying to normalize data such that I can understand this was the
4 cause, this was the effect, I now have a lot of causes to change
5 the data, I guess. And maybe let's just start with one, cross-
6 bore mitigation.

7 A. Sure.

8 Q. Are you familiar with that program?

9 A. It's not my program, but I am familiar with it. It's a
10 program that's managed out of Phillip ~~Murdoch's~~ ^{Murdock's} organization.

11 Q. And does that present data that's input into GIS that affects
12 your -- the risk modeling?

13 A. We, as I understand it, we have recently started tracking
14 incidents of cross-bores in a more discrete fashion. In the
15 interim, we've done a lot of enhanced messaging, mailers across
16 our entire operating system, in adjacent territories where folks
17 might rent equipment and then go back to their home in another
18 jurisdiction, plumbing firms and entities, places like United
19 Rental, Home Depot, quite a large, wide net that's been cast for
20 that supplemental messaging. That was quite recent, so I don't
21 know that we've had enough time pass just yet to be able to see
22 the positive impacts of that messaging.

23 Q. Yeah, on an early program the performance is going to be all
24 over the place because is it because you're finding them because
25 you're looking for them now or -- yeah, so it takes a long time

1 for that baseline to establish, but -- and is that program
2 something that initiated out of the distribution IM?

3 A. I would say, you know, we're plugged into industry issues.
4 We participate in a lot of the forums that are available for
5 operators to get together and talk about things that are happening
6 to their systems. Cross-bores, as you know, has been a hot topic
7 for some number of years. Our own experience in having cross-
8 bores on our system does not seem, just generically, to be as high
9 as some of our peers, as best we know to date.

10 But seeing that industry discussion and that industry
11 knowledge, my understanding is we felt that it would be prudent to
12 go ahead and execute some enhanced messaging to try and get ahead
13 of problems that might start to arise as, you know, passage of
14 time and more industry tracking started to occur so that we had a
15 good read on what cross-bores we might be experiencing that
16 perhaps were not tracked as such.

17 Q. The next one from the bottom, the Distribution Facility
18 Replacement Program sounds like the Texas rule.

19 A. Yes, that's right.

20 Q. And I think that's conducive towards tracking and documenting
21 because it's required and it has a set format and everybody can
22 agree on that format. And I guess -- I think when I look at the
23 annual reports, I look at my pipeline data mark, I look at y'all's
24 charts, I end up seeing that, excluding excavation, it seems to be
25 either -- however it's working, whatever combination of these

1 couple of dozen programs and whatnot are working, are seeming to
2 reduce leak rates.

3 A. That's my observation as well.

4 Q. Yeah. I guess the concerning thing to me is excavation
5 damage, especially when I look at some of the data on the annual
6 report around, you know, mains, but also around services, some of
7 that local excavation damage. And then how that root cause or
8 common ground alliance cause factor that we put in the annual
9 report is sort of a third, a third, a third with regards to they
10 did not do the One Call, it was not located correctly, and they
11 did not dig correctly. And it just seems -- and when I look at
12 the excavation tickets rate increasing in Dallas in your work
13 area, in the Mid-Tex work area, it's very extensive.

14 A. It is. There's quite an uptick in development here as -- you
15 know, the economic climate is conducive for businesses and people
16 moving.

17 I would ask you -- draw attention to sheet 5 of 7. Just so
18 you know, our damage ratio is still overall favorable. Compared
19 with industry peers who have more than 3,000 miles of main, we do
20 seem to perform below the average^[i.e., we have a lower damage ratio]. Again, not my program, not my
21 matter to speak to in a great lot of detail. But I am generally
22 aware that, you know, some of the poly services, as you know,
23 Chris, do become unlocatable for various reasons over the passage
24 of time; ^{tracer} ~~(indiscernible)~~ wires get cut and things like that. We
25 do have our locate contractors empowered to, as needed, run a fish

1 tape through for a challenging-to-locate service. And subsequent
2 to that, they'll use marking technologies to make it possible to
3 locate that service again in the future so that the situation is
4 not left ~~as~~ ^{where} you will have a ^{challenge locating it a} second time. ~~having a challenge~~
5 ~~locating it.~~

6 And we've also done a lot to tighten up our as-builting time.
7 You know, several years back it might have been common to have an
8 excess of time between the in-service date of facilities,
9 especially in new growth areas where you have a lot of
10 construction activity and a lot of opportunity to have a newly
11 installed facility hit. We've tightened that down to, I believe,
12 ^{8 to 10} ~~4 to 6~~ weeks. So folks who are involved in locating and
13 protecting our facilities are able to see the assets, you know, as
14 reflected in our GIS, as made available to them a lot sooner so
15 that they can, you know, do ^{their} -- best and most capably do their work
16 to make sure that those facilities are protected and not hit.

17 And Marlo would be able to speak probably in more detail to
18 some of those things. Again, it's not my area, but ^{there} ~~they~~ are
19 things that are happening to help address some of those issues.

20 Q. Okay, just a couple more questions. To go back in, page 18
21 of the DIMP, the likelihood of failure, talks about how -- and you
22 had started -- you had discussed a little bit about how Optimain
23 works. But in the third paragraph, it talks about that the risk
24 assessment tool specifies five failure types that are mapped to
25 the eight threat categories. The five failure types ^{are} ~~or~~ corrosion,

1 break, joint, strike, and leak.

2 A little bit more about that. I mean, I've seen some
3 pictures from the incident site and it is -- if we had a leak that
4 was repaired or an incident area that was replaced or repaired,
5 would that individual GPS spot on that main be assigned one of
6 these failure types and one of these causal factors?

7 A. It would.

8 Q. It would, yes?

9 A. Yes.

10 Q. And that's if we dug it up and we looked at it and we either
11 replaced or repaired it. If we did not dig it up, what is the --
12 what is your policy about assigning probable -- that's a bad word
13 because that would infer apparent probable and root cause, but it
14 would -- you know, opinion on cause, or if it's a fitting, or if
15 it's a break to an area that has not been inspected visually or
16 nondestructively if you put a camera down it, whatever other
17 iterations. But I just left all this in and I ran a new service
18 line and I don't know why that service line -- how do you treat
19 those unknowns?

20 A. You know, it is a good question. We have a way for our
21 operations personnel, through their knowledge and their assessment
22 of the site, short of digging it up, should it happen that it's
23 not dug up, to provide us with a probable cause, something that
24 they believe was the cause of the leak upon their inspection of
25 the site. ~~Subsequently, should~~ ^{Should} it be exposed during the process

1 of repair or replacement, they ~~separately~~ would establish a cause
2 that would be a cause determined as a product of whatever they
3 observed during the repair, replacement or elimination of that
4 leak.

5 In the case of services, I've observed some of that work.
6 It's not uncommon to have the tap and portions of the service line
7 exposed in the process of making that repair, so there are some
8 opportunities to gain that specific knowledge based on a visual
9 observation of the tap and the portions of the service. But it is
10 a good question. We use the data that comes from the work
11 management system for the risk analysis as it's input by our
12 operations personnel based on their experience and their judgment.

13 Q. Okay. So Optimain is going to pull from CM+ historic opinion
14 or SME data assigned to a historically -- similar to the clamp
15 event, as it would to an active leak?

16 A. Say that one more time so I make sure I'm confirming --

17 Q. So Optimain is going to associate -- I'm in ~~light~~ ^{like} mains.

18 A. Yes.

19 Q. And now I'm assessing that main, which is a ~~light~~ ^{like} main, and
20 I'm going to be able to say, well, in similar mains I had this
21 opined or SME put historical data for a cause that was historical
22 in nature for a leak or incident that was historical. So what we
23 learned from Marlo was that it resides on an abandoned asset
24 layer. I guess that's where she's probably -- or where you all
25 are probably pulling the clamps from. And the clamps would be

1 active. It would be a number of clamps on an active layer, but
2 pulling from that abandoned layer where the old history resides.
3 A. So historical information does have a bearing on the overall
4 establishment of the -- they call it ~~like~~ a base probability. So
5 you've got all your ~~light~~^{like} grouped pipes and you know what leaks
6 based on what people did excavating, ^{or} what they might not have ^{seen} but
7 established a cause based on the best information they had
8 available. And you do end up with just a base behavior likelihood
9 for each of these failure types. So you have a basic anticipated
10 likelihood for your corrosion, for your break, for your joint, and
11 so on. And then as known leaks, known failures are associated
12 with a given segment, like you described, you understand how to
13 trace along those different curves, which are subsequently added
14 together to establish an overall likelihood of failure.

15 So you might have had -- you know, you might have a curve ~~4~~^{for}
16 corrosion, and that's just ^a basic curve for corrosion across all
17 similarly situated pipes. Well, let's say for that given segment
18 you've had observations of heavy corrosion as gained through
19 operations and maintenance geospatially associated with that
20 segment, the slope of your curve will tick up because that's worse
21 than the traditional segment. You have known observable
22 corrosion, and then you might have a leak, or several leaks, or a
23 leak and several clamps.

24 And as you become aware of that information and the way the
25 tool works, it will trace up that curve to establish a likelihood

1 that you're going to experience future failures on that given
2 segment with the context of what happens to all similarly situated
3 segments and that subject segment that you're completing an
4 individual risk ~~an~~ analysis on.

5 Q. And Optimain is taking in all of those threats, failure
6 types, and environmental considerations into account?

7 A. Yes. Correct.

8 Q. Okay.

9 A. So as the leaks and their causes come in, there's a mapping
10 exercise based on the facility type, the cause of the leak, and it
11 also leverages repair type information. It helps you get ^{more} out of
12 some of the ^{"Other"} ~~other~~ leaks and actually get to something, a failure
13 type that's more appropriate, more reflective of what happened to
14 the facility, especially on historical leaks. I mean, we have
15 leaks back to 1993 that are leveraged through the system.

16 Q. Okay. Thank you.

17 A. You're welcome.

18 MR. McLAREN: Thank you, Roger.

19 MR. EVANS: Any questions?

20 MR. COLLINS: Yes, sir.

21 BY MR. COLLINS:

22 Q. Jim Collins, Railroad Commission. A few questions. Based on
23 my limited experience in, let's say, the field -- that started
24 again. Sorry. I've had conversations with field personnel and it
25 seems that when they expose particularly buried ^{steel} ~~fuel~~ and repair

1 for a leak, within several months, a year there's another leak in
2 the same location due to, basically, them exposing the pipe and
3 either from the clamp causing corrosion or just exposing the pipe
4 itself. Is that a trend that has been ever reported to you? Has
5 that ever been discussed? I know I've discussed it a couple of
6 times, so --

7 A. We've had operations personnel echo similar types of
8 phenomenon as the soil is disturbed and the, I guess the
9 oxygenation around the asset occurs as the repair is made. So
10 it's 80 percent of the segments that are framed as relative high
11 risk through my team's efforts are, ^{bare} ~~they're~~ steel segments. So I
12 mean, matching with the story that you're telling.

13 Q. Okay. Do you know, do y'all have a specific -- so in the
14 2,000 feet of bare steel pipe, how many clamps on that pipe before
15 it's replaced? Do you have that particular number, or is there
16 other factors involved?

17 A. You know, I don't know that I could answer your question
18 directly from the work that my team does. I would tell you, I
19 mean, we -- the higher risk segments that we see through our
20 analysis usually have a fair number of clamps. And considering
21 those clamps is important. We'll have higher risk segments that
22 may have a one-leak record associated with them, but that one-leak
23 record might reflect seven clamps.

24 Q. Correct.

25 A. So we do see that and we do take that into account in the way

1 that -- we treat a clamp just like we do a leak for the purposes
2 of predicting the likelihood because that's a place where gas was
3 coming out of the pipe.

4 Q. Correct. Okay. Thank you.

5 A. You're welcome.

6 Q. Let's see. I've noticed in this ~~plane~~^{plan} -- I don't know if you
7 helped write the plan, the program at all?

8 A. In the initial phases we were, yes.

9 Q. Okay. In Section 6 particularly, it has the list of programs
10 and policies currently in place, and all of them are subsequently
11 detailed in later pages.

12 A. Yes, sir.

13 Q. Except for the odorization program. And since we were
14 talking about the DIMP plan there, I was kind of curious why
15 wasn't that in there in detail? I guess the reason I bring up
16 odorization --

17 A. Yes, sir.

18 Q. -- on this specific incident there was a thought that the
19 odorization, the odorant was stripped out of the gas because there
20 wasn't any reports of smelling gas before the fires in the first
21 two homes or the explosion. And so, reading, reflecting on the
22 rule, it has to be water soluble in 50 to 200-and-something parts,
23 I think. I'm not 100 percent sure exactly what the rule says --

24 A. Sure.

25 Q. -- but it says it can't be water soluble up to a certain

1 point. So how does that -- is that taking into account any risk
2 or the DIMP plan? Because to me, the two major things for
3 protecting public, odorization and leak surveys.

4 A. So I'm not sure about the -- it not being in the plan.

5 Q. Okay.

6 A. We don't have an odorization factor that goes into the risk
7 model, but as a part of the comprehensive process through which we
8 manage and address risk, you know, odorization is part and parcel,
9 like you say. It's not my area. The figures that you're
10 referencing, I mean, I too would struggle to recount those to you.
11 You know, I'm aware that we manage odorization and, I believe, do
12 so effectively and in accordance with the rules and regulations,
13 do regular checks and things like that.

14 Q. Correct.

15 A. I'm not familiar with the specific situation with this
16 specific incident, but --

17 Q. Okay. All right. I just didn't, I didn't know how -- if
18 that factor would come into the risk analysis, and so that's what
19 I was trying to understand.

20 A. I believe it's -- I mean, as found through inspections it's
21 corrected as found.

22 Q. Okay. Thank you. That's all the questions I had.

23 MR. EVANS: Mr. John?

24 BY MR. McDILL:

25 Q. John McDill with Atmos Energy. Andrew, I just maybe had a

1 few questions for clarification. I think you covered this, but I
2 just wanted to check back with you on this.

3 A. Sure.

4 Q. I think you mentioned that if operational needs were
5 determined throughout the course of the year, there's a means by
6 which they raise those issues for consideration, for actions that
7 comes in through maybe you or others, maybe Tammy's team; is that
8 correct?

9 A. That's correct. Yes.

10 Q. And so, some of that may be -- do you know what some of those
11 actions that they may ask for, will they ask for replacement of a
12 pipe or special surveys or --

13 A. Predominantly, replacement of pipe or special surveys. They
14 might ask for remediation of some cathodic protection areas,
15 things along those lines.

16 Q. Okay. But there's a path established to help?

17 A. Yes, through the locally-assigned individuals who work
18 through Tammy's team, which she would be in a better position to
19 speak to, as well as through this voicemail box and email address
20 that's set up for my team.

21 Q. Okay. And earlier in the discussion, you were talking about
22 the process in place that you built, y'all's team built a web
23 portal, that the results of all the analyses are delivered to the
24 subject matter experts in the field for their review?

25 A. Correct.

1 Q. So their review, their comments, their validations and
2 documentation, that is maintained through the web portal?

3 A. That's correct, yes. We facilitate that exercise through the
4 web portal.

5 Q. Okay.

6 A. And there are screenshots of that in an appendices with --
7 that frame some of the collateral information and gives a flavor
8 for the type of information that is captured and that a subject
9 matter expert or another person who has an interest in that
10 project or segment --

11 Q. So if you could maybe, just as we go through this, could you
12 reference what page number that may be on and the DIM Program
13 that's been, you know, provided (indiscernible)?

14 A. Surely. If you look towards the last, you know, five pages
15 or so, you'll see Appendix D, the SME review form, and then the
16 subsequent pages are screenshots from that web tool.

17 Q. So that's starting past what's -- like on page 29?

18 A. Yes, correct. It's something we're quite proud of, you know.
19 It's a powerful vehicle for facilitating that communication from
20 our group, where we consume quite a bit of data and need to
21 empower folks in the field with that knowledge, both to support
22 their review but, also, to support their decision making around
23 those segments.

24 Q. In the same package of information you're referencing in
25 Appendix D, there's also a segment that appears to be maybe a GIS

1 segment, indicating a red-bound area. Can you explain a little
2 bit what that is for us?

3 A. Sure. So that red-bound area represents an individual risk
4 analysis project. So the length of this one is not specifically
5 characterized on the exhibit, but, you know, it would typically be
6 less than 2,000 feet and would represent the area over which a
7 high-risk segment has been identified. There are little
8 crosshairs which characterize the leak locations, and we also
9 ~~service~~ **identify** for our field folks the presence of any nearby critical
10 facilities.

11 A unique aspect that we're quite proud of is, you'll notice
12 in the left side an the top right side you have some critical
13 sites identified. Those are in-home daycares or eldercare
14 facilities operating out of a residential home, so an area that,
15 you know, provides us good context for our risk. This segment
16 does not happen to be aligned with one of those that's framed
17 here. Some powerful information that we're able to consider.

18 So our field folks will have this to support their review.
19 It's available to anybody else in the project decision-making
20 process. And then for the folks who do leak survey, this is an
21 exhibit that's available as an attachment to the survey record so
22 that they can see the area that they're being dispatched to survey
23 because it was identified as a high relative risk. They can also
24 have the context of what else is around there and the locations of
25 the leaks that we had associated with that particular segment of

1 pipe through our analysis.

2 Q. Thank you. So once the operation subject matter experts
3 review and confirm the outputs of the modeling, and this is maybe
4 an example of one of the outputs?

5 A. Correct.

6 Q. And I think you said earlier you pass down a number of paths
7 for others to consume. So one of them would be to Tammy's team
8 for consideration for pipe replacement?

9 A. Correct.

10 Q. The other would go to Marlo's team for what?

11 A. Accelerated leak surveys, which would be executed on an
12 annual basis.

13 Q. Okay. So in the path of -- as this facility works its way
14 through planning for replacement, would surveys be performed on
15 the identified asset?

16 A. Yes, that's correct. And that's a good point. So regardless
17 of what happens with the replacement decision making, all of the
18 facilities are set up for an annual survey. So should that
19 facility not be replaced in the coming 12 months, it will be, the
20 risk will be managed and the segment will be monitored so that we
21 can make sure that we have a good feel for the condition of that
22 segment.

23 Q. Okay. Thank you for that clarification. You went through a
24 number of stats earlier related to survey frequencies, and I tried
25 to jot those down. But you said there's assets within Mid-Tex

1 that are surveyed more frequent than the federal requirements or
2 the state requirements. Could you repeat those again, please?

3 A. Sure. So if you compare current Atmos Mid-Tex practice to
4 the federal code, we survey ~~in~~ ^{an} incremental, you know, ~~in~~ 34,000
5 miles, about 34, 35 percent ~~of~~ ^{more} piping by miles than the federal
6 code would require.

7 The Railroad Commission of Texas promulgated some rules
8 related to prescriptive survey of assets that exceeds federal
9 code. We comply with those in addition to moving up other assets
10 for accelerated surveys; cast iron being an example. We do cast
11 iron every 12 months. We're replacing it at an accelerated rate, ^{and}
12 also feel that an accelerated survey is appropriate for that
13 facility. Our Dupont Aldyl-A piping we survey every 12 months as
14 opposed to lengthier periods that would be inherent to the state
15 or federal rules.

16 And on the state end, we end up with our practice doing about
17 10 percent more incremental survey than the state rule would
18 otherwise require, about 13,000 additional miles. So we do put a
19 lot of emphasis on survey, making sure that we know what's going
20 on with the assets, and especially those that have more failures
21 more frequently than others so that we have eyes on those
22 facilities.

23 Q. Okay. Thank you. I appreciate the additional information.
24 That's all the questions I have for you for the time being. Thank
25 you.

1 MR. EVANS: Thanks, John.

2 MR. TOBIN: Do you want to take -- we've been going for about
3 an hour and 15. Do you want to take a 5-minute break? Are you
4 almost done?

5 UNIDENTIFIED SPEAKER: Yeah, stand up.

6 MR. TOBIN: If they're almost done, we can keep going.

7 MR. EVANS: Yeah, we're going -- no, we're almost -- we're
8 not almost done.

9 (Laughter)

10 UNIDENTIFIED SPEAKER: I like that bait there. If you're
11 almost done, do you want to --

12 MR. TOBIN: I didn't want to cause trouble if we're almost
13 done. It'll just give you more time to think of questions.

14 UNIDENTIFIED SPEAKER: When I stood up, my back wouldn't
15 straighten yesterday.

16 UNIDENTIFIED SPEAKER: Oh no.

17 UNIDENTIFIED SPEAKER: We went so long.

18 UNIDENTIFIED SPEAKER: Went so long sitting in that chair.

19 (Off the record.)

20 (On the record.)

21 MR. EVANS: Back on the record with Andrew. This is tape 2,
22 Ms. Transcriber, or Mr. Transcriber.

23 BY MR. EVANS:

24 Q. This is Roger Evans. I would like to continue with some
25 questions I have. I want to go back to some of the tools that are

1 available for decisions that you may or may not have been part of,
2 but I just want to know if they were using your tools. On the day
3 they made the decision to curtail 300 homes of gas, and then
4 subsequent to that they had the 2800 or so that they curtailed,
5 were there tools, automation tools that are part of your risk
6 assessment world that they were using to make that decision?

7 A. You know, having been out due to injury and not having been
8 present or consulted during the decision-making process, I don't
9 know that I could speak with confidence to what information was
10 and was not reviewed. I think you're visiting with Jeff Knights
11 later today. Perhaps he would be able to speak to the types of
12 things he had at his disposal to support that decision making.

13 Q. But when you came back into the office from your injury, did
14 you find out that they had any activities from your peers as far
15 as accessing data for the 800 -- 2800 -- or 300- and 2800-homes
16 curtailment?

17 A. I'm generally aware that folks looked at whether we had any
18 relative high-risk segments that were in the outage area that was
19 ultimately elected, and the steel service line map sheets and
20 ~~associated~~ ^{associated} results related to that were provided by my team to
21 individuals.

22 Q. Okay. So if we had a similar incident -- I don't want to say
23 similar incident. Strike that one for sure. If we had any sort
24 of an incident where we had a leak, and looking at the interface
25 you have, this web portal, so this is at -- this web portal, is

1 this available on the trucks?

2 A. Yes, it would be available on the trucks.

3 Q. Okay. So is this part of their training that they would get
4 to how to use this particular tool when they go to the Gas City?

5 A. I don't believe so. I'm not familiar with the training in
6 that level of detail. I could tell you that the folks who are
7 involved in survey and those who are involved in the review of
8 those segments as we mobilize it do use that tool and have been
9 provided with training. We have a website that my team maintains
10 that the web portal is linked to, which has training presentations
11 and things like that available to anybody who would desire to have
12 that knowledge, but primarily focused on our SME reviewers and
13 those who might be executing leak surveys subject to the
14 accelerated surveys which are produced.

15 Q. Okay. So let's go back a little bit. When this tool is used
16 in the field, let's say it's used for post-accident review of
17 something, right?

18 A. Okay.

19 Q. The person that would typically look at this data would be?
20 Who would that be?

21 A. You know, it's open to a wide number of individuals. So our
22 local -- it would be speculation for me to say exactly who is
23 looking. I can tell you that in the method that we dispatch it
24 for review, it does go through the operations director and
25 supervisor, and they in turn pass it to key members of their team.

1 So awareness of the tool and, you know, the awareness ~~traded~~ ^{created}
2 through the review of the segments and, subsequently, the survey
3 of the segments is -- you know, does spread out among local
4 operations teams.

5 Q. Okay. So let's go back even further. Let's say that I am a
6 service tech.

7 A. Yes.

8 Q. And I'm the first on scene in the neighborhood and I address,
9 perhaps, the grade 1 leak that's in the southwest corner of that
10 property where the 300-home area is, right? Can I, or could I, or
11 would you think that that person who addressed that grade 1 leak
12 would go to this system here, this web portal to understand more
13 about what's going on? Is that in your thought process that that
14 is available to that person and that person would actually utilize
15 this information? Or his boss or a supervisor or a manager, would
16 that be the person who's more likely to look into this level?

17 A. I would expect probably someone up the leadership chain. I
18 would not expect that a service tech would be pulling up that
19 system specifically. He might have awareness of the presence of
20 that segment through different means and representations in our
21 GIS system. I don't know that he would get to that web portal
22 page specifically. It's an interesting thought. We've not
23 pursued that approach to this point, but it would be an
24 interesting thing to explore.

25 Q. Yeah. I'm just curious about that. So the response time in

1 a truck, is it as long as the person has Wi-Fi, it's just like
2 assessing ibm.com or whatever, it pops right up? The response is
3 fairly decent, you would think?

4 A. You know, I don't know that -- I don't have a good feel for
5 the connection speeds. I do know that it's a cellular data
6 connection. It's a little bit better than what you would
7 experience with your iPhone or your mobile device with the
8 technology that's in there.

9 Q. Okay. And one of the things that I was really interested in
10 is, and I don't see a tab for it, which I'm wondering about is, I
11 didn't see a tab for reports. Have you thought of having a
12 report, standard report **form** --like, if we were to imagine this is
13 all of Dallas, this table, and I want to say this particular table
14 I'd like to know, because I have this address, maybe, in this --
15 on this table, right?

16 A. Okay.

17 Q. What's the leak history for that little section?

18 A. Okay. I think I see your question. So what's not -- so that
19 is the actual form. The system that houses the form does generate
20 **reports where** -- you can filter down to your area of responsibility and you can
21 review those segments as listed and see what is present in your
22 area. You can look at individual segments to understand the
23 leakage and clamps and the collateral information that caused
24 those segments to be considered as high risk. It's **stored** separately in
25 our compliance management system.

1 You can run reports based on jurisdictions, map sheets, and
2 other things like that, where you can see leakage that's
3 constrained to an area as small as one of our map sheets or as
4 broad as a district or a city or town.

5 And there's also dashboards that, through a complementary web
6 portal, through the same ecosystem of applications, where folks
7 can go in and at a glance see their leaks by grade, you know, how
8 soon those will be out of criteria, and a variety of other
9 compliance-centric summary information that most of the folks go
10 to on a regular basis. And they can see reports about our surveys
11 that have been set up due to relative high risk. They can see
12 those upcoming surveys through that system, as well.

13 So there's linkages between all of these things through
14 different alphanumeric keys and different identifiers that would
15 help you navigate from one system to another.

16 Q. So as an example, if we were talking about this table and
17 this neighborhood and we have three phone calls maybe at that end
18 of the block, this end of the block and the middle of the block.
19 Within 2 hours, we have three people reporting a problem, right?
20 When you have something like that where it appears, on the
21 surface, to be a global issue, right, of some sort. Who knows, it
22 could be soil or whatever you want to call it, but there's a
23 couple of systems you're basically saying that even before the
24 person goes out to that area -- well, I guess they won't look at
25 any of this until they've gone out and checked that area out,

1 correct?

2 A. I'm honestly not sure. It might differ by person. I'm not
3 sure about the initiating process when a tech starts to roll his
4 truck.

5 Q. Right. Well, what I'm wondering about is -- and I'll just
6 ask the question. I'll make the statement and not ask any
7 question.

8 A. Sure.

9 Q. I'll just make the statement: Why do they not use your tools
10 before they go out so they know what they're up against when
11 they're looking for leaks, multiple leaks in the same area to kind
12 of get an idea of, hey, this is a -- this has a -- this many leaks
13 from this period, this many leaks in this period, I'm in an area
14 where we've got quite the activity.

15 They would have that in their mind before they even got to
16 the -- drive to the neighborhood. And that seems like a part
17 that's missing to me; that if you have all this data and you have
18 service techs going out to these areas, why won't they access the
19 data as a requirement to understand what they have, what's the
20 history of where they're going?

21 A. It's an interesting thought. And, you know, we do, out of
22 our group, have a lot of passion about empowering people with data
23 and information that'll help them do their job best. It's
24 something worth exploring. I would tell you that the same system
25 that they enter the leak data ~~into~~^{in to} and use as the basis for their

1 work has similar information that will be at their fingertips,
2 reports of leakage by map sheet, lists of individual leaks with
3 addresses referenced in those listings.

4 So we're a reflection of that information and maybe a
5 consolidation of some of that information, but they do have access
6 to the same information through some of the tools that they're
7 using to manage that work directly ~~to date~~ ^{today}.

8 Q. All right.

9 A. Something more and better we could do them -- for them in
10 that regard, it's an interesting thought.

11 Q. On the surface, I would like to see that as a safety
12 initiative that you folks do that and then you write it down as a
13 safety initiative so it can go on the report that since this
14 accident, we've changed business, we are now doing this. And I
15 think that -- the fact that you have this available and the fact
16 that the service tech does not religiously look at this prior to
17 going to a scene is just -- it's low-hanging fruit for
18 information.

19 MR. TOBIN: Let me just kind of sort of object. I don't know
20 that there's any testimony that they don't look at it.

21 MR. EVANS: Okay. Well, I would like --

22 MR. TOBIN: You haven't asked the right people.

23 MR. EVANS: Doc request to John. Do you use, do the service
24 techs use this information, I guess, from the -- what's this
25 called again, your web portal, right?

1 MR. McDILL: DIMP web tool.

2 MR. EVANS: DIMP web tool. Okay. So if we can find that
3 out. Good point. Okay.

4 MR. TOBIN: Or other similar data.

5 MR. EVANS: Yeah, or other similar data.

6 UNIDENTIFIED SPEAKER: Yeah, that's what I was going to
7 suggest.

8 BY MR. EVANS:

9 Q. All right. Okay. Thank you so much for that. That's very
10 interesting, by the way. The phrase you used was failure
11 families, which is interesting to me, to hear those two words
12 together. The failure families that you have identified, is that
13 the list that's in this? Is that this -- in the DIMP part or is
14 that a different section?

15 A. That would be a different section. If you look at -- bear
16 with me one moment here.

17 Q. I just want to reference this again (indiscernible).

18 A. Sure. Sure, sure. Failure family is described, I believe,
19 in Section 4.5, Likelihood of Failure, and that's on page 18, the
20 third paragraph down.

21 Q. Okay. Page 18. Third paragraph. Okay, good. Thank you for
22 that.

23 A. You're welcome.

24 Q. The other part that's interesting about your whole -- and
25 believe it or not, I actually have done a lot of software in my

1 life, so I've written specs and I know a good bit about software
2 just through the years, a little kind of sideline thing that I did
3 when I left piping. One of the things in software design is the,
4 you know, where you say this is frozen data. You must use that
5 phrase, frozen data, all the time. We're going to freeze changes
6 because now we're going to run our risk model?

7 A. Yes, we do take a snapshot of data, you know, circa a certain
8 point in time to begin the efforts to actually analyze a cohesive
9 set of data from a particular point in time.

10 Q. Okay. So once your data is frozen, then do you allow -- you
11 continue to allow the addition of updates from the field and all
12 that, but that would be another revision, right? So you're
13 working with that one snapshot that you used to do your risk
14 model?

15 A. For a given annual risk analysis effort, and then for our
16 purposes, subsequent information that came in, changed, or was
17 otherwise adjusted would be picked up during our next annual
18 routine risk analysis.

19 Q. Okay. That's what I was wondering. So you have a date
20 cutoff period for your input of data, and then once that's done,
21 it won't get updated till the next annual update?

22 A. That's correct, for the purposes of the work that my team
23 does.

24 Q. Okay. Okay. Right. So when the data -- we touched on this
25 yesterday. I just want to get a sense of this. I know computers

1 are fast and things work faster than they ever have, probably, in
2 our lives, but when you have someone who wants to take a piece of
3 information from the field and do an update, say, okay, this pipe
4 is not 2 inch, it's 4 inch, and now that 4 inch has to be sent to
5 you. From the time you get that data to the time that actually
6 makes it into the system, what's the timeframe?

7 A. So you're talking about the time that it would be available
8 for inclusion in a risk analysis?

9 Q. Or for -- let's say you're going to do -- you're going to
10 send someone out on another section of that line to do something
11 and the person looks at the records and says, oh, that's -- this
12 says it's 2 inch.

13 A. Okay.

14 Q. But he just updated it to be 4 inch, but how long -- what is
15 the -- how does that work?

16 A. You know, that is a process that's under Marlo Sutton's
17 organization although we had hands in it, initiating it. I
18 believe that ~~it's consistent with our as-building process of 4 to~~
19 ~~6~~ ^{for a map data correction it's a} ~~week~~ turnaround time, but that would be better confirmed by somebody
20 who is part of that organization.

21 Q. Four to 6 weeks?

22 A. From when the person in the field provided the information
23 that there was an opportunity to improve the mapping data and the
24 pipe facility data.

25 Q. And that's weeks, though, correct?

1 A. Yes.

2 Q. Okay. So is there a -- I know you said you have a contractor
3 that was doing some subtle verification of your data points and
4 all that type of thing.

5 A. Yes.

6 Q. I took it down in my notes. But, so, if let's say we have
7 this gentleman right here and he just went out in the plant and
8 he -- or went out in the area and he says, oh, it's 4 inch, not 2
9 inch, right?

10 A. Okay.

11 Q. Is there some verification process between when this person
12 makes that change to when you get it? Or are those changes, the
13 guy in the field says it's 4 inches, I guess we should believe
14 him?

15 A. I may be a little bit out of touch from how that's managed
16 currently. As we initiated that process, it would be typical
17 to -- for the ~~(indiscernible)~~ ^{requestor} to be directly contacted. There
18 would typically be a request for a record that substantiated the
19 change. But, you know, we -- if there's information which is
20 believed to be more accurate that would provide better opportunity
21 for operations folks to do their jobs, you know, it warrants
22 further investigation. If they've seen the pipe with their eyes,
23 maybe you can't find a paper document that supports it, I think
24 the situation varies depending on the level of information that
25 individual has and the extent of the system that that individual

1 observation could be applied to.

2 Q. Yeah, I can imagine a tech saying, that's 4 inch, I saw it
3 with my own eyes, so I would probably take their word for it
4 because they're on that stuff all the time.

5 A. There's information in the GIS which serves to help at least
6 lend insight into the extent of the facility to which that
7 information might be applicable. But again, it's not my process
8 today, so I --

9 Q. Okay. So the other -- you talk about shapefiles and I can
10 imagine what that is, but I'd like you to tell me what that is and
11 describe a shapefile for me.

12 A. Sure. So it's as simple or as complex as a database that has
13 geospatial information as part and parcel of the way that it's
14 architected. So you know, a database without the geospatial
15 component might be a database of our leaks. You incorporate
16 latitude and longitude and actually project them into a map-based
17 format and you have information that can be delivered in a
18 shapefile, that can be loaded into a variety of applications that
19 can consume data like that. There's quite a few on the
20 marketplace and you can load it into things like Google Earth or
21 Google Maps. It's fairly commonplace.

22 Q. Oh, a Google Earth shapefile is the same thing as what your
23 shapefile is?

24 A. Equivalent.

25 Q. Equivalent.

1 A. There's more capability with a shapefile than there is with a
2 Google KMZ or KML file.

3 Q. Oh, okay. Okay. So the shapefiles, let's say looking back
4 at this table being a segment of the city of Dallas, you could
5 generate a shapefile just for this boundary?

6 A. Yes.

7 Q. Okay. Okay. Then you talk about map sheets, and I know I've
8 seen map sheets. What are the sizes of your map sheet as far as
9 the scale that you use here?

10 A. I believe a typical map sheet is about a quarter mile by a
11 quarter mile or so.

12 Q. Okay. Yeah.

13 A. In our Dallas territory, it is not uncommon for the map
14 sheets to follow major roadway and arterial boundaries. So there
15 might -- there's some variation over the broader service
16 territory.

17 Q. Okay. So from a software standpoint, if you were looking at
18 a map sheet, are there -- on the physical side, is there data that
19 is extractable from that one quarter by quarter section?

20 A. It is a geospatial boundary so you can run reports and
21 queries against the contents of that geospatial boundary.

22 Q. And could I take that to ~~DEM~~^{DIM} Pro or what's it called, ~~DEM~~^{DIM} --
23 the portal? Has the portal -- could it be enhanced to do a
24 quarter mile by quarter mile?

25 A. So you're talking about the amount of piping segments that

1 are --

2 Q. Yes.

3 A. It would be technically feasible to broaden out the amount of
4 facilities that are packaged up. All facilities within a map
5 sheet are grouped into individual segments of pipe and are
6 assessed. You could also group those or do different things with
7 them. We find that the granular focus helps us see where segments
8 of pipe that are particularly exposed to, you know, significant
9 amounts of leakage compared to their peers, significant amount of
10 clamps does help us hone in on the areas of the highest interest.

11 Q. Okay. Okay. Do you have a -- I think you have this but I
12 just want to make sure I ask the right question. Do you have
13 metrics with regard to material type, leaks per X unit for a given
14 area? Like, could I say I want to know bare pipe -- or let's just
15 say steel -- let's use cast iron as an example. Cast iron pipe in
16 this little segment of the city, how many leaks I've had per
17 hundred feet or thousand feet or -- do you have something like
18 that?

19 A. We look system-wide, at ~~least~~ ^{leaks} per mile information. It's
20 possible to look at it in a more finite unit. The system-wide
21 performance numbers are something that my team looks at.

22 Q. But have you ever thought about making the information
23 available to the tech or someone -- again, going back to before I
24 go out there, I'm a service tech, I would like to know X, Y, Z
25 about this property. And, you know, have you ever thought about

1 saying, okay, this property has cast iron, in the past it's got 19
2 leaks per hundred foot, or per thousand feet?

3 A. I -- go ahead, sorry.

4 Q. Have you ever thought of that? I mean, is that -- are you
5 doing that?

6 A. You know, it is not something that my team is doing. I don't
7 know that I could speak more broadly about what folks in our
8 compliance organization might be looking at.

9 Q. Okay. I'm just curious if there were metrics that were used
10 based on your leak history with footage that could get to the
11 service tech level for his decision-making process.

12 A. It'd be an -- it's a good thought. It'd be something
13 interesting that could empower him with some knowledge.

14 Q. Okay.

15 A. Our Optimain system does incorporate a ratio of failures to
16 the length as a part of completing its calculation on a segment-
17 by-segment basis. But in the terms that you're speaking about to
18 map sheet boundaries or otherwise, no.

19 Q. Not that you would be familiar with this, but I'm curious. I
20 spent 5 years at the Chemical Safety Board and one of the things
21 that API started was this standard for indicators. Have you ever
22 looked at that or are you familiar with the fact that there -- how
23 the refining industry is using indicators?

24 A. It's possible I'm familiar with the concept but not by that
25 name. If you could elaborate?

1 Q. Yeah, I wish I -- API-750? I don't know the number. It's
2 been too many years since I've messed with it. But there was an
3 API standard for indicators. It's a very good document that
4 allows organizations to address issues based on indicators. It's
5 an excellent document. It came as a result of a recommendation
6 from the CSB. That's how it was generated. But it's a great -- I
7 think it's a fantastic tool. But you've never heard of API
8 indicators for anything you've ever done in this company, is that
9 correct?

10 A. You know, in the context of performance metrics and KPIs and
11 things like that, we do look at things like that if that's a
12 similar concept to what --

13 Q. Yeah, a similar concept.

14 A. -- what you're describing.

15 Q. Right. I mean, your graph is a pseudo -- someone could take
16 this and build indicators off of this very easily.

17 A. I see what you're saying, yes.

18 Q. Very easily. You could have some corporate indicators that
19 say X, Y, Z because of this and make decisions based on those
20 indicators. It's basically taking trends and things and building
21 indicators that help you to make better decisions in your work.
22 API does a really good job of -- it's a very small -- I think it's
23 maybe less than 10 pages, the document.

24 A. I'll have to go give that a read.

25 Q. Yeah. Okay.

1 A. Thank you.

2 Q. What impact do you have with regard to the seven other states
3 as far as do you -- are you like a leader that you share your
4 system, or do they share their system with you, or just in a
5 nutshell -- I mean, I know you folks have, Mid-Tex has their own
6 kind of way of doing business, but are there factors of that
7 business that you share, or they share with you that have brought
8 you to where you are today with the way you manage DIMP?

9 A. Over the years, we've all collaborated on approach, tools,
10 methods. We're currently exploring tools available in the
11 marketplace. You know, our tool was implemented a number of years
12 ago that we're using, as was the Enterprise tool, and the
13 marketplace has evolved quite a bit since then. So we're seeing
14 what is out there, and our own vendor has enhanced their product.

15 Years gone by, we talk about some of the data matters and
16 opportunities for improvement, techniques to improve that data.
17 We share with our partners some of the work we've done around the
18 critical sites and structures and the methodologies through which
19 more broadly we could go through that should there be an appetite
20 for those types of things. So we are -- we have the privilege of
21 focusing on this as a team quite a bit.

22 And we are by no means experts among everybody in the company
23 who executes this work as a practice, so we do take a lot of good
24 ideas and cues from folks who have this same responsibility in
25 those other states through the collaborative dialogue that we

1 have. And we'll meet face to face a couple times a year,
2 sometimes three or four times a year to get together and talk
3 about matters centered on distribution integrity management.

4 Q. Okay. So as an example, though, this particular set of
5 graphs, very interesting graphs. They're called All Leaks by
6 Cause and the Bates number is 1635, for my own record. Would this
7 document here be something that the seven other states would
8 complete and they would -- you'd be able to compare notes in a
9 meeting, get together and say, hey, this is where we're at with
10 this versus you folks? Is that something that would routinely be
11 done?

12 A. Everybody does produce those same metrics, I believe. At
13 times when we have got together, we've looked at different metrics
14 and how they present across the different areas. The management
15 of the metrics is the responsibility of the individuals who have
16 ownership of the process in their states and jurisdictions.

17 Q. Okay.

18 A. But there is comparing of notes and, you know, discussion of
19 how folks have positively impacted some of their figures.

20 Q. Okay. And do you do cross-state auditing where people from
21 over there come over here, you go over there and you audit what
22 they're doing, like the overall concepts? Like, would you look at
23 their risk definition model versus your model? Are you looking at
24 how -- you know, would they have this kind of report like you
25 have, your portal? Is that type of thing -- are these things

1 shared?

2 A. We do all share and we do all visit over the different areas
3 where we're respectively excelling to try and bring more of that
4 into focus and common practice. As to audits, not an audit, per
5 se, but certainly information sharing and collaboration,
6 communication, and dialogue.

7 Q. Okay. Okay. That's all I have.

8 MR. McLAREN: Just a couple follow-up questions.

9 MR. EVANS: Yeah.

10 MR. McLAREN: This is Chris McLaren. Thank you, Roger.

11 BY MR. McLAREN:

12 Q. I was just looking at some of the KPIs that are provided on
13 publicly available websites developed by the Pipeline Stakeholder
14 Group that produced some. They provide average leaks, running
15 trends, and things for operators and nations. And I think there's
16 a lot of KPIs available, and that's a great topic, especially as
17 we can drill down into a more granular level.

18 When we look at the information provided today by Atmos, a
19 lot of these are the DIMP-required performance metrics that all
20 divisions would have, and I think some analysis and understanding
21 of -- of course, there's a lot of environmental factors, a lot of
22 local threat factors that change how the divisions are going to
23 react to data individually, and I think that's part of the
24 performance-based program, the strength of it that DIMP is such
25 that local entities can take local mitigation measures.

1 But I think a lot of the cross-auditing function is -- AGA
2 that you all are a member of has done a lot with -- I don't know
3 if you all have been involved with their cross-functional audits
4 of different management system programs. And I think that the
5 strength is always in having the internal employees of the
6 operator perform those rather than consultants. Because then the
7 information is brought back in-house, and that's really where the
8 power is, is in the information, the knowledge.

9 Along those lines about KPIs and whatnot, we talked about
10 some of the leading things that might have said is this -- why did
11 this occur here, were there any predictive analytics that we use.
12 And in that, what was the risk ranking of the main where the -- in
13 the alleyway in the center of where the three incidents -- or the
14 singular incident and the two unknown causes occurred, along that
15 alleyway was there a risk ranking? Has the red box been put
16 around it and said this is where we find it in our data, and were
17 there any lessons learned from if that work had been performed on
18 what we were seeing in that data prior to the accident?

19 A. So we do have a risk result for the segment that's generally
20 bounded by Largo, Marsh, and then Durango and Espanola. The
21 cumulative score for that segment was about 8, just a little shy
22 of 8. Now, for context, our threshold for high risk, relative
23 high risk as established through statistical methods was 89 for
24 the active period in that given assessment period.

25 That particular segment had -- there was one leak that had

1 been associated with that segment. It was attributed to a failure
2 of the joint, and it was a leak that was not very recent. It was
3 an area of high population density. It was not near a church or a
4 hospital or a school or a nursing home, as you all know from
5 knowing that area.

6 So it was safe for the one leak that was present on it. It
7 was not presenting as dissimilar from our broader steel
8 infrastructure. There was not information associated with that
9 segment or entrained with that segment, performance based or
10 otherwise, which reflected -- as reflected in the risk score that
11 gave reason to believe that the circumstances that unfolded were
12 likely to occur.

13 Q. So I've got a couple of follow-up questions to that one. You
14 may not be able to answer because of the preliminary nature of the
15 findings. But when I look at the picture I see a 2-inch main with
16 what looks like to me to be a circumferential crack. Would that
17 be described within the failure types as a break?

18 A. We can look and see.

19 Q. Typically?

20 A. So if we look at that chapter, there will be a chart for
21 break, and we would be calling that a --

22 Q. On what page?

23 A. I'm looking here. And forgive me, I want to make sure we
24 give you the right -- let's see. And there are a couple charts to
25 reference.

1 MR. EVANS: Page 26, perhaps?

2 MR. MARSHALL: Yeah, across 24, 25 and 26 are the sections
3 that I'm reviewing. It is more typical in the way that our
4 mapping occurs, you know, leak causes to fail types and thereon
5 for a break to be associated with our cast iron pipe in the way
6 that the mapping occurs.

7 So it is a -- you know, not having seen the final reports or
8 having a lot more detail in front of me, we're always looking at
9 how the risk model works and ways to consider an improvement or
10 enhancement, or just make sure that it's providing us the right
11 information. And in this case, it would be no different than any
12 other case. We would continue to strive to do that as information
13 about this specific situation came more into focus.

14 BY MR. McLAREN:

15 Q. So a circumferential crack is something that you would
16 typically see on a cast iron, is what you're referring to, and am
17 I to understand that a break would not typically be associated
18 with a steel, coated steel main?

19 A. I don't believe -- not having all the information in front of
20 me, I don't -- I believe it is more frequent for our cast iron to
21 be subject to breakage than our ~~steel~~ ^{steel} assets.

22 Q. Okay. And then to -- and thank you for that reference to the
23 associated tables to support the cause and type definitions. So
24 89 during 2017, when you performed your analysis, was sort of a
25 criteria point that you used to differentiate between high

1 priority and non high priority items?

2 A. That's correct. Yes.

3 Q. And so, really glad that you're able to define the criteria.
4 Could you speak a little more to that criteria, specifically on
5 the consequence side? It seems like you're able to, in that
6 criteria for your number, drive more of the consequence value in
7 because what you mentioned was that this area did not have any of
8 the identified sites or, in DIMP vernacular, the transmission IM
9 speak. Maybe that could have been why?

10 A. When you compare it to other segments that are presenting as
11 relative high risk, it does have a lower consequence value as
12 established in the way that our tool operates. Other segments
13 that are at the upper tiers of risk are a lot of the times near
14 hospitals, churches, schools and nursing homes. Now, a segment
15 with a service performance history, lots of leaks and clamps, will
16 also be reflected in those results absent the presence of a
17 hospital, church, school or nursing home.

18 So in the process of tuning the tool to balance all those
19 considerations appropriately, you'll have, I guess in terms you're
20 familiar with, low likelihood/high consequence that will arise
21 sometimes, and also high likelihood comparative to a church, a
22 hospital or a school by lower consequence as, you know, calculated
23 by the tool.

24 Q. Absolutely. You did mention that this segment also probably
25 suffered from a low -- or had a low probability score because

1 there was only one joint failure on that segment in the alley?

2 A. Yes, only one in that section.

3 Q. And that had been some time ago?

4 A. Correct.

5 Q. I'm just kind of going down to look at some of the leak data
6 that you had provided us by year, excluding excavation, and --
7 okay. Kind of the last question I have is based on your
8 expertise. Within this area of Dallas, we can go 1 mile, 5 miles,
9 what are the three most significant threats to the integrity of
10 the system in this area on the threat side, in your opinion?

11 A. So we do typically look at that more globally, on a system-
12 wide basis. Predominantly being steel in this area, you know, I
13 would offer to you that excavation damage is far and above the
14 most prominent threat acting across the whole system. Second to
15 that, corrosion.

16 We do have quite a bit of leakage that as you review the
17 annual report related to stripped threads and gaskets and O-rings,
18 things that provide a lot of leaks but don't necessarily result in
19 unfortunate incidents of the type we're discussing. And we do see
20 some material ~~in~~ ^{and} joint failures across our steel assets.

21 MR. McLAREN: Thank you, Roger.

22 MR. EVANS: Okay. Jim?

23 BY MR. COLLINS:

24 Q. Jim Collins, Railroad Commission of Texas. I had one
25 clarification that kind of needed -- so the DIM Program mainly

1 focuses on the mains and any service lines installed after 2011,
2 is that what I read in your curriculum?

3 A. So the way I would describe it is the DIM Program
4 comprehensively covers all of the efforts, both based on risk
5 analysis and the operator judgment, and exclusively ops mobilized
6 pieces. As to the part about service lines, so we analyze the
7 service lines through a separate modeling exercise. So the bulk
8 of what's described in there is described on the mains process,
9 and then there is an alternative methodology that's utilized for
10 service lines that's appropriate for the way that data and
11 information is available.

12 Q. Okay. So the main is the Optimain?

13 A. That's correct.

14 Q. What's the service?

15 A. The service is an in-house developed model that we utilize.

16 Q. All right. And are those -- the service part, the in-house
17 part, is it reflected in the graphs that you gave us?

18 A. The positive benefits of the actions that stimulate from
19 running that risk model and doing things about it, mobilizing
20 replacement activities and things like that are reflected in the
21 metrics.

22 Q. Okay. Thank you.

23 A. You're welcome.

24 BY MR. McDILL:

25 Q. John McDill with Atmos Energy. Just to kind of reconfirm on

1 some of the discussions a little bit earlier, we -- as you do the
2 analysis, you're really -- the outcomes of that for the relative
3 higher risk segments that are identified, those are very granular
4 in nature, correct?

5 A. That is correct.

6 Q. Down to segment levels of up to what distance?

7 A. Up to, typically, 2,000 feet or less.

8 Q. Right. And just remind me, approximately how many miles of
9 pipe does Mid-Tex operate?

10 A. It's about 31,000 miles of pipe.

11 Q. Okay. And so the outcome of the analysis of data that goes
12 in through leak discoveries or leak management programs, other
13 data that's collected through the field, all that goes into the
14 analysis of the complete mileage applied?

15 A. Yes, it does.

16 Q. And reveals granular levels of risk, correct?

17 A. Yes. And that's the intention.

18 Q. Okay. All right. Thank you.

19 A. You're welcome.

20 MR. TOBIN: Before we finish, there was just one thing that I
21 just wanted to check with the witness, if I could, to make sure
22 that nothing was misstated?

23 MR. EVANS: Yes.

24 MR. TOBIN: If we could just --

25 MR. EVANS: Off the record.

1 MR. TOBIN: -- stay off record just for a moment? You can
2 keep the recorder running. We'll be right back.

3 MR. EVANS: We're off record with Andrew.

4 (Off the record.)

5 (On the record.)

6 MR. EVANS: Back on the record with Andrew Marshall.

7 MR. McDILL:

8 Q. John McDill with Atmos Energy. Andrew, just one clarifying
9 question with regard to the dimensions, approximate dimensions of
10 the map sheet. I think you said earlier a quarter mile?

11 A. Yes, that's correct. I would want to correct that to more
12 accurately reflect that they are about a half mile by a half mile
13 as opposed to a quarter mile by a quarter mile.

14 Q. Or do you know approximate footage those might be? I mean,
15 there may be variable dimensions based on where they're located,
16 but is it approximately -- well, a half mile by half mile is 2500
17 feet or so?

18 A. 2500 feet or so by 2500 feet.

19 Q. Okay.

20 A. Would be about the typical size.

21 Q. Okay. And there are some variability, as you mentioned,
22 because it may be bound by some streets or --

23 A. Yes.

24 Q. Okay.

25 A. Correct.

1 Q. Great. Thank you.

2 A. You're welcome.

3 MR. EVANS: This is Roger Evans. One last thing that I have
4 is -- and this is -- I can just image this during the page turn.
5 I want to capture exactly what we discussed about how this line is
6 risk ranked in the alleyway. You gave it a score. It has a
7 history. There were no hospitals, schools, nursing homes around
8 it.

9 I would like you, as a document request, if you could supply
10 that story so that story can be captured accurately for the
11 report, for the factual and the report. I want that to be -- I
12 don't want to use my own words and my own notes. I'd rather have
13 you folks at least get -- state those facts for me. Everything
14 you know about that alleyway line.

15 MR. McDILL: State the facts that went into the calculation?

16 MR. EVANS: Yes.

17 MR. McDILL: Okay.

18 MR. MARSHALL: It'll be equivalent to what you're pointing
19 to, Jim.

20 MR. EVANS: Yeah, if we can do that, that would be wonderful.

21 MR. McDILL: Okay.

22 MR. EVANS: And that is all I have. Is there anything else
23 you'd like to say, sir?

24 Anybody else have anything else?

25 MR. COLLINS: No questions.

1 MR. McLAREN: No questions.

2 MR. McDILL: No questions.

3 MR. MARSHALL: Very good. I appreciate the opportunity to
4 visit today and share with you some of the great work that Atmos
5 is doing. You know, we've learned a lot by the great publications
6 that NTSB has put out, as well as PHMSA, and it's helped us become
7 even more safe and more of a prudent operator than we are today,
8 our industry peers who participate through SGA and through the
9 AGA.

10 And, you know, one of the things that I think is the hallmark
11 that we do in this area specifically is around our company data
12 and information. You know, we have invested a lot, quite a bit of
13 money and quite a bit of man hours in trying to make sure that we
14 have the best data available for the risk analysis approaches, as
15 well as our folks in the field so that they can make the best
16 decisions about the local operations and maintenance of the
17 system. When you think about the matters of conflation and
18 getting the mains in the right place, making sure that our leaks
19 can be appropriately associated with our mains, and working
20 through the processes to make sure that whoever needs it, for
21 whatever purpose, they have, you know, current, timely, accurate
22 information in order to execute their work.

23 So I look forward to seeing you all's recommendations and
24 report and appreciate the chance to visit today.

25 MR. EVANS: Thank you so much. That completes the interview.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23

(Whereupon, the interview was concluded.)

CERTIFICATE

This is to certify that the attached proceeding before the

NATIONAL TRANSPORTATION SAFETY BOARD

IN THE MATTER OF: NATURAL GAS-FUELED EXPLOSION OF
RESIDENCE, DALLAS, TEXAS
FEBRUARY 23, 2018
Interview of Andrew Marshall

ACCIDENT NO.: PLD18FR002

PLACE: Plano, Texas

DATE: April 25, 2018

was held according to the record, and that this is the original,
complete, true and accurate transcript which has been transcribed
to the best of my skill and ability.



Lisa Fuerstenberg
Transcriber