

UNITED STATES OF AMERICA

NATIONAL TRANSPORTATION SAFETY BOARD

\* \* \* \* \*

Investigation of: \*

PIPELINE LEAK OFF THE LOUSIANA \*  
COAST IN THE GULF OF MEXICO \*  
ON NOVEMBER 16, 2023 \*

Accident No.: PLD24FR001

\* \* \* \* \*

Interview of: MARY TRAN, Director of SCADA Operations  
Lighthouse Midstream Services

Third Coast Operations Center  
Houston, Texas

Saturday,  
November 18, 2023

APPEARANCES:

DR. STEPHEN JENNER, Ph.D., Investigator  
National Transportation Safety Board

KAREN BUTLER, Operations Supervisor  
Pipeline and Hazardous Materials Safety Administration  
(PHMSA)

BUDDY GRAY, President  
Lighthouse Midstream Services

JOSEPH EISERT, ESQ.  
King & Spalding, LLP  
(On behalf of MPOG and Ms. Tran)

I N D E X

<u>ITEM</u>	<u>PAGE</u>
Interview of Mary Tran:	
By Dr. Jenner	5
By Ms. Butler	15
By Mr. Gray	32
By Ms. Butler	34

I N T E R V I E W

(2:35 p.m.)

DR. JENNER: Okay, we are on the record.

Good afternoon today is November 18th, 2023. The time is 2:35 p.m. Central Time. My name is Stephen Jenner and I'm an investigator with the National Transportation Safety Board. We are currently at the Third Coast operations control center in Houston, Texas. Today we are conducting an interview regarding the pipeline incident in the Gulf of Mexico on November 16th, 2023.

So, let's first go around the room and we'll introduce ourselves and again, please state your name and spelling, and your title, and who you're with. My name -- again, I'm Stephen Jenner, S T E P H E N J E N N E R, an investigator with the NTSB. We'll go to my right.

MS. BUTLER: Karen Butler, K A R E N B U T L E R, I'm an operations supervisor with PHMSA and that is Pipeline and Hazardous Material Safety Administration.

MR. EISERT: My name is Joe Eisert, last name is E I S E R T, I'm a partner with King and Spalding, S P A L D I N G, LLP, which is a law firm, and I'm outside counsel for Third Coast.

DR. JENNER: Mary?

MS. TRAN: My name is Mary Tran, M A R Y T R A N, I'm the director of SCADA operations at Lighthouse Midstream Services.

MR. GRAY: My name is Buddy Gray, B U D D Y G R A Y,

1 president of Lighthouse Midstream Services that oversees the  
2 control room.

3 DR. JENNER: Very good, thank you.

4 INTERVIEW OF MARY TRAN

5 BY DR. JENNER:

6 Q. Mary, you're at a remote location and we are talking to you  
7 by Teams. So, if you would, let's just start off -- could you  
8 just tell us a little bit about your background, your training  
9 experience, and previous jobs in the industry you made it up to  
10 your current position?

11 A. Okay, my degree is in electrical engineering and my first  
12 standard job out of college was with an electric SCADA system. It  
13 was an in-house SCADA system. Then I was asked to support a gas  
14 system. Then after that, I moved from Ohio to Texas and then  
15 worked at another gas SCADA system at ALON (ph.) and then after  
16 that, I went and worked with a crude pipeline at El Paso  
17 Corporation and then I started at Midstream. So, my background  
18 has been all SCADA since I graduated from college.

19 Q. And how long have you been in your current position here?

20 A. Current position, October 30th would've been my fifth year,  
21 so I'm going into my sixth year here.

22 Q. -- years and have you been in your same position -- has it  
23 changed at all in five years or do you -- been steady in your  
24 position?

25 A. My title has changed, but I'm still doing the same role in my

1 group where I'm a working supervisor -- working manager.

2 Q. Okay, can you tell us about what your daily  
3 activities -- what are your responsibilities?

4 A. I'm part of about four team members where we provide a status  
5 report either we add a new pipeline to the system if we require a  
6 new pipeline or we add a new RTU to the existing system or we do  
7 an RTU replacement. We troubleshoot issues with problems on the  
8 field, we troubleshoot any data that's not communicating  
9 correctly, (indiscernible) that work correctly with and we  
10 troubleshoot those issues. We also troubleshoot measurement  
11 issues that are reported to us and any poling issues.

12 Q. Okay.

13 A. And we also build new screens and configure alarms and  
14 configure set points when necessary.

15 Q. Thank you. We got a brief tour of the control room here and  
16 my understanding is that there's some changes going on with the  
17 control desk, maybe there's some updates. Is that right?

18 A. Yes, we are converting the current SCADA system to Geo SCADA.  
19 The current SCADA system is (indiscernible) and the SCADA system  
20 is called Geo SCADA.

21 Q. Okay, what is the update -- what sort of improvements does  
22 that provide?

23 A. That will allow us to bring the SCADA support in house and  
24 also it will provide us to -- allow us to display the com  
25 information, the IT imported information to help the technician

1 troubleshoot the com issues a lot quicker. It's also -- allow us  
2 to enhance the SCADA system in a more timely manner instead of  
3 having to go through a vendor.

4 Q. So, the big change is from -- transitioning from a vendor to  
5 make it all in house?

6 A. Yes.

7 Q. And when do you expect that change to be completed?

8 A. We are hoping to complete the transition from (indiscernible)  
9 to Geo SCADA first quarter or second quarter of 2024. We are  
10 close to completing the transition for OCC One pipelines. But for  
11 every pipeline, it's going to be first quarter or second quarter  
12 of next year.

13 Q. Okay, you gave us some information about your background and  
14 right out of school, you started working with SCADAs, what year  
15 was that?

16 A. I graduated in 1989.

17 Q. Okay.

18 A. And my first job is with an in-house SCADA system -- electric  
19 SCADA system.

20 Q. So, around --

21 A. And I work with this for ten years.

22 Q. Okay, so around 1989, 1990 was your first SCADA experience?

23 A. Yes.

24 Q. Okay, I asked that because your background says you have  
25 experience with a lot of different systems. Just in general, how

1 does the SCADA system here compare to some of the others that  
2 you've worked at in terms of its sophistication, its ease of  
3 operating, all things that you look for?

4 A. Well, for the base of functionality, it's the same. It has,  
5 you know, a display system, an alarm system, a way to set up a  
6 control, a history database, a real-time database. The difference  
7 with this system is a little -- it's easier to implement but it's  
8 a little bit harder to maintain, so -- probably because we have to  
9 go through the developer of this application -- the writer of this  
10 application for certain (indiscernible).

11 Q. Have you worked at a SCADA -- any previous SCADAs you've  
12 worked at have any type of CPM leak detection system?

13 A. At Summit, we were -- they didn't implement it while I was  
14 there, but they did have -- they were working with Atlas Company,  
15 the leak detection company to implement the leak detection at that  
16 company. But I wasn't there; I had already left the company when  
17 they implemented that.

18 Q. Got it. What are your thoughts about -- in general about  
19 leak detection systems? It seems like some properties have them  
20 and some don't. Where do you stand on that?

21 A. Well, what I notice is that the smaller companies, they don't  
22 have the money to spend on that, like Atlas, because it's so  
23 expensive. So, they do the system (indiscernible), where they do  
24 the net calculations between the system -- the delivery totals and  
25 the receipt totals but it's like it is in the apps and -- or they



1 do a short calculation.

2 Q. Right, and what do you -- for this system here, do you think  
3 it would provide added value if they had a leak detection system  
4 or do you see that it wouldn't be an improvement?

5 A. They will probably improve, but as of right now, we're just  
6 doing the net calculations of our total deliveries and total  
7 receipts. Right now on that -- on the (indiscernible) system.

8 Q. Okay, are you involved in -- there's a designated alarm  
9 screen, are you involved in the development of that aspect of the  
10 system?

11 A. We -- the whole team is actually involved with that because  
12 we have to be on call 24-seven so if there's a big problem with  
13 the alarm -- I mean with anything on the SCADA system, actually,  
14 we will get a call. But the whole team is helping with the alarm  
15 screen, so they can report it.

16 Q. Okay, no I've heard -- I haven't heard it here, the term  
17 used, but I've heard it on other properties, the term nuisance  
18 alarms. Have you heard of that term?

19 A. Yes, I do.

20 Q. Right, and that's something that others have had to deal with  
21 however they can. Is that an issue here of SCADA operators that  
22 that's a problem here? If so, how have you addressed that?

23 A. For the nuisance alarms where we can put a delay on the alarm  
24 unless the alarm condition is (indiscernible) for some period of  
25 time, then we don't edit that alarm. So, if there's something

1 going in and out and in and out, if it doesn't stay for -- you  
2 know, for 30 seconds or for a minute, then we don't generate that  
3 alarm, so we put a delay on it.

4 Q. Okay.

5 A. So, that way there's no -- the alarms are not going in and  
6 out on the alarm screen and it's going to clutter their alarm  
7 screen.

8 Q. Okay, is there any type of procedure to audit the alarms  
9 every so many years just to sort of go back and see how things are  
10 doing and if there could be areas that could be improved?

11 A. I know our field managers, they do the alarm reviews one a  
12 month for each pipeline and then they also do a yearly review of  
13 all the alarms to make sure that if you have a point that's not  
14 coordinated with an alarm, it doesn't need to be enabled. They'll  
15 work with the field supervisors to make sure the current alarm  
16 parameters are correct and if they need to be adjusted, then they  
17 adjust it at that time. They also look at the alarms that  
18 are -- we have a report that shows the alarms that come in all the  
19 time and the total count for each alarm and they look at that to  
20 see if they can work with the field to improve that alarm count.  
21 So, that way, it doesn't clutter the alarm screen for the  
22 controllers.

23 Q. Right, how do you guys -- how do you think it's going here in  
24 terms of the review of alarms? Are there changes that are made  
25 after the yearly review or is it pretty consistent?

1 A. I'm not part of the review. You have to talk to the CRM  
2 manager. He's involved with that. But as far as I can tell, the  
3 number of alarms that are on the alarm screen have been reduce  
4 because of this -- these alarm reviews that are being done monthly  
5 and yearly.

6 Q. And did I hear that you were not involved in the monthly  
7 reviews either?

8 A. No, I'm not involved. The SCADA team is not involved with  
9 the reviews; it's the alarm manager and the control room and if  
10 necessary, the air supervisor.

11 Q. When you upgrade the system like you're doing now, how do you  
12 keep up with, like, the most modern technology, the most -- how  
13 other companies are handling their SCADA systems? Is there a way  
14 that you communicate with each other? How do you learn what the  
15 ideal system is?

16 A. Well, with the current and new SCADA systems, we have other  
17 companies who are using or who have upgraded their systems to Geo  
18 SCADA. So, we've talked to those people just to get an idea of,  
19 like, I'll tell you what I need to or what did I like about that  
20 system and then learn the proper training and the (indiscernible)  
21 of this -- you learn the good and the bad of this system.

22 Q. Do you receive feedback from SCADA operators to help you make  
23 decisions about what sort of revisions you make? For instance, do  
24 you get feedback about the colors, or the size of the font, or  
25 where the screens are placed? Anything like that?

1 A. Yeah, when we design the screen, we design the screens based  
2 on (indiscernible) and yeah, make sure the displays -- the font  
3 setting is the same from one compound to the next, the screens  
4 have the same look and the same layout, and, like, a crisper  
5 setpoint. The setpoints are in the same locations, so it's easier  
6 for training purposes. But we do -- we actually -- we built this  
7 new space on the controllers' input. They work on -- they work  
8 with us on the screen designs and we build it to make sure that  
9 we -- that the space meets (indiscernible) standards.

10 Q. Okay, so if I get --

11 A. So, the SCADA system doesn't build the screen from scratch.  
12 We actually work with the OCC to come up with the screen and then  
13 from that, we build the screens, and then we turn it over to them,  
14 and they give us anything they think needs to be revised or needs  
15 to be deleted.

16 Q. Okay, if I get the terms right, it's the OCC One that has  
17 been upgraded so far?

18 A. Not every pipeline, but a lot of pipelines have been upgraded  
19 to Geo SCADA.

20 Q. Right, have you received feedback from the SCADA operators  
21 about what they think?

22 A. Yes, actually, they gave me an enhancement list already. But  
23 right now, we are focusing on converting over the current features  
24 and then add the new features in the future as a phase two or  
25 phase three. We are focusing on anything that is considered a

1 showstopper from coming over and then focusing on the wants. So,  
2 we are focusing on the musts first and then doing the wants later.

3 Q. Okay, I don't know if you can answer this question. If a  
4 controller is trying to diagnose a potential incident, are there  
5 any particular screens that they reference to give them the data  
6 that we're looking for? I saw they're 16 to 20 screens on the  
7 older system?

8 A. They can look at the alarm history and they can look at the  
9 data history to diagnose a problem.

10 Q. So, just a couple screens can get enough information that  
11 they need to diagnose a problem?

12 A. Well, a difference would come and then they would have to  
13 pull more than one tag, right? So, they may have to pull three,  
14 or four, or five, or ten tags, and then they take that data to  
15 analyze what the problem is.

16 Q. Okay.

17 A. And it depends on the situation. Sometimes they will contact  
18 SCADA and we (indiscernible) all that data for them so they can  
19 analyze that date. So, they don't have to get there and do it one  
20 at a time -- one tag at a time.

21 Q. Right, and in terms of alarms, the presentation of alarms, I  
22 think I heard that it's both visual and audible alerts with alarms  
23 and I also saw different colors?

24 A. Yes, we designed the alarms for controllers who are also  
25 color blind. So, it's not only color, but also shape and then the

1 numbers, so they can see okay a one is a critical one. If they  
2 get to the red color, but they see a one and the shape that they  
3 know is a critical alarm and they see a two, they know is a higher  
4 alarm, a few is a low alarm, and four is an alarm. So, we gave  
5 them two colors and also the shape and numbers.

6 Q. Right, so when an alarm comes on the screen, does it  
7 initially flash?

8 A. Yes, for a critical alarms, they will hear an audible. For  
9 all alarms, they will see a blinking, that means it's a newer  
10 alarm that comes in, and then once they acknowledge the alarm, it  
11 will stop blinking. So, they will see the alarm on the alarm  
12 screen, and also on the overview screen, or on the detail screen  
13 where that point is lit up.

14 Q. Okay, so once they acknowledge an alarm, what happens to it?

15 A. It depends, if the alarm condition is still true, it will  
16 stay on the alarm screen and it will return to normal and then we  
17 will remove the alarm screen.

18 Q. Okay, I --

19 A. Oh, and once acknowledged, the blinking stops. The blinking  
20 of that alarms stops and lets them know that they want to stay  
21 acknowledged.

22 DR. JENNER: Got it, thank you. I think those are the  
23 questions I have.

24 MS. TRAN: Okay.

25 DR. JENNER: We're going to move it on to Karen at this

1 point.

2 MS. BUTLER: Okay, all right --

3 DR. JENNER: Thank you.

4 BY MS. BUTLER:

5 Q. Thanks so much. I have some questions about a document,  
6 which I hope you have with you. Any --

7 A. Do you know who sent the document because I -- usually the  
8 SCADA -- do you see it on there? If the SCADA is cc'd on it, I  
9 should have it in my inbox.

10 MR. GRAY: So, Mary, did you -- at 2:27, I emailed you --  
11 it's a forward titled MPOG\_alarms.xlsx in the subject line and the  
12 attachment is a MPOG\_alarms. Do you have that email?

13 MS. TRAN: Oh, okay. I was sorting by the from instead of by  
14 the received.

15 MR. GRAY: Got you, and this is also known as Document Five  
16 and that's on hard copy.

17 MS. TRAN: Five, yes.

18 MR. GRAY: Okay.

19 MS. TRAN: Okay, so I have -- I opened up the inpog alarms  
20 spreadsheet.

21 MR. GRAY: Okay, so let me -- before Karen gets into that, so  
22 you know, the third column, the alarm time CST, that was added by  
23 Gilbert so that it would equate to the Central Time Zone for  
24 purposes of following the log.

25 DR. JENNER: Can you ask if she (indiscernible)?

1 BY MS. BUTLER: Yeah.

2 DR. JENNER: (Indiscernible).

3 MS. TRAN: Okay, third column.

4 MR. GRAY: Titled Alarm Time CST.

5 MS. BUTLER: CST because Standard Central Time, you have to  
6 get us mid-westerners.

7 MR. GRAY: I just -- I don't want you to see that and then  
8 thing that's, you know, not in the data set or -- that you knew  
9 of.

10 Do you see that column?

11 MS. TRAN: I just see --

12 MR. GRAY: Oh, hang on.

13 MS. TRAN: No, my file doesn't have that column.

14 MR. GRAY: No, I see that now. Hang on one second. He  
15 might've taken this and started -- okay.

16 MS. BUTLER: So, she doesn't have it?

17 MR. GRAY: She doesn't have -- she has the file.

18 MS. BUTLER: Uh huh.

19 MR. GRAY: I know what he -- he would've added this, edited  
20 it, tabloided it up, printed it.

21 MS. BUTLER: Got you.

22 MR. GRAY: But that's not what he has shared.

23 MS. BUTLER: Got you, okay.

24 MS. TRAN: So, is this just subtracting -- I mean just  
25 converting to Central Time as if -- this hour is five hours so you



1 can't even stay in the same time zone?

2 MS. BUTLER: Yeah.

3 MR. GRAY: Correct.

4 MS. TRAN: Okay.

5 MR. GRAY: Do you all want -- do you want to proceed for a  
6 minute to see if this works with diffusion or do you want me to go  
7 ask Gilbert?

8 MS. BUTLER: I think we'll be okay.

9 MR. GRAY: Okay.

10 MS. BUTLER: I'm guessing that we can talk to -- with her  
11 background of field and she's going to be able to give us some  
12 idea of whether she can see and explain and if not, we will  
13 regroup.

14 MR. GRAY: Yeah, we can --

15 MS. BUTLER: How's that?

16 MR. GRAY: Okay, that sounds good.

17 BY MS. BUTLER:

18 Q. Does that sound all right, Mary?

19 A. Yep, that sounds -- you can tell me, like, which row you're  
20 on and I can just follow it.

21 Q. Okay. All right, so to start off with, can we just ask you a  
22 simple question, have you been involved at all with looking into  
23 what happened, yet, on November 15th and 16th conceivably?

24 A. No, my team has been pulling all the data and I knew there  
25 was an incident (indiscernible) from the data, but I haven't been

1 looking at the data that was --

2 Q. Okay, do you know if any of your team members have been  
3 directly involved in kind of part of a root cause analysis or a  
4 failure review?

5 A. No, they have been only providing data of history or long  
6 history data to -- yeah, to (indiscernible).

7 Q. Okay, so they -- we've kept them busy with data requests is  
8 what you're telling us I think along with other people internally,  
9 I'm sure?

10 A. Yeah.

11 Q. Okay, so to start off with, I'm just going to ask you some  
12 basic questions around Document Five, but I'll talk  
13 to -- specifically enough that we can get to the same point and if  
14 I don't, I know you will help me clarify it in a way where -- what  
15 it is that you don't understand. So, what I'm going to start off  
16 with is the tag and I think the lead in to the tag is the PLC  
17 identifier itself. Is that correct? Like, I've got --

18 A. Yes --

19 Q. Go ahead.

20 A. Yes, so our tag name has three parts, the tag prefix, the tag  
21 title, and the tag suffix. So, the tag prefix is the name of the  
22 yard team -- the field we -- the name that we called the field  
23 device that we pull.

24 Q. Okay, so on --

25 A. And then --

- 1 Q. Go ahead, I'm sorry.
- 2 A. No, go ahead, Karen?
- 3 Q. Just a time delay between us. So -- I'll get it down. The  
4 more we talk, I'm figuring it out. So, for the main pass oil  
5 gathering system, which is what we're looking at in Document Five.  
6 Are there only two PLCs involved or am I -- is there more than  
7 that and I just didn't look at it correctly? Like, I'm seeing 225  
8 and I'm seeing 69?
- 9 A. Let me -- give me a second here and I can tell you how many  
10 PLCs we have in the system.
- 11 Q. That'd be great.
- 12 A. Because I know (indiscernible) but I can tell you about where  
13 (indiscernible). So, we have -- actually, we have there are  
14 four -- there are MC127 PLC.
- 15 Q. Okay.
- 16 A. MT225 PLC.
- 17 Q. Okay.
- 18 A. MT281 PLC.
- 19 Q. Okay.
- 20 A. MT69 PLC.
- 21 Q. Okay.
- 22 A. And VK8 23 PLC, so we have five.
- 23 Q. Okay. All right, so could you repeat those numbers slowly  
24 for me because I couldn't catch them all. 127, I believe I heard?
- 25 A. Okay, so -- yeah, so MC127, MT225, MT281.

1 Q. 281, okay.

2 A. MT69.

3 Q. Okay, that makes more sense. I heard it wrong, okay.

4 A. Then VK823.

5 Q. What -- VK?

6 A. Yeah, VK.

7 Q. And that was 823, is that right?

8 A. Yeah, that is correct.

9 Q. Okay. All right, so we've got five PLCs total. All right,  
10 and so when we're looking at our Document Five, on the evening of  
11 the event, it appears that we've only got two PLCs associated with  
12 commands or alarms. Is that -- you can probably do a searcher on  
13 organization. Maybe there's -- I'm seeing 225 and 69 as a general  
14 rule?

15 A. That's probably during that time period that was requested  
16 for that date. Yeah, so I --

17 Q. Okay.

18 A. Let me look to see was it from the 15th to the 16th?

19 Q. This was -- the first timestamp we've got is 11-16 at 12:02  
20 a.m. and then --

21 MR. GRAY: That's usually C.

22 MS. BUTLER: Oh, yeah, I'm sorry.

23 BY MS. BUTLER:

24 Q. Correct -- let me correct, 11-15, that makes more sense, I  
25 apologize, at 6:02 and that's p.m., yes. So, we took everything

1 on the evening shift, that's what we requested to 11-16 at 5:38  
2 a.m. So, it's everything in the evening of the 15th going into  
3 the morning of the 16th.

4 MS. BUTLER: Thank you for putting me in the --

5 MS. TRAN: Okay, so it looks like to me on this spreadsheet  
6 it includes not only the alarms, but also the setpoints that were  
7 being set during that time.

8 BY MS. BUTLER:

9 Q. Yes, so we had asked for alarms and events, so I think we got  
10 both and --

11 A. Okay.

12 Q. Thank you for clarifying that. I should've stated that. So,  
13 there's a couple things on here in other columns that I don't  
14 quite understand and I need your help to get to?

15 A. Okay.

16 Q. I totally understand the tag value, I think I've got that. I  
17 understand the information, it's very self-explanatory. I thank  
18 you for that, whoever put those sub information in or descriptors;  
19 that's -- those are very clear. When I get to the acknowledged  
20 user ID, there's a couple things in here that say null and is that  
21 because of some particular function within the system? Like, if  
22 you -- go ahead?

23 A. Yeah, the user ID only is displayed when the controller  
24 acknowledges that alarm. So, if you have a new alarm that comes  
25 in and is returned to normal, it -- there's no acknowledgement ID

1 in that -- for that event -- I mean for that alarm event.

2 MS. BUTLER: So, what confuses me just a bit is -- so, the  
3 first one that I'm seeing that appears to be pressure related  
4 comes in at 450 value, low limit exceeded, and it's 11-15-23 at  
5 7:21 p.m. Can you take a look at that line for me?

6 MR. GRAY: She's going to have a different sort.

7 MS. BUTLER: Okay.

8 MS. TRAN: What?

9 MR. GRAY: Hang on, let me -- you didn't sort at all, did  
10 you, Mary? I'll find --

11 MS. TRAN: Yeah, I did not sort it.

12 MR. GRAY: Okay, let me --

13 Give me one second, Karen.

14 MS. BUTLER: No problem.

15 MS. TRAN: Would it be better if I shared my screen?

16 MR. GRAY: I think that might actually make it more difficult  
17 because then she's going to be looking up and down at a  
18 spreadsheet here. So, if you look at line item 79 -- row 79.

19 MS. TRAN: 79, okay.

20 MR. GRAY: Hang on. ATC --

21 MS. TRAN: Okay.

22 MR. GRAY: Hang on. Actually, go to 109.

23 MS. TRAN: 109, okay.

24 MR. GRAY: So, the UTC time there you show should be 11-16-23  
25 at 1:21 a.m.?

1 MS. TRAN: Okay.

2 MR. GRAY: Okay, so then --

3 All right, Karen, do you want to ask your question?

4 BY MS. BUTLER:

5 Q. Yeah, so I'm just -- I think I understand the first column,  
6 but I don't understand the second. So, the first thing when I'm  
7 going over from a low limit exceeded of 450 and it says the  
8 acknowledged user ID is null, I would take it because the user  
9 hasn't acknowledged at that time?

10 A. Yes, so row 109 where it says null, it is -- that's a brand  
11 new alarm that was generated.

12 Q. Yes, so then when I cross to the next line and I get a  
13 priority of two, that would mean to me, since we appear to have  
14 four priorities, that this is not the highest priority, but it's  
15 next to the highest priority. Is that accurate?

16 A. Yes, this is a high priority.

17 Q. Okay, so it's this next part that I'm confused by. When it  
18 has an alarm and it says NA versus the computer name of Steam Con  
19 (ph.) -- what is that, a three? Steam Con -- so -- go ahead?

20 A. Yes, the computer name will be displayed when the controller  
21 acknowledges it. It tells us where it's -- the alarm from -- from  
22 what PC. So, that PC name is (indiscernible).

23 Q. So, what's bugging me a little bit is do you see how Steam  
24 Con B, when it has a value in it, when I look to the desk, it's  
25 null. But when I have an alarm, the computer name is N/A, but the

1 desk is OCC Two. So, why is that null on the desk for Steam Con  
2 Three and then it reverses and I get NA on the computer name  
3 versus the desk OCC Two.

4 A. So, the Steam Con Three is the PC name and the OCC One and  
5 OCC Two is the alarm entry. So, I don't know -- the layout in the  
6 control room, do you have a console for one and a console for two?

7 Q. Yeah.

8 A. Yes, so the OCC One tells me that is on the console two alarm  
9 entry.

10 Q. Uh huh.

11 A. The C Three is the PC name where Steam is running from.

12 Q. Yeah, so I'm trying to figure out why isn't there a PC name  
13 associated with an alarm entry regardless of who receives it and  
14 regardless of who acknowledges it, so which console it goes to and  
15 who acknowledges it. Why doesn't it have the computer name  
16 because it's being hosted somewhere?

17 A. The -- Steam's data system, it will only record the PC name  
18 when the controller acknowledges that alarm.

19 Q. Okay, so it's just a function of its alarm programming, is  
20 that accurate?

21 A. Yes, it's a function of the Steam alarm system.

22 Q. Okay, all right.

23 A. So, if it's a brand-new alarm, it does not display any of the  
24 PC.

25 Q. Yeah.



1 A. It only displays the PC name when an action is taken by the  
2 controller or in this case, he acknowledges the alarm.

3 Q. Okay, all right.

4 A. Or (indiscernible).

5 MS. BUTLER: Okay, and similarly, is there a reason when I'm  
6 changing a setpoint -- for example, the very first entry for us,  
7 which is occurring at 6:02 p.m. --

8 Which I know is a different line for her, right?

9 MR. GRAY: I'll find it. Keep going through your questions,  
10 though, I'll find it.

11 BY MS. BUTLER:

12 Q. It has a setpoint change by one from Caesar (ph.), right, and  
13 he acknowledges that setpoint change, so he's entered the value,  
14 he acknowledges that that's the right value, it tells me that it's  
15 processing that through Steam Con B, but why is the desk null?  
16 Why does it have to --

17 A. That --

18 Q. Go ahead.

19 A. Yeah, the desk only -- it's only tied to the alarms. So,  
20 this -- in this case, it's a setpoint control tag and it's not an  
21 alarm tag, so it doesn't have an associated desk.

22 Q. And it -- again, that's the same way, it's just how it's set  
23 up in Steam?

24 A. Yes, this is a function of the Steam SCADA system.

25 Q. Okay.

1 A. It's -- the desk is only associated with the alarms. So, if  
2 the point in the tag is not an alarm point, then there's no desk  
3 associated with it.

4 Q. That would seem just a bit precarious in that conceivably,  
5 you could be working from a different console and executing  
6 setpoints. But I understand you can still track it back. Okay,  
7 so can you explain to me a little bit about what the SCADA  
8 pressure high high 910 reset command is? That one is 11-15 at  
9 7:21. At least that's --

10 A. That's --

11 Q. Go ahead.

12 A. That's the prediction for the pressure transmitter out in the  
13 field.

14 Q. Uh huh.

15 A. Yeah, so this point is tied to the pressure transmitter, PT  
16 10 for pressure transmitter, and this 910 is the label for that  
17 pressure transmitter.

18 MS. BUTLER: Yeah, I'm trying to figure out why -- I guess  
19 that's the line above it, wasn't it. Why is that considered a  
20 reset? It's -- yeah, I'm just to find -- it's actually the line  
21 above it -- it's 602, still, but it's -- it just looks at SCADA PS  
22 high high 910 reset.

23 MR. GRAY: Yeah, and --

24 And hang on one second, Mary, so I can just get this same  
25 line.

1 Which one are you?

2 MS. BUTLER: So, I'm here and you're --

3 MR. GRAY: No, sorry, is it that one right there, right below  
4 there?

5 MS. BUTLER: Yeah.

6 MR. GRAY: Okay, so that's UTC 11-16 12:02 and that is NP69  
7 crude PLC.

8 MS. BUTLER: Yeah, because see here, he's setting a setpoint  
9 and over here, it says reset command.

10 MR. GRAY: Yep, okay, so SPT SCADA reset PS --

11 MS. BUTLER: And I understand, but we haven't had any reset  
12 commands prior to that and we've been changing setpoints. So,  
13 something's different about that.

14 MR. GRAY: 10-16-22 --

15 You want to go look at row 128, Mary.

16 MS. TRAN: 128, okay.

17 MS. BUTLER: Something's different about that point.  
18 Happening at --

19 MS. TRAN: Oh, this is a different setpoint. So, if you're  
20 looking at part A in column A, it's a set (indiscernible).

21 BY MS. BUTLER:

22 Q. Yeah, so he's a different -- he's setting something  
23 different. I'm trying to figure out why -- am I actually setting  
24 a reset value that does something? Do you know what that does  
25 because it -- since it uses the word reset and it's a command

1 function, I'm resetting something on the high side for that 910?  
2 The reason that I've got to get this squared is because we have a  
3 pipeline pressure below. Even though it's on the low side, I want  
4 to make sure I know what was happening with that point?

5 A. This is probably a better question to ask someone in the  
6 control room.

7 Q. Okay, fair enough.

8 A. Yeah, because -- yeah, we just set the setpoint configuration  
9 and, you know, we -- yeah, we just set up for them and then they  
10 just set a zero or a one.

11 Q. Yeah.

12 A. Yeah, but I don't know when they do the reset and the reason  
13 why they do the reset.

14 Q. Okay, we'll ask that of people that would know and get that  
15 clarification, okay, because that's on that VK 920 -- or 823, so  
16 that's a different point at the end of the system that would be  
17 critical to us to understand. Okay, so I think as I was looking  
18 through this, there's not a lot of other things that weren't  
19 clear. Maybe telling me what you're using in your alarm state?  
20 Have I got -- like 13, 14, is that some binary conversion or  
21 something that's going on?

22 A. Yes, there a test descriptor for each alarm state. I can  
23 give you that information. Unfortunately, that's not in a table  
24 anywhere, so we can priority it.

25 Q. Okay.

1 A. We have -- yeah, the vendor has a list of the numerical  
2 values for each.

3 Q. Okay.

4 A. If you need that information, I can provide that to you.

5 Q. If you can just get that list, that'd be great.

6 A. Now, do you want the alarm state?

7 Q. Yes, the alarm state. So, what 13's telling me, what a five  
8 is telling me?

9 A. Okay.

10 MR. GRAY: Yes, alarm state ID and alarm state description,  
11 is that what you're requesting?

12 MS. BUTLER: Yes, the alarm -- yeah, all I've got is alarm  
13 state, yeah,

14 MR. GRAY: Right, so if she gave you a table that had these  
15 numeric number and then a description --

16 MS. BUTLER: And what it was, that would be perfect.

17 MR. GRAY: You would be good?

18 MS. BUTLER: Yep.

19 MR. GRAY: Okay.

20 And then, Mary, any of the data requests, if you'll route to  
21 me, we're just trying to make sure we're documenting everything  
22 that goes over to them, thus why we're calling this doc five. So,  
23 just send those back to me, please?

24 MS. TRAN: Okay, and then you said you will send it to Karen?

25 MR. GRAY: Yes, I'll get it out to everybody and make sure we

1 label it.

2 MS. BUTLER: Yeah, because I think everything else, when I'm  
3 looking through here -- reset, acknowledged -- I mean, it's a  
4 quick scan. But I'm not seeing any other function. We've  
5 explained all these versus NAs I think. I'll go back through it.  
6 Then we've got this reset again. So, understanding that function  
7 is going to be important because it's happening at the same  
8 location.

9 BY MS. BUTLER:

10 Q. Equilon (ph.) 3305, where is that? It's --

11 A. Equilon 3305?

12 MS. BUTLER: Yeah, where is that location?

13 MR. GRAY: So, you would find it on tag NP69 crude PLC\_BLV,  
14 so about 305.

15 MS. TRAN: Can you tell me what row?

16 MR. GRAY: Yeah, sorry.

17 MS. TRAN: Valve 305, okay, I --

18 MR. GRAY: Yeah, if you'll just look by tag find the valve  
19 305 because I think she's looking at just a few different rows.  
20 But she's just trying to understand the tag description, which is  
21 crude valve equilon 305.

22 Close command, is that the tag description in particular?

23 MS. BUTLER: Yeah, that's exactly what I'm trying to figure  
24 out.

25 MR. GRAY: Okay.

1 MS. BUTLER: Because we've done a setpoint change, but now we  
2 have this close command.

3 MR. GRAY: So --

4 MS. TRAN: Yeah, so --

5 MR. GRAY: Go ahead.

6 MS. TRAN: I'm looking at row 60?

7 MR. GRAY: Yep, that's it.

8 MS. TRAN: I'm looking at row 60 and that is a close setpoint  
9 command -- I'm sorry, command to close a valve.

10 MS. BUTLER: Yeah.

11 MS. TRAN: A setpoint command to close a valve.

12 MS. BUTLER: Where --

13 MS. TRAN: And the valve is called equilon 305.

14 MS. BUTLER: Do we know where that valve is?

15 MS. TRAN: And it's -- I'm sorry, Karen?

16 MS. BUTLER: Do we know where that valve is, equilon 305?

17 MR. GRAY: I can't speak to that.

18 Mary, do you feel comfortable speaking to that or do we need  
19 to take that to the control desk?

20 MS. TRAN: To the control desk or to the field.

21 MR. GRAY: Okay.

22 MS. BUTLER: Okay, all right.

23 MR. GRAY: I would be guessing off of the information right  
24 in front of here.

25 BY MS. BUTLER:

1 Q. Okay, I think this is similar. So, once we understand the  
2 one, we understand the other. Yeah, this is just -- everything's  
3 low, okay. I think I'm good. The only other element, when you go  
4 about getting changes and you said you had to go through a vendor  
5 to accomplish your SCADA changes, who's the vendor for Steam?

6 A. Spotlight Systems.

7 Q. Spotlight Systems, okay.

8 A. Yes.

9 MS. BUTLER: Okay, I'm good, I think.

10 DR. JENNER: Okay, thanks, Karen.

11 Buddy, you have an opportunity to ask questions.

12 MR. GRAY: Mary, thank you for being on the call. I don't  
13 have any questions. I know the project she's working on.

14 DR. JENNER:

15 BY MR. GRAY:

16 Q. So, I don't really -- and I mean, I guess just for the record  
17 piece, the SCADA system that is for MPOG is Steam or is it Geo  
18 SCADA?

19 A. It's still Steam.

20 MR. GRAY: Okay, so that's it for that clarification.

21 MS. BUTLER: I think one.

22 MR. GRAY: I'm good.

23 DR. JENNER: Okay, do you have any follow up questions?

24 MS. BUTLER: Maybe two and that's it.

25 DR. JENNER: Okay, you go ahead.



1 Karen will ask some more questions.

2 BY MS. BUTLER:

3 Q. Just to clean up two other issues regarding things you would  
4 get called out for -- or clarifications to a prior note. So, the  
5 first one would be do you know if anybody was called on your team  
6 to check into flow values on the night of November 15th?

7 A. No, the person who was on call did not get a call.

8 Q. Okay, so is it common for you to have or be aware of when  
9 you're looking through elements about SCADA function to have this  
10 daily logger stopping and then restarting?

11 A. What do you mean by daily logger stopping and restarting?

12 MS. BUTLER: It just says where the controllers are entering  
13 notes about what happens on the SCADA system and I don't know if  
14 she functions with that at all or not?

15 MR. GRAY: She -- no, the logger -- wait, why don't we handle  
16 it through --

17 MS. TRAN: Is it a (indiscernible)?

18 MR. GRAY: Mary, does your team do anything with the  
19 controller's daily logger?

20 MS. TRAN: No.

21 MR. GRAY: No?

22 MS. TRAN: I've got a list of the teams with --

23 MR. GRAY: Gilbert?

24 MS. TRAN: I believe that goes to GP.

25 MR. GRAY: Yeah, okay.

1 MS. BUTLER: So, what division is that?

2 MR. GRAY: So, Gilbert Matello (ph.), who was in here  
3 earlier.

4 MS. BUTLER: Okay, I didn't track that.

5 MR. GRAY: Yeah, sorry, but it's not Mary's team, so she  
6 can't speak to that comment.

7 DR. JENNER: Okay.

8 MS. BUTLER: Okay, got you. So, that's here, all right.

9 BY MS. BUTLER:

10 Q. And then one more, Mary, do you get complaints about MOVs not  
11 functioning on valve controls or call outs?

12 A. Complaints from the controller or complaints from who?

13 Q. Yeah, so if it would be say this point for a valve control is  
14 not working, do they call you about that and then you dive into  
15 what's causing it not to work, whether it be communications? Or  
16 is that done independent of the SCADA group?

17 A. No, if a setpoint doesn't work, they will call us. They  
18 receive and we will diagnose.

19 Q. Okay.

20 A. So, we will -- if everything is configured correctly in terms  
21 of the register, then we will work with the technician to verify  
22 that the register hasn't changed out in the field and we will  
23 notify -- we will work with the technician until that setpoint is  
24 working correctly again.

25 MS. BUTLER: Okay, so that will be a follow-up data request

1 as to why it occurred on that night and they'll have to dive into  
2 it.

3 MS. TRAN: Yeah, any --

4 DR. JENNER: Okay.

5 MS. BUTLER: Yeah, okay.

6 All right, I think that's it because we'll clarify the MOV  
7 situation with the data request later so that you have time to  
8 research it.

9 DR. JENNER: Okay, anything else?

10 MR. GRAY: Excuse me, the data request, meaning making sure  
11 that we have the data field that you need as well as what sounded  
12 like a key that you were looking for?

13 MS. BUTLER: No, this -- that's a separate data request that  
14 we'll do. The one I was just talking about is on MOV malfunctions  
15 because there's three valves that did not activate when they hit  
16 close command. So, there'll be two aspects of that; one is if  
17 that's been a repeat issue, so if there's a history of those  
18 valves malfunctioning, and two what caused that on those nights.  
19 So, it might not be answered by SCADA, but it might be SCADA  
20 working with your field team.

21 MS. TRAN: Do you know which three valves that --

22 MS. BUTLER: They do have it, hang on, and I may be wrong  
23 with three -- it's three from memory. Can we -- it'll be cleared  
24 in our -- it will definitely be -- it's 301, 303, and 305, and  
25 there may be one other because I'm not really sure that I captured

1 all of it, but I think it's right there.

2 MR. GRAY: So, did you have a question for Mary out of that?

3 MS. BUTLER: No, we'll request that formally because you'll  
4 need time to -- if they didn't receive a call that night, they  
5 wouldn't have been asked to troubleshoot it.

6 MR. GRAY: Right.

7 MS. BUTLER: So, we'll have to ask what caused it behind the  
8 scenes.

9 MR. GRAY: Okay.

10 MS. BUTLER: So, it'll take time to do the homework.

11 DR. JENNER: Anything else?

12 MS. BUTLER: No.

13 DR. JENNER: Okay, Buddy, anything?

14 MR. GRAY: No other questions.

15 DR. JENNER: Okay, Joe, I'll give you an opportunity to if  
16 you think anything needs to be clarified at this point?

17 MR. EISERT: I do not.

18 DR. JENNER: Okay.

19 MR. EISERT: Thank you.

20 DR. JENNER: Very good.

21 Mary, I want to thank you for taking time away your time off.  
22 We appreciate that. sorry for the inconvenience, but we do  
23 appreciate you.

24 MS. TRAN: I'm sure everyone is working during the holidays.

25 DR. JENNER: Yeah, well, no, we're going to try to avoid

1 that. So, you being here today helps for us to avoid that, so we  
2 appreciate that.

3 MR. GRAY: Thank you, Mary.

4 DR. JENNER: Thank you very much and if you don't have any  
5 questions for us -- do you have any questions for us?

6 MS. TRAN: I do not. I will give Buddy the states for every  
7 numerical value and then he can forward it to you after this  
8 meeting.

9 MR. GRAY: Okay, but you'll also request that?

10 DR. JENNER: I will be forwarding it. We'll get it.

11 MR. GRAY: Thank you, Mary.

12 MS. BUTLER: Thank you.

13 MS. TRAN: Thank you, bye bye.

14 MS. BUTLER: Bye.

15 MR. EISERT: Bye.

16 MR. GRAY: Bye.

17 DR. JENNER: The time is 3:27. We're ending this interview.

18 (Whereupon, at 3:27 p.m., the interview was concluded.)  
19  
20  
21  
22  
23  
24  
25

CERTIFICATE

This is to certify that the attached proceeding before the  
NATIONAL TRANSPORTATION SAFETY BOARD


IN THE MATTER OF: PIPELINE LEAK OFF THE LOUSIANA  
COAST THE IN GULF OF MEXICO  
ON NOVEMBER 16, 2023  
Interview of Mary Tran

ACCIDENT NO.: PLD24FR001

PLACE: Houston, Texas

DATE: November 18, 2023

was held according to the record, and that this is the original,  
complete, true and accurate transcript which has been transcribed  
to the best of my skill and ability.



\_\_\_\_\_  
Carolyn Hanna  
Transcriber