

UNITED STATES OF AMERICA

NATIONAL TRANSPORTATION SAFETY BOARD

* * * * *

Investigation of: *

*

FATAL AMTRAK DERAILMENT *

NEAR JOPLIN, MONTANA * Accident No.: RRD21MR017

ON SEPTEMBER 25, 2021 *

*

* * * * *

Interview of: MICHAEL PIRATO, Deputy Staff Director for Track
Federal Railroad Administration

MANAL BISHR, Director of Technical Research and
Development,
BNSF Railway

ADAM MILLER, General Director of Maintenance
Support
BNSF Railway

MICHAEL TROSINO, Deputy Chief Engineer of Track
Amtrak

Beach Grove, Indiana

Wednesday,
November 17, 2021

From: [Trosino, Michael](#)
To: [Hipskind Richard](#)
Subject: RE: Panel Interview Transcript & Instructions
Date: Monday, December 13, 2021 9:12:51 AM
Attachments: [image001.png](#)

[CAUTION] This email originated from outside of the organization. Do not click any links or open attachments unless you recognize the sender and know the content is safe.

Going through my interview notes, I have a some corrections:

Page 46 line 2 its not "municipal" train operation it is "Unit Coal" train operation
Page 46 line 5 "indiscernible" is Perryville
Page 46 line 11 "PNW is P and W (Providence and Worcester)
Page 47 line 2 "A&S" is NS
Page 48 line "Axle"
Page 49 line 7 "to the acellular" is via a cellular
Page 49 line 12 Supervisor, and the ADE
Page 49 line 14 Get Alarms or Alerts there is action required by a written procedure, which is
Page 50 line 16 I think you meant "Million"
Page 51 line 3 "its feeds" should be at speeds that exceed class 6, at the time class 6 was the top track class. They permitted operation at speeds exceeding class 6 and they placed the fright operation restrictions on our operation.
Page 52 line 4 "butt" is mud spots
Page 52 line 10 "flood" is flaw
Page 55 line 2 "flood is flaw
Page 57, line 11 "units" is limits
Page 57 line 18 "probation" is perturbation
Page 59 line 4 "NAC" is NEC
Page 59 line 16 "air" is Amfleet

Michael Trosino
Deputy Chief Engineer Track
Amtrak | 30th Street Station | Philadelphia. PA 19104
Email: [REDACTED]



From: Hipskind Richard <hipskir@ntsb.gov>

Sent: Saturday, December 11, 2021 4:30 PM

To: [REDACTED]

[REDACTED]

Cc: [REDACTED]

[REDACTED]

[REDACTED]

APPEARANCES:

DICK HIPSKIND, Railroad Accident Investigator
National Transportation Safety Board

JIM SOUTHWORTH, Investigator in Charge
National Transportation Safety Board

QUINN LIGON, Track Safety Inspector
Federal Railroad Administration

TODD ANDERSON, Track Safety Inspector
Federal Railroad Administration

ROBERT NAGEL, Senior Manager of Capital Construction
Amtrak

MATTHEW HAMMOND, AVP and Chief Engineer
BNSF Railway

ROY MORRISON, Director of Safety
Brotherhood of Maintenance of Way

TROY LLOYD, Railroad Accident Investigator
National Transportation Safety Board

ANNA ALBERS, Manager of Maintenance and Compliance
Amtrak

RYAN RINGELMAN, General Director of Systems Safety
BNSF Railway

YUJIANG ZHANG, Staff Director of Track and Structures
Federal Railroad Administration

JOHN BONVENTRE, Attorney
Landman, Corsi, Ballaine, & Ford P.C.

I N D E X

<u>ITEM</u>	<u>PAGE</u>
Interview of Michael Pirato:	
By Mr. Hipskind	8
By Mr. Lloyd	16
By Mr. Hipskind	18
By Mr. Hipskind	66
 Interview of Manal Bishr and Adam Miller	
By Mr. Hipskind	20
By Mr. Hammond	36
By Mr. Morrison	38
By Mr. Lloyd	39
By Mr. Hipskind	43
By Mr. Hipskind	64
 Interview of Michael Trosino	
By Mr. Hipskind	45

I N T E R V I E W

1
2 MR. HIPSKIND: Good afternoon, everybody. My name is Dick
3 Hipskind and I am a railroad accident investigator for NTSB and I
4 am assisting Troy Lloyd, who is the Track and Engineering Group
5 chairman for NTSB for this accident. We are conducting this panel
6 interview with four panel interviewees on November 17th, 2021, at
7 Amtrak's Beach Grove facility in Beach Grove, Indiana. This panel
8 interview is part of NTSB's efforts in conducting a series of
9 follow-up interviews to understand Amtrack passenger train
10 operation on a host railroad, specifically Burlington Northern
11 Santa Fe.

12 NTSB and the parties to the investigation are conducting an
13 ongoing investigation of an Amtrak Train Number Seven derailment
14 that occurred on September 25th, 2021, on BNSF's Highline
15 Subdivision near Joplin, Montana in Liberty County. The NTSB
16 Accident Reference Number is RRD21MR017. Before we begin our
17 interview and questions, let's go around the table and introduce
18 ourselves. Please spell your full name and please identify who
19 you are representing and your title. I would remind everybody to
20 speak loudly and clearly enough so we can get an accurate
21 recording. I'll lead off and then I'll ask for other interviewers
22 to identify themselves according to the order previously
23 established. Again, my name is Dick Hipskind, spelling of my full
24 name is D I C K H I P S K I N D. I am a railroad accident
25 investigator for NTSB on this accident.

1 MR. SOUTHWORTH: My name is Jim, J I M, Southworth,
2 S O U T H W O R T H, I am the investigator in charge for the
3 Joplin investigation. I work in the Railroad, Pipeline, and
4 Hazardous Materials out of Washington, DC.

5 MR. HIPSKIND: Quinn?

6 MR. LIGON: My name is Quinn, Q U I N N, Ligon, L I G O N, I
7 am a track safety inspector, I work for FRA.

8 MR. HIPSKIND: Todd, will you put yourself on the record?

9 MR. ANDERSON: Todd Anderson, T O D D A N D E R S O N, FRA
10 track safety inspector, Bismarck, North Dakota.

11 MR. HIPSKIND: And Robert?

12 MR. NAGEL: Robert Nagel, R O B E R T N A G E L, senior
13 manager of Capital Construction, Amtrak.

14 MR. HIPSKIND: And Matt?

15 MR. HAMMOND: Matthew Hammond, M A T T H E W H A M M O N D, I
16 am the AVP and chief engineer for BNSF Railway on the North Lines.

17 MR. HIPSKIND: (Indiscernible).

18 MR. MORRISON: Roy Morrison, R O Y M O R R I S O N, director
19 of safety, Brotherhood of Maintenance of Way.

20 MR. LLOYD: My name is Troy, T R O Y, last name Lloyd,
21 L L O Y D, I'm a railroad accident investigator and the
22 group -- and the Track Group chairman for this accident and I work
23 for the NTSB.

24 MR. HIPSKIND: Okay. Thank you, the interviewers. In
25 addition, before I get to the interviewees, we have two other

1 people hosting.

2 Would you please identify yourselves, spell your name, and
3 who you represent?

4 MS. ALBERS: Anna Albers, A N N A A L B E R S, I'm
5 from -- manager of Maintenance and Compliance from Amtrak.

6 MR. RINGELMAN: Ryan Ringelman, R Y A N R I N G E L M A N,
7 systems safety, BNSF Railway.

8 MR. HIPSKIND: To all the interviewers, thank you. Prior to
9 recording our panel interview, I spoke with the four interviewees
10 to request their permission to record our discussion today and to
11 talk with each other using our first name.

12 Has there been any change to your affirmation to those
13 conditions?

14 Hearing none, let us proceed. So, let us proceed with
15 introductions in the order we agreed upon earlier.

16 Mike, if you will lead off?

17 MR. PIRATO: My name is Michael Pirato, M I C H A E L
18 P I R A T O. I'm the deputy staff director for Track, Federal
19 Railroad Administration.

20 MR. HIPSKIND: And while we're talking with you, Michael, do
21 you wish to have a representative with you today?

22 MR. PIRATO: Yes.

23 MR. HIPSKIND: Yes, you do?

24 MR. PIRATO: Yes, YuJiang.

25 MR. HIPSKIND: YuJiang, would you come down here and put

1 yourself on the record, spell your name, your title, and who you
2 represent -- who you work for.

3 MR. ZHANG: YuJiang Zhang, Y U J I A N G Z H A N G, staff
4 director of Track and Structures Division at FRA.

5 MR. HIPSKIND: All right, and Adam and Manal, would you
6 please introduce yourself?

7 MS. BISHR: Manal Bishr, M A N A L, last name is B I S H R,
8 I am the director of Technical Research and Development out of
9 Topeka, Kansas for BNSF Railway.

10 MR. HIPSKIND: And Adam, please?

11 MR. MILLER: Adam, A D A M, Miller, M I L L E R, general
12 director of Maintenance Support, BNSF.

13 MR. HIPSKIND: Okay, and Manal and Adam, do you wish to have
14 a representative with you today?

15 MS. BISHR: No.

16 MR. MILLER: No.

17 MR. HIPSKIND: All right, thank you.

18 And Mike, please introduce yourself?

19 MR. TROSINO: Michael, M I C H A E L, Trosino,
20 T R O S I N O, deputy chief engineer of Track for Amtrak.

21 MR. HIPSKIND: And do you wish to have a representative with
22 you today?

23 MR. TROSINO: Yes.

24 MR. HIPSKIND: John, would you please come down here and put
25 yourself on the record?

1 MR. BONVENTRE: Yes, my name is John, J O H N, Bonventre,
2 B O N V E N T R E, outside counsel, Amtrak.

3 MR. HIPSKIND: All right, thank you, John.

4 And Michael, if I can get you and Manal to change places so
5 we can get an accurate recording. I will begin our questions with
6 you.

7 (Crosstalk)

8 INTERVIEW OF MICHAEL PIRATO

9 BY MR. HIPSKIND:

10 Q. Are you ready, Michael?

11 A. Sure.

12 Q. Okay. For the recording of our interview, please give us a
13 synopsis of your work history, bringing us up to your current
14 position and how long you have held it?

15 A. Well, I worked 30 years at the Southeast of Pennsylvania
16 Transportation Authority before retiring from there, then I joined
17 the FRA as a track inspector -- rail safety inspector track
18 inspector. And from there, I moved to become the supervisory
19 railroad safety specialist for FRA, and I am currently now the
20 deputy staff director of Track for FRA, and I've had this position
21 since May of this year.

22 Q. And Michael, is it fair to say that your current position is
23 national in scope?

24 A. Yes.

25 Q. Okay, thank you. And please describe for us your duties and

1 responsibilities in your current position?

2 A. Current -- right now, I deal with the track inspection forces
3 for the FRA based out of eight districts. So, the district
4 specialist who have day-to-day operations with the railroad safety
5 inspectors, they report to me.

6 Q. Okay. Big territory, a lot of people?

7 A. Yeah.

8 Q. All right. Well, Michael, what we want you to do is put up
9 on the table the FRA 213.57 curves and speed limitations. And you
10 can just take us through the highlights that you think that the
11 average layperson would need to know in understand, the Vmax
12 formula, maybe some of the terminology, and just give us your
13 thoughts about that particular regulation?

14 A. Well, 213.57 talks about curve, speed, elevation, and
15 designs. It moves into a -- it basically lays out the language
16 that we use in our compliance manuals for elevating the outside
17 rail above the low rail to counteract centrifugal force. There
18 are certain limitations, which we do, we can have certain limits
19 that we're looking for for maximum limits. For instance, we don't
20 want to -- you know, the regulations prescribe no more than eight
21 inches in classes one and two, class of track meaning related to a
22 speed operation that the railroads are engaged in. We won't spec
23 to those classes or limitations. And no more than seven inches in
24 classes three through five and they would be the maximum limits.
25 Now, that doesn't mean we're advocating more than six inches of

1 elevation, it just gives a limitation on what we expect to see in
2 railroads maintaining their track code.

3 The Vmax formula that you mentioned is a formula that
4 describes the maximum speed limitation based on average of
5 elevation, alignment, and cant deficiency, often referred to as
6 underbalance, and those two terms are interchangeable. So, if
7 someone here speaks of cant deficiency, they're speaking of
8 underbalance. Those terms are interchangeable.

9 Q. And when we talk about Vmax, the elements of Vmax are how
10 much elevation do I need to put in the high rail, what is the
11 degree of curvature, and it's divided by, like, the magic number.
12 But the square root of that equation is -- tells me the maximum
13 limit for my operating speed given those values of curvature and
14 elevation?

15 A. The maximum velocity based on the equipment that's running
16 and operating on that piece of track.

17 Q. Okay. And --

18 A. Certain equipment can handle different types of cant
19 deficiencies for underbalance.

20 Q. Talk about that a little bit -- elaborate on that a little
21 bit more just so people understand the design and capabilities of
22 Amtrak equipment versus say regular freight train cars?

23 A. Well, all equipment in North America can handle at least
24 three inches of underbalance. That's what the limitation is that
25 we set Vmax for as a standard for freight operation. There are

1 specialized equipment like Amtrak equipment, they can run at a
2 different underbalance. All of Amtrak's equipment -- and I could
3 be corrected here if I'm wrong -- can handle at least four inches
4 of underbalance. There are specialized equipment that runs at
5 higher speeds in high speed track that can handle, I believe,
6 upward of five-and-a-half inches.

7 UNIDENTIFIED SPEAKER: Seven.

8 MR. PIRATO: Seven inches of underbalance, okay. So, the
9 higher the underbalance, the higher the speed the train can run on
10 that same geometry.

11 BY MR. HIPSKIND:

12 Q. Okay. And take us maybe through some of the terminology that
13 we've been kind of playing around with. When we say super
14 elevation, kind of decode that for the layperson and please
15 continue with your thoughts about three-inch underbalance and
16 four-inch underbalance. Kind of take us through equilibrium and
17 those two underbalance figures?

18 A. Okay. Well, the term in railroads is usually super
19 elevation. The railroad tracks are elevated above the grade of
20 the -- usually above grade, so the tracks themselves are elevated.
21 So, we call the outer rail elevated above the low rail a super
22 elevation of that structure. So, you'll often see that term
23 written as super elevation. It can often be referred to just as
24 elevation, meaning the outer rails elevated above the low rail.

25 The term equilibrium that you mentioned is a term where were

1 looking at the equipment having equal balance on both rails at the
2 same time -- on the low rail and the high rail at the same time.
3 So, all equipment can handle underbalance so -- of up to three
4 inches, so that would be the number that we would -- could elevate
5 above that and run at faster speed.

6 Q. Okay. And does FRA provide any cautionary language -- or
7 describe for us what you believe happens -- some of the subject
8 matter we're talking about today is we know on the Amtrak
9 corridors on host railroads that they set their Vmax for a maximum
10 authorized speed to maybe accommodate 79 miles an hour. Now, and
11 I don't mean to imply every curve everywhere, but in general, most
12 timetables say 79 mile an hour maximum operating speed for Amtrak
13 trains. You're in agreement with that statement?

14 A. Well, it depends on the type of equipment if you mentioned
15 four-inch underbalance.

16 Q. Okay.

17 A. But it's -- mainly what you're discussing here is a class of
18 track and a class of track for FRA would relate to both freight
19 and passenger speeds. They would be different speeds for freight
20 trains versus passenger speeds. So, you mentioned 79 miles an
21 hour, I'm assuming that you're talking about passenger trains
22 running at 79 miles an hour --

23 Q. Correct.

24 A. -- which would be FRA class four, which we give 80 miles an
25 hour as our limitations. So, most railroads will write 79 miles

1 an hour in there just so they're not going over speed for that
2 particular class of track that they're operating.

3 Q. Well -- and that -- thank you for that, that explains the
4 safety consideration for keeping Amtrak trains on the track, safe
5 operating speeds and maybe really in truth, some railroads may
6 even have a little bit more elevation as a safety buffer. Does
7 that sound reasonable?

8 A. I think that would be something for the railroads to answer.
9 But I think each railroad has their own practice.

10 Q. Okay.

11 A. It's not a set practice that we set for them for FRA.

12 Q. And we can certainly discuss that with them. But I think
13 maybe one of the other things that we're ready to introduce into
14 the discussion is we know that on these passenger route corridors.
15 We've talked about freight operations and truth be known, some
16 railroads speed restrict certain types of trains. Well, they
17 might be open-top hoppers or this train or that train, that
18 specific train may be restricted to an upper operating limit. For
19 example, I think in BNSF's timetable, certain trains are
20 differentiated by a hundred-ton braking operation ratio -- ratio.
21 But some trains, like inter mobile trains run at faster speeds.

22 So, with that said and maybe I didn't say it quite clearly
23 enough, I just want to talk about -- a little bit about when we
24 have the degree of curvature, we have the super elevation set for
25 safe passenger train operations. When we run slower trains at

1 slower speeds, how -- we're no longer in, like, an equilibrium,
2 are we? How would you characterize that? Is that more load
3 bearing on the low rail?

4 A. You're asking a lot of questions in there.

5 Q. Well, I apologize for that.

6 A. So, let's just start with one part of it.

7 Q. Okay.

8 A. Inherently built into class of track for FRA. I mentioned
9 class four and we discussed 80 miles an hour is the limitation for
10 FRA for class four for passenger trains. It also has a safety
11 margin built in there for freight trains at 60 miles an hour. So,
12 they are not given the same speed and that's in relationship to
13 the superior suspension systems that obviously passenger trains
14 have over freight trains. So, there is that consideration already
15 built into that class of track conversation.

16 Operating over 100-ton limits or something like that you
17 measure, that is strictly an operations aspect of the railroad.
18 That has nothing to do -- or bearing on what we're saying about
19 the speed track and curvature operations for engineering standard.
20 That's strictly a decision by railroads for how they want to
21 operate based on certain types of tonnage or whatever they want.
22 Then they -- the consideration may be given to that and
23 restricting those speeds because they're coming over mountain
24 passes and things like that that they don't want to be running too
25 fast at the top and then maybe have a runaway train situation or

1 whatever that they can't control. So, that is not an aspect of
2 the conversation we started with.

3 Q. Okay, Mike, I appreciate all of that. So, one final point I
4 want to ask before I hand off is that in everything that we talk
5 about curves, the Vmax, considering the degree of curvature,
6 setting the high rail at the right elevation, for maximum
7 operating speed for passenger trains, and when we're talking about
8 freight trains et cetera. There are other FRA regulations where a
9 railroad has to comply in terms of geometry, profile, and things
10 of that nature, correct? I mean, it's not -- a curve is not just
11 simply the Vmax formula, it's the Vmax formula in conjunction with
12 other elements of the track-safety standards?

13 A. No, we only look at the Vmax formula and what it is for
14 curve, elevation, and design. Railroads made -- and this is where
15 I got into your initial conversation, railroads themselves have
16 interna protocols that they do maybe for running on passenger
17 trains that I'm not aware of or is not regulatory. Each railroad
18 may operate that differently or have a different consideration on
19 how they want to deal with track that maybe runs most Amtrak
20 trains here since Amtrak's in the room, or, you know, passenger
21 equipment. But that doesn't have any bearing on what we're doing
22 and we're talking about classes accepted through to class five
23 right here in this conversation.

24 MR. HIPSKIND: Understood. All right, let me pass it on.

25 Thanks, Michael.

1 Quinn, do you have questions for Michael?

2 MR. LIGON: No, I do not.

3 MR. HIPSKIND: Okay, thank you.

4 And Todd, I'll ask you to come down here. I'll ask you the
5 same thing, do you have questions for Michael?

6 MR. ANDERSON: No, I don't. Thank you very much.

7 MR. HIPSKIND: All right, thanks, Todd.

8 Let's see, in order -- do you want to go, Robert?

9 MR. NAGEL: Robert Nagel, I have no questions for Michael at
10 this time.

11 MR. HIPSKIND: Okay, thank you.

12 And Matt?

13 MR. HAMMOND: Matt Hammond, no questions.

14 MR. MORRISON: Roy Morrison, no questions.

15 MR. HIPSKIND: Troy?

16 MR. LLOYD: Yeah, my name is Troy Lloyd with the NTSB,
17 L L O Y D.

18 BY MR. LLOYD:

19 Q. I do have one question, Mike, I do apologize if you did
20 answer it. Previously you mentioned the term centrifugal force?

21 A. Yeah.

22 Q. Could you explain that as a -- to the layperson, maybe then
23 they'll have a basic understanding of what we mean with
24 centrifugal force when it comes to train operations through
25 curves?

1 A. Okay. Well, it's a way of banking the tracks to counteract
2 some of the speed that the train's going to incur and push towards
3 the outside rail from the center body of the vehicles, right. In
4 order to counteract that, we use a term called elevation or super
5 elevation where we elevate the track -- the out rail -- the
6 outside rail, the longer radiused rail above the short radiused
7 rail or the low rail described. And by banking or sometimes it's
8 described as banking by elevating that curve to a sufficient
9 level, we counteract centrifugal force -- those outside forces.

10 Q. Just one more question, again, it's Troy.

11 A. Sure.

12 Q. You mentioned the term cant deficiency?

13 A. Yeah, that's synonymous with underbalance.

14 Q. Understood.

15 A. They're the same -- they mean the same thing for this
16 conversation.

17 Q. So, with cant deficiency, could we have trains running at
18 excessive cant whether that be a speed that's --

19 A. You mean through --

20 Q. A train moving slow or through a curve that's based with a
21 max of authorized speed.

22 A. Over elevated?

23 Q. What would -- can't excess -- excessive can't do for a train
24 -- or a freight train running through a curve?

25 A. I guess I'm trying to understand what you mean by excessive?

1 Q. A train running at the speed below the maximum authorize
2 speed. What does --

3 A. The trains, as they go around the curve, okay, and whatever
4 rail is elevated, okay, the train wheels will want to go to that
5 rail. Even if trains go around a curve that aren't elevated for a
6 quote, unquote optimal for that particular curve, they still are
7 running at an underbalance, they just aren't running as a high of
8 an underbalance or a lateral movement towards the high side. But
9 they're not running at equilibrium even if, you know, it's canted
10 a lot more -- if there's more elevation there than is designed for
11 that. They're still not running solely low side. They'll still
12 move to the high side.

13 MR. LLOYD: That's all I have, Mike, thank you.

14 MR. PIRATO: Uh huh.

15 MR. HIPSKIND: Did we acknowledge -- did I leave out any
16 interviewers? Okay.

17 BY MR. HIPSKIND:

18 Q. Michael, let me ask you this question, in everything that we
19 talked about when I asked you earlier about -- we understand about
20 the curves, we understand able the Vmax and having the curves
21 elevated to accommodate a maximum authorized speed. But other
22 elements of the track safety standards have to be plugged in. Let
23 me just cut to the chase, depending on the measurements in the
24 track, a class of track -- or a speed or class of track has to be
25 lowered to meet the existing conditions in the track? That's what

1 I was trying to spit out.

2 A. If there's a speed restriction or something like that?

3 Q. Yeah.

4 A. Yeah, that's possible.

5 Q. Or if a certain condition is in a curve that might lower the
6 class of track, that's okay, but we have to keep in mind, there
7 are other track safety standards that apply to the track whether
8 it's tangent or curve?

9 A. Yes, if you're talking in differences at cross level or
10 something along those lines or alignment thresholds, yes, there
11 are times when other parts of the compliance manual will play and
12 cause speed restrictions.

13 MR. HIPSKIND: YuJiang, would you come down here and I'll ask
14 you a question? Okay. I think we have completed your first
15 round.

16 MR. PIRATO: Okay.

17 MR. HIPSKIND: And I just would ask you now, are there any
18 points of clarification that you want to add? From your
19 perspective, do you have any clarifications you want to make?

20 MR. PIRATO: That would be up to YuJiang if he wants to
21 clarify something.

22 MR. HIPSKIND: YuJiang, you listened to the conversations
23 that we had with Michael, did he answer them to your satisfaction?

24 MR. ZHANG: I would say yes. But if there were some
25 clarification that he can make (indiscernible) or you want me to

1 clarify --

2 MR. HIPSKIND: Well, yeah, I think the way I'll respond to
3 that is -- and I've known you for a while and I do know there's a
4 lot more that you have to say. So, let's handle it this way if
5 you're agreeable, we will have the recording transcribed, when we
6 get it, we will pull the same set of questions off in writing and
7 present them to you for a written response. Are you agreeable
8 with that?

9 MR. ZHANG: Sure, no problem at all. Yeah.

10 MR. HIPSKIND: And Michael, are you agreeable with that?

11 MR. PIRATO: Sure, absolutely.

12 MR. HIPSKIND: Okay. Thank you, guys, very much and if I can
13 get you and Manal to --

14 Am I pronouncing your name correctly?

15 MS. BISHR: Yes, sir.

16 MR. HIPSKIND: I'm sure I've got it butchered up at least a
17 couple times.

18 MS. BISHR: It's okay.

19 MR. HIPSKIND: All right, I think for our next round of
20 interviewees, I will talk with Mandal (sic) --

21 MS. BISHR: Manal.

22 INTERVIEW OF MANAL BISHR AND ADAM MILLER

23 BY MR. HIPSKIND:

24 MR. HIPSKIND: Manal and Adam and let me introduce a little
25 bit of background to set the stage. I've reviewed the timetable

1 for the Highline Subdivision and discovered the following
2 characteristics and speed limitation listed for train operations.
3 Now, these are the general maximum authorized speeds and in
4 general. I would say that the Highline Subdivision is about 250
5 miles long give or take a mile or two and under the maximum speed
6 limitations section, the timetable listed three types of train
7 operation, passenger train at 79 mile an hour, trains with under a
8 hundred-ton operating brake ratio at 60 miles per hour. I took
9 that to be intermodal trans. (sic), but you can correct me if you
10 think that idea is wrong. And then the other train category was
11 those over a hundred-ton operating brake ratio, those
12 were -- maximum authorized speed was 55 miles an hour.

13 And then in addition to that, I did notice there are
14 something like -- this is on the highline, there are something
15 like 36 permanent speed restrictions dotted throughout the length
16 of the subdivision. And I -- you can correct me on that, I just
17 guesstimated probably a lot of those are assigned curve track
18 areas. But you may know more about that. There were several
19 dozen speed restrictions related to entering and exiting siding or
20 end of double-track, beginning of double-track areas. And I guess
21 I would note for our discussion that at the east end of Beulah,
22 all trains are restricted entering and exiting that at 35 mile an
23 hour. So, I know maybe you guys -- your strength isn't to
24 operate, but does that sound about right, the way I've
25 characterized some of the information out of the timetable?

1 MR. MILLER: Yes.

2 MS. BISHR: Yes.

3 MR. HIPSKIND: Yes? Both of you say yes?

4 MS. BISHR: Yes.

5 MR. HIPSKIND: Okay. And so, with that as a background, I
6 did not -- I don't want to misrepresent that those who are reading
7 about our conversation that they think that every train operates
8 at maximum speed. There are accommodations, there are
9 restrictions, and I would say probably for safety of the operation
10 of the train. So, I just didn't want people to think that there
11 was just a blanket, trains all operate at 79 miles an hour. So, I
12 think what I've laid out is that there is a mixture of -- kind of
13 a three-speed train operations on the Highline. And so, with
14 that, does that present BNSF in the Operations or Engineering
15 Department with challenges to adjust the track maintenance to meet
16 the operational speed changes that I just described? So, I'm just
17 kind of giving you an open-ended question to -- for you to respond
18 and Manal, do you want to go first or Adam? It's up to you guys.

19 MS. BISHR: Would you like to go first?

20 MR. MILLER: Okay. So, what's the questions again?

21 MR. HIPSKIND: So, the question is how does BNSF meet the
22 challenges? How do you manage? How do you monitor? How do you
23 mitigate any track conditions or whatever so that you're
24 maintaining your operating speeds, but you're doing it in a safe
25 manner for trains operating over the Highline?

1 MR. MILLER: Okay. So, in general, the Highline, as you
2 define those speed characteristics and differences, we have
3 instructions in different sections of our engineering instructions
4 where our employees use that to help guide them both from a
5 maintenance standpoint. For example, rail limitations, how much
6 rail can wear out before we need to have it replaced. There's
7 guidance on remedial actions for different types of rail defects,
8 track defects, and those kinds of items.

9 But specifically, as you're looking at the three different
10 speeds between passenger, freight, and the hundred TOB trains,
11 there's three differences there. The hundred TOB and the under
12 hundred TOB are both considered freight trains. So, within our
13 engineering instructions that we have, we design curves for
14 freight trains, and we also design them for passenger trains. We
15 do have a difference between those two as far as an unbalance
16 threshold that's specific to the type of curve and also that type
17 of speed. And we use that with our engineering resources when we
18 are making repairs, building new that will guide us through the
19 Vmax formula and then allow the person who's trying to make that
20 determination understand how much super elevation they need to put
21 in the track based on those parameters with degree of curvature
22 and also speed.

23 MR. HIPSKIND: Manal, do you want to add anything?

24 MS. BISHR: No, I don't.

25 MR. HIPSKIND: Okay. So, help us broaden the understanding

1 of how does BNSF monitor all the conditions out there? Talk to us
2 a little bit about how you gather data and how you plan for track
3 maintenance or just in general anything along that line?

4 MR. MILLER: So, BNSF's required to do visual inspections as
5 part of the regulation within part 2.13, so we perform visual
6 inspections. We also have geometry cars that test our entire
7 network. They also collect data on the curves along with track
8 conditions. We have several other technology items that also
9 gather data for understanding, for example, ties. How many ties
10 per mile would we call defective? We begin to set thresholds for
11 when does between mile post, you know, ten and 20 if we have this
12 many ties defective, we're going to plan a tie program to replace
13 those prior to getting into a regulatory defect issue. That's
14 usually done on an annual basis, very detailed for what's going to
15 happen the next year. But we also forecast that out for a range
16 of three to five years just so that we understand where are the
17 next tie projects for running our business and begin to schedule
18 those as we begin to progress.

19 MR. HIPSKIND: And maybe another way of saying that is as
20 you're monitoring things in relationship to ties, as the defective
21 tie population grows per mile, you may put together a stretch or a
22 segment of track where you initiate a cyclical program maintenance
23 and you come in and you do some out of face work with the track.
24 Do I got that pretty close?

25 MR. MILLER: That's correct.

1 MR. HIPSKIND: Manal, any to add there?

2 MS. BISHR: No, that's all correct.

3 MR. HIPSKIND: Okay.

4 You mentioned -- Adam, you mentioned inspections and I kind
5 of get that. I've been around that most of my life. On BNSF, is
6 there any program or policy whereby track inspectors are expected
7 to walk curves, and if so, kind of take us through that? What's
8 the frequency? What's the expectation? What is the reporting?

9 MR. MILLER: So, internal in the BNSF, within our track
10 inspection section of our engineering instructions, we do require
11 an annual walking inspection of all curves by our track
12 inspectors. The curves are populated within our inspection
13 system. An inspector, when they perform the walking inspection,
14 they record measurements, record the inspection, they're allowed
15 to input freeform text, if they have deficiencies, they can input
16 defects against that. But it's done on an annual basis. There is
17 optional if a local manager wants or so chooses, they can increase
18 that frequency or the inspector can, you know, request I want to
19 look at this curve two times a year instead of once a year. We
20 can make those adjustments within the asset database and then
21 it'll populate for them to record that each year.

22 MR. HIPSKIND: Okay. Just to be clear, not every territory
23 or every subdivision is a cookie cutter. Some may have a large
24 number of curves, some may have quite a few less number of curves.
25 Do I got that right?

1 MR. MILLER: That's correct.

2 MR. HIPSKIND: And when we talk about doing a walking
3 inspection, it is not just one person a track inspector for that
4 territory, that could be substituted by any qualified person under
5 the track safety standards if that person was so designated to
6 perform inspections. Am I right about that?

7 MR. MILLER: They'd have to be qualified to inspect track and
8 make -- demonstrate knowledge that they can prescribe the
9 appropriate remedial action to track defects.

10 MR. HIPSKIND: Okay. And another thing I would like, when we
11 were talking with Michael and we got into some terminology about
12 equilibrium, three-inch unbalance, four-inch unbalance, can either
13 one of you address how BNSF looks at that and maybe tell us that
14 application of those terms in your specific freight and passenger
15 operations?

16 MS. BISHR: Do you want me to take this?

17 MR. MILLER: Go ahead.

18 MS. BISHR: So, for BNSF -- sorry, for BNSF, we design our
19 curves freight with a two-inch unbalance and passenger, we design
20 to a three-inch unbalance. And so, if you were to use the Vmax
21 formula, we would look at the current elevation, and then add that
22 unbalance, and that would give us the Vmax, and then we round down
23 to the near five mile an hour to say what that curve is safe for.
24 But when we inspect, we do inspect to the three inch for freight
25 and four inch for passenger, which is what the FRA recommends.

1 MR. HIPSKIND: Okay. Well, let me slow you down for just
2 second. So, if a degree of curvature -- if I was in a shallow
3 curve, say a one degree, a-degree-and-a half, or two degrees,
4 fairly shallow, it's not a four, or five, six-degree curve, and I
5 do the Vmax formula and it says -- I'm talking for freight
6 operation -- it says well, elevate it to two, two-and-a-half
7 inches. When you use the concept two-inch unbalance, does that
8 two-and-a-half inches of elevation in the high rail then become
9 four-and-a-half?

10 MS. BISHR: So, yes, is that --

11 MR. MILLER: Let me give you the Vmax formula so that you can
12 do that.

13 MS. BISHR: Yeah, so if the unbalance -- yeah, I'm trying
14 to -- this is -- it's counterintuitive.

15 MR. HIPSKIND: Listen, I'm not trying to confuse you.

16 MS. BISHR: No, you're not.

17 MR. HIPSKIND: I just want to simplify it.

18 MS. BISHR: So, the Vmax is here, so if you take the actual
19 plus that.

20 MR. MILLER: So, yeah, if you took that and set the elevation
21 to two-and-a-half.

22 MS. BISHR: So, you're taking it less than that and you're
23 subtracting the unbalance.

24 MR. MILLER: Subtract the --

25 MS. BISHR: Okay.

1 Yeah, so, you're actually subtracting it for the unbalance.
2 So, if you have a -- if you have your curve elevated say the four
3 inches for -- it's going to be more likely four inches and you're
4 allowed for a two-inch unbalance, you would -- you could elevate
5 it to two inches.

6 MR. HIPSKIND: And have safe operation?

7 MS. BISHR: Correct.

8 MR. HIPSKIND: Okay. I just wanted to know which way the
9 elevation and the -- so, do either one of you want to speak to
10 slower freight train operations on curves that are set for maximum
11 passenger train operations of 79? We know that the elevation in
12 the curves to make for a safe passage of passenger train
13 operations is usually more than what is needed for slower train
14 operations. So, just that as a starting point, do you agree with
15 that statement? For passenger trains, we elevate the outer rail
16 higher to accommodate a higher Vmax?

17 MS. BISHR: Correct.

18 MR. HIPSKIND: Okay?

19 MS. BISHR: Yes.

20 MR. HIPSKIND: But if we did not have passenger train
21 operations, we were not operating trains at 79 mile an hour, and
22 we were back in a pure freight world, many of those curves, the
23 elevation could be lowered and still maintain safe operations? It
24 took me a while to get there, but are you in agreement with that
25 statement?

1 MS. BISHR: Yes.

2 MR. HIPSKIND: Okay. All right.

3 MR. MILLER: I agree with that statement, but it depends.

4 MR. HIPSKIND: Let's talk about the depends.

5 MR. MILLER: It depends on the degree of curvature.

6 MR. HIPSKIND: Okay.

7 MR. MILLER: You prefaced it with a shallow curve and I'll
8 say that's true. But as you progress with higher degrees of
9 curve, that does change just based on how the formula works for
10 Vmax.

11 MR. HIPSKIND: Okay. And take me through, how is all of that
12 monitored, the curve characteristics, is it just by running
13 geometry cars nonstop or what's the policy, what's the procedure
14 there in gathering data?

15 MR. MILLER: So, for gathering data on the curves, we do use
16 our geometry cars for testing. Specifically, within our track
17 geometry part, we have some defects that help us monitor those in
18 a progressive scale with -- you know, we have what we call yellow
19 tags, orange tags, red tags. And so, yellow and orange tags are
20 what we would call advisory defects to our field teams. So, if
21 you begin to get an unbalanced yellow tag defect, for example,
22 that would indicate that our curve is beginning to show signs and
23 symptoms that the elevation needs to be adjusted, and that's how
24 we begin to monitor that through our geometry testing.

25 This is available to our field employees, so then they do

1 follow-up inspections on these geometry defects and then make
2 determinations. If a defect does exist, they need to slow the
3 track down or this is beginning to degrade, so we need to program
4 track repairs or maintenance in order to bring it back into
5 compliance with our standards.

6 MR. HIPSKIND: The yellow and the orange are you're not to a
7 threshold braking value, but heads up for your maintenance
8 planning?

9 MR. MILLER: Correct.

10 MR. HIPSKIND: Correct to say that?

11 MR. MILLER: Yes.

12 MR. HIPSKIND: Okay. And talk a little bit, what is the goal
13 in a frequency to measure the Highline Subdivision, is it once a
14 month, twice a week, once every quarter? How should we understand
15 that?

16 MR. MILLER: I'd have to double check. I believe our minimum
17 frequency for geometry testing on that route is a hundred-and-
18 twenty days.

19 MS. BISHR: I think it's three times a year, so 120 days.

20 MR. MILLER: Yeah.

21 MR. HIPSKIND: So, 120 days, three times a year, that's the
22 goal?

23 MR. MILLER: That's the minimum requirement.

24 MR. HIPSKIND: Okay. Well, we had a meeting earlier today,
25 why don't you characterize what is going on in the real world?

1 That Highline -- there's sections of the Highline that get tons
2 more testing, right, and could you explain a little bit why that
3 is so?

4 MR. MILLER: So, with our geometry system -- or geometry
5 testing system, the Highline Sub (sic) is a route between Chicago
6 and Seattle, which is our east/west route for our northern
7 transcon (sic). Our geometry cars will route out towards the
8 pacific northwest, for example, we have multiple mains there, so
9 we need to meet our minimum requirements for geometry testing out
10 there. It runs in cycles, so then as we look at this portion of
11 the Highline, you will see repeat testing several times because
12 the cars are -- test cars are traversing to and from these
13 multiple main routes. So, for example, on the single-track
14 portion, if we're testing a route out in Seattle on triple track
15 and coming back, our car's going to traverse that Highline Sub
16 more often, especially on single-track railroad because that's the
17 route that it's being tested at.

18 MR. HIPSKIND: Okay. And in all of that, you're not citing
19 where these single-track sections are. They're not getting over
20 tested, it's just a function of if the car is traveling, it's
21 testing?

22 MR. MILLER: Correct.

23 MR. HIPSKIND: Okay. So, you may get more data input?

24 MR. MILLER: Yep.

25 MR. HIPSKIND: And the data input that you guys get, you

1 don't necessarily -- there's no requirement to share that with
2 FRA, correct?

3 MR. MILLER: Correct.

4 MR. HIPSKIND: Okay. But conversely -- and I forgot to ask
5 Mike this -- we are aware that FRA runs their ATIP car automatic
6 track inspection program, I think. When they run their car, they
7 do provide you, BNSF, with their data from their runs?

8 MR. MILLER: That's correct.

9 MR. HIPSKIND: Yeah, okay. So, let's switch gears a little
10 bit, I believe that BNSF has a CWR program, continuous welded
11 rail, and that is approved by FRA. So, could you please describe
12 if BNSF sets a goal for rail-joint elimination, in other words,
13 thermit welding? Is there -- describe for us, is there a program
14 x number or hundreds of thermit welds that you -- or joint
15 elimination that you want performed in a year? Help us to
16 understand that a little bit better?

17 MR. MILLER: It -- so, there's two things there, a CWR
18 policy, which BNSF does have a CWR policy that was approved by the
19 FRA and that's part of our regulatory compliance. As far as rail-
20 joint elimination, you know, we create rail joints through service
21 failed rails, rail defects, day-to-day normal track maintenance.
22 Those assets are then characterized within our database, reported
23 to by our field personnel, and then each year we begin to remove
24 those by performing thermit welds, electric flash butt welds, or
25 orgo-thermic welds.

1 As far as a program, each division across the network is able
2 to see how many joints that they have on their primary corridor
3 that meet those characteristics at CWR. As far as a set goal,
4 that set goal is managed by the individual divisions. There is
5 not a specific number or threshold. I will say, most people are
6 trying to maintain their entire territory with a joint count of
7 less than one point -- one joint per hundred miles or -- excuse
8 me, per mile on the overall average. So, they'll begin to program
9 maintenance windows -- maintenance work through the course of
10 winter, spring, summer, fall, eliminating those trying to get down
11 to what we would call a manageable number, whether it be .2, .5.
12 That's going to vary because the joints are in the track, how many
13 you have -- you know, most people want less because it's less
14 items to maintain. But not all subdivisions are going to get that
15 number because that's just how the line operates.

16 MR. HIPSKIND: But there's no specific BNSF policy, or is
17 there -- nor is there a FRA regulation that says if you're rail
18 testing -- and generally, a lot of the rail joints appear in the
19 track after rails defect repair. You would agree with that,
20 right?

21 MR. MILLER: Yes.

22 MR. HIPSKIND: And so, the point is that there's no mandatory
23 we can't -- you can't leave it in the track forever -- or
24 actually, you can leave it in the track forever. There's no
25 regulatory thing that says oh, you've got to get it out of there.

1 There's a bolting requirement and then by you running your
2 geometry cars, if you notice or isolate that a particular rail
3 joint is giving you problems, that may prompt you to schedule it
4 for elimination. Is that fair to say that?

5 MR. MILLER: It's fair to say that.

6 MR. HIPSKIND: Okay. All right, so what I'm hearing out of
7 all this is you have a regulatory track inspection regiment.
8 People high rail and go over the track, look at the track, and
9 make assessments, right?

10 MR. MILLER: Correct.

11 MR. HIPSKIND: And you rely on that boots on the ground,
12 going over the track, close look at it. But in companion with
13 that, it sounds to me like you do an awful lot of geometry car
14 data collecting and those are your true, main sources that you
15 rely upon to monitor, maintain, mitigate challenges that may come
16 up in track degradation?

17 MR. MILLER: That's correct.

18 MR. HIPSKIND: So, you're always trying to stay ahead of the
19 game, yes?

20 MR. MILLER: Yes.

21 MR. HIPSKIND: Okay. One final thing and then I'll pass it
22 off to some other people here. How should I think -- does BNSF
23 have their set -- their own specific set of track safety
24 standards? Is it -- should I think of it it's the same as what we
25 see in the FRA track safety standards, is it more restrictive,

1 less restrictive? Could you characterize that for us?

2 MR. MILLER: There are some parts that it's exactly what the
3 regulations say and then there are also parts where we are more
4 restrictive.

5 MR. HIPSKIND: Well, could you elaborate, separate that out
6 for us?

7 MR. MILLER: Okay. So, as we begin to step through our track
8 surface, for example, when we're in our instructions and we're
9 looking at cross level, our cross level thresholds that we call
10 for a defect mirror what the FRA regulation says as far as a
11 defect goes. Within our geometry testing, for example, we have
12 geometry defects that we test for that are not part of regulatory
13 requirements. They're not associated with a regulatory type of
14 defect. So, an example is ADIP 31 defect that we test with the
15 geometry car. It is a short profile or a hump in the track, it
16 may not necessarily fall in line with the same magnitude as
17 profiled. It'll look like a short profile, it won't fall into
18 profile as far as reading it being a defect threshold. But we
19 have set how we measure that defect as a class-specific speed
20 reducing type defect. That's one example of how we have
21 differences that are above and beyond the FRA regulations.

22 MR. HIPSKIND: More restrictive?

23 MR. MILLER: More restrictive, correct.

24 MR. HIPSKIND: Okay. And again, your data collection from
25 running geometry cars keeps you in touch with things before they

1 get threshold braking?

2 MR. MILLER: Correct.

3 MR. HIPSKIND: Okay.

4 All right, Manal, is there anything you want to add to our
5 discussion thus far?

6 MS. BISHR: I don't think so.

7 MR. HIPSKIND: All right. Let me pause here and let's see if
8 the other interviewers have any questions for you.

9 Quinn, we'll start with you.

10 MR. LIGON: Quinn Ligon, I have no questions.

11 MR. HIPSKIND: Todd?

12 MR. ANDERSON: Todd Anderson, I have no questions at this
13 time.

14 MR. HIPSKIND: And Robert?

15 MR. NAGEL: Robert Nagel with Amtrak, no questions at this
16 time.

17 MR. HIPSKIND: Matt?

18 MR. HAMMOND: Matt Hammond with BNSF, I do have one question.

19 BY MR. HAMMOND:

20 MR. HAMMOND: In order to get there, I want to recover some
21 items with you addressed already, but I don't want to ask you a
22 series of questions. So, what I want to do is I'm going to state
23 some things that I heard earlier and I'd like you to tell me if
24 I'm correct before answering my question. So, class four track
25 has a maximum speed of 60 miles and hour freight, 79 mile an hour

1 passenger -- 80 mile an hour passenger. Is that correct?

2 MS. BISHR: Yes.

3 MR. MILLER: Yes.

4 MR. HAMMOND: And I'm going to address these to Mr. Miller
5 and then, Manal, I'll ask you afterwards if you have anything you
6 want to add on it.

7 MS. BISHR: Okay.

8 MR. HAMMOND: Where I was a little confused in your prior
9 testimony is when we were talking about the amount of elevation
10 required for passenger versus freight. So, I'd like you to use
11 your chart and I'd like you to answer a question for me on a
12 theoretical curve design. If we had a curve that was one-minute-
13 and-thirty-five seconds in design, and the maximum freight speed
14 was 60 miles an hour, what would be the required elevation at BNSF
15 standard of two-inch unbalance.

16 MR. MILLER: Two-and-a-quarter.

17 MR. HAMMOND: And if that same curve had a maximum speed of
18 79 mile an hour passenger, what would the elevation be required
19 for BNSF's three-inch unbalance standard?

20 MR. MILLER: Four-and-a-half.

21 MR. HAMMOND: So, would it be fair to say that the difference
22 between four-and-a-half and two-and-a-quarter would be added
23 elevation to accommodate a passenger speed in that theoretical
24 example?

25 MR. MILLER: Correct.

1 MR. HAMMOND: Thank you.

2 Manal, is there anything you'd like to add on that?

3 MS. BISHR: No, there's not.

4 MR. HAMMOND: I have no further questions.

5 MR. MORRISON:

6 MR. MORRISON: Roy Morrison, Brotherhood of Maintenance of
7 Way, I've just got one question. When looking at the Vmax of
8 joint elimination standard, when you do have joints in the track,
9 is there a requirement for the track inspectors to walk and
10 document the original inspection of those joints? And if so, do
11 you guys record them and how often is that, if you could explain
12 that?

13 MR. MILLER: So, there is a process within our CWR policy.
14 It does depend on some characteristics of type of traffic, billion
15 gross tons. Typically, it's quarterly for a lot of our main
16 routes. The inspector is required, after they perform the
17 inspection, to record that within our electronic database, but
18 also on the rail, write down initials and date that they performed
19 that walking inspection.

20 MR. MORRISON: Thank you. That's the only question I had.

21 MR. HIPSKIND: Thank you, Roy.

22 Who is next? Troy?

23 MR. LLOYD: Yeah, I do have --

24 MR. HIPSKIND: Do you want to come around here?

25 MR. LLOYD: No, I'm good. I'm loud enough, believe me.

1 MR. HIPSKIND: Okay.

2 BY MR. LLOYD:

3 MR. LLOYD: Again, this is Troy Lloyd from the NTSB. Sorry,
4 if it's muffled with the mask and everything. But just a couple
5 documents here just to see if you were aware of them. I just did
6 some research -- just Google search, you know, some tables, some
7 messages out there to see what I get. So, are you aware of -- it
8 is actually Department of Transportation and the FRA, Federal
9 Railroad Administration filed a report that came out in February
10 2020 that describes cant excess for freight train operations or in
11 shared track? I can let you see it if you want. I don't know if
12 you've ever --

13 MR. MILLER: I haven't read it.

14 MS. BISHR: I haven't.

15 MR. LLOYD: Just to see if it's -- if you're aware of it --

16 MS. BISHR: I am not aware of it.

17 MR. LLOYD: Yeah, the -- just to say it's a very good study,
18 it shows running heavy freight trains on curves, accommodating
19 passenger trains such as a host railroad. I'm just saying very
20 good literature. I just wanted to make sure that -- you know,
21 just wanted to see if you all were aware of it. Here's another
22 one that was done by Gary Wolf (ph.), this came in early January
23 of 2006, so it's been out a while. But it's some good literature
24 as well. It's super elevation problems and solutions and also
25 gets into Vmax formulas, again, shared railroads, Amtrak running

1 on host railroads, freight trains running on Amtrak stuff, how do
2 you deal with that equilibrium stuff, running either, you know,
3 cant excess, overbalance, underbalance, things of that nature. I
4 just wanted to go on the record to show that they're out there or
5 good reading from the group. You know, there's some good
6 literature on there. It gave me a lot to think about, especially
7 with what's going on everywhere throughout the nation. But I do
8 got another question.

9 MR. LLOYD: I think Roy -- and I'm going to answer -- ask the
10 question while I'm getting the paperwork ready. Were you asking
11 about -- you asked a question about their CWR plan and their curve
12 inspections? Is that what you asked?

13 MR. MORRISON: No, I asked about the joint inspections.

14 MR. LLOYD: Okay.

15 So, BW -- so, BNSF does have an improved FRA CWR plan,
16 correct?

17 MR. MILLER: Yes.

18 MR. LLOYD: Okay. So, describe to me how often do the
19 curves -- the CWR curve have to be inspected at a regular basis?
20 I know they're inspected with the -- you know, with the FRA
21 frequency track inspection and all that stuff, you know, however.
22 But is there any kind of CWR inspections that are conducted once,
23 twice, three times a year that's required by the plan?

24 MR. MILLER: For specifically the curves?

25 MR. LLOYD: Yeah, just for CWR curves. Is there -- does BWI

1 (sic) have a CWR curve inspection plan that maybe once a year it
2 has to be walked by foot, things of that nature?

3 MR. MILLER: So, BNSF does have a walking curve inspection
4 within our engineering instructions.

5 MR. LLOYD: Okay.

6 MR. MILLER: Our CWR plan has a curve requirement and it's
7 related to curve staking for minimum degree of curves listed
8 within the policy when -- that we use for curve monitoring.

9 MR. LLOYD: Okay.

10 MR. MILLER: But that is the only reference to curves within
11 our CWR plan.

12 MR. LLOYD: So, bring me up to par. So, as an inspector,
13 what would one do -- if I'm going out to inspect that curve, what
14 would I be looking at and looking for, what would the problems I'd
15 be --

16 MR. MILLER: A track inspector performing a curve inspection,
17 a routine one, they'd be high railing up to the curve. It does
18 say walking inspection, so that mean they have to park their
19 vehicle. They can park it on the track if they can accommodate it
20 for that type of operation. Depending on length of curve -- if
21 it's a 15-hundred-foot curve, just as an example, they'll begin
22 walking around the curve, looking at the rails, looking at the
23 ties, looking at the fasteners. They're predominantly looking for
24 track geometry type defects, whether it be associated to
25 alignment, gauge, surface. They will be making spot checks for

1 elevation in the curve, make some notes. They'll then cross
2 reference that both with okay, what's the curve characteristics
3 that either from the geometry car or look at a track chart, see if
4 they're in compliance, and if they are, they're register the curve
5 as inspected, record defects as necessary if they see any, or
6 begin their -- rest of their inspections after it's completed.

7 MR. LLOYD: Thank you for that. Just one last question, I
8 know you've got -- that Dick was talking about data gathering
9 through the ATIP -- BNSF ATIP car program. It seems that the
10 Highline is inspected more frequently due to the double-main
11 track, going through the single main, into that double coming
12 back, going to that single main again to get the other side of
13 that double. Does BNSF, besides their ATIP car programs, do they
14 use any other type of measuring devices such as let's say vehicle
15 track interact, or locomotives on cars, things of that nature that
16 would give you extra data besides that -- running that geometry
17 car and getting those track inspection reports? Are there any
18 other things like maybe VTI equipment on locomotives or anything
19 like that?

20 MR. MILLER: Yes, I'll list a few. I don't want to try to
21 leave any off, but there are several technology advances that are
22 out there within the industry. VTI, for example, is vehicle track
23 interaction, those are mounted on specific locomotives with
24 accelerometers. They are measuring a specific kip loading for
25 axel vertical car body movements that are then uploaded and

1 recorded for additional inspections.

2 BNSF has a few other items that it uses for monitoring. We
3 do have optical recognition test equipment. Our acronym is THOR
4 for track health optical recognition is the definition. This
5 technology takes pictures of rail joints, looks for broken rails,
6 digital imaging that will capture these different assets when
7 they're tested. We also use ground penetrating radar. This helps
8 drive some different characteristics with our capital maintenance
9 program. Once it's scanned, it helps guide our ballast
10 maintenance and other types of issues.

11 We also scan ties. Wood ties, for example, we will log and
12 register those for planning our capital tie replacement programs.
13 It's how we begin to find out if we have 800, 600, 12 hundred ties
14 per mile. Whatever the number is, it helps generate and locate
15 those so then we can begin planning out capital maintenance.
16 Those are the ones that I can come up with off of the top of my
17 head here.

18 MR. LLOYD: Appreciate the interesting -- thank you, Adam.
19 Thank you.

20 BY MR. HIPSKIND:

21 MR. HIPSKIND: Thank you, Adam. I'm glad we got into the
22 different areas where you guys are collecting data. I would
23 request -- and you can work with Matt or whoever, how about
24 providing us a full list? If there's more programs for data
25 collecting et cetera, could you take some time and send that to us

1 in the near future? Is that something -- is that a heavy lift?
2 I'm not sure what I'm asking, but if you mentioned the list and
3 you said that's the only ones I can remember now, we would like a
4 fuller accounting. I guess that's my request. Are you okay with
5 that?

6 MR. MILLER: I can do that.

7 MR. HIPSKIND: Okay.

8 Any -- for the interviewers, are there any other questions to
9 ask of Manal or Adam? Going, going, gone.

10 Manal and Adam, are there any points of clarification that
11 you would like to make for our discussion? Is there anything else
12 that you want to add, maybe stuff we didn't ask you or anything
13 like that?

14 MR. MILLER: So, one point of clarification on our geometry
15 test frequencies, our BNSF minimum requirements for our geometry
16 testing is three tests within 12 consecutive months with no less
17 than 60 days between tests. I believe I said 120 days, just
18 wanted to clarify how it's worded within our instructions.

19 MR. HIPSKIND: Okay, understood.

20 Manal, anything else?

21 MS. BISHR: No.

22 MR. HIPSKIND: Okay. Thank you, both.

23 And Mike, can I get you, and Adam, and Manal to do the --

24 Yes, sir?

25 MR. TROSINO: Can I just make one request?

1 MR. HIPSKIND: Yes.

2 MR. TROSINO: Can we take a bio break?

3 UNIDENTIFIED SPEAKER: No.

4 MR. HIPSKIND: Yes.

5 MR. TROSINO: A bio break.

6 MR. HIPSKIND: Troy, if you'll come over here and clock us
7 off. We are going to accommodate Mike's request, which happens to
8 be a very good one.

9 MR. TROSINO: Thank you.

10 MR. HIPSKIND: So, give us a second to get the recorders off.

11 (Off the record)

12 (On the record)

13 MR. LLOYD: Back on the record.

14 INTERVIEW OF MICHAEL TROSINO

15 BY MR. HIPSKIND:

16 Q. All right, Mike, you are our last interviewee and I would say
17 that in our previous discussion, we were basically talking about
18 how a host railroad -- a freight railroad accommodates passenger
19 train traffic. But many people do not realize that Amtrak is a
20 host railroad for freight operations. So, could you begin by
21 characterizing where that occurs and to what degree?

22 A. Okay. Well, the Northeast Corridor hosts freight pretty much
23 on its entire length at various levels. The bottom level being
24 just local freight, which is pretty much universal throughout the
25 entire Northeast Corridor. There's very few locations where local

1 freight service isn't provided. There are a couple of places,
2 we'll start in the south and work north. We have municipal train
3 operation between Landover, Maryland and Bowie, Maryland, and then
4 we have heavy haul freight operations with NS between Bayview,
5 Maryland, (indiscernible), Maryland, and Wilmington, Delaware. I
6 know the BNSF people will say this isn't much, but for us, it's
7 around -- between 37 and 40 million gross tons on that segment.

8 We have through freight service between Wilmington, Delaware,
9 and Philadelphia, and then from Philadelphia to New York is almost
10 exclusively local freight. There's no through freight service in
11 that area. We got through freight service with PNW between New
12 Haven and Providence, Rhode Island, and we have through freight
13 service with CSO and CSX between West Springfield and New Haven,
14 and we have through freight service with CSX and Old Colony
15 between Attleboro, Massachusetts and Mansfield, Massachusetts.

16 Q. Yeah, and I was a little remiss because when we were talking
17 earlier with BNSF, I probably forgot to talk about that the track
18 safety standards for their railroad and for their operation as a
19 host railroad for Amtrak and they're still running freight, it
20 classes one through five?

21 A. Right.

22 Q. Not so with what you just described. Take us through the
23 classes of track we should understand?

24 A. Well, depending on where you are on the railroad, we have
25 speeds that vary anywhere -- well, between 30 miles an hour and

1 150 miles an hour that takes us up to up to class eight. The area
2 where we operate the through freight service with A&S is primarily
3 class seven and eight territory. The maximum speed in that zone
4 is 135 miles an hour currently, soon to become 145.

5 Q. Okay. So, the layperson should understand that when we talk
6 higher classes of track, six, seven, eight, nine, we're at some
7 fairly high operating speeds. And so, the tolerances, the
8 thresholds, the data collecting, take us through that and describe
9 for -- how tight that is and how you manage, monitor, and mitigate
10 all that maintenance?

11 A. Well, I'll the manage -- the monitoring side of it. When you
12 get to class-six track, it's the first class of track where the
13 FRA mandates the use of track geometry cars. So, we are required
14 under the track safety standards to operate track geometry car
15 under a certain frequency, one frequency for class six, a
16 different frequency for class seven, different frequency for class
17 eight. Each time the frequency goes higher.

18 So, for example, in class eight track, the FRA mandates that
19 you have to perform a test twice within 60 days with no less than
20 30 days or something to that effect between tests. So,
21 effectively, it becomes once a month. So, on class eight track,
22 you have to run a track geometry car once a month forever. Class
23 seven track is basically once every two months. Class six track
24 is once a year. So, for our purposes, you know, we operate a
25 track geometry car according to the FRA requirements.

1 Q. But you also supplement with some other data collection or
2 all the --

3 A. Well, similarly to what the BNSF does, we have VTI units that
4 we use -- as a matter of fact, the track safety standards mandate
5 the use of VTI units at certain classes of track. So, for
6 example, class seven track requires the use of VTI equipment,
7 class eight track requires the use of VTI equipment and there's
8 different frequencies for both classes of track.

9 Q. And VTI stands for?

10 A. Vehicle track interaction, okay. Basically, it's a
11 combination of accelerometers that are mounted on the truck frames
12 and the car bodies of the equipment and they do a continuous
13 monitoring of the truck frame, truck axel box, and car body
14 acceleration.

15 Q. It sounds to me like what you're describing is real-time,
16 real-world data collection, measurements of the track, the vehicle
17 interface with the track?

18 A. Pretty much, yes.

19 Q. Okay. So, take us a little bit deeper. How often is that
20 data looked at, how quickly can a alerts be out there? Take us a
21 little bit into the communication --

22 A. You're talking about, like, the VTI units?

23 Q. Yeah.

24 A. Okay.

25 Q. Communication and response.

1 A. Right. Well, the VTI units are basically on all the time and
2 they're mounted on vehicles that then just run randomly over the
3 railroad. So, for example, the Acela fleet, we have 20 train
4 sets. Out of the 20 train sets, 18 of them are equipped. We
5 actually have two train sets that are currently not equipped with
6 VTI units. And whenever those trains run, the VTI units measure
7 and they basically report back to the acellular modem and GPS
8 location. We have a website, you know, a central database, they
9 all report to the central database and whenever an exception is
10 recorded by one of the units, it sends out email messages to a
11 distribution list. So, depending on geofencing, the local track
12 supervisor, the ADE gets the notification and then we also have a
13 duty officer that monitors these units continuously. So, when we
14 get good alerts -- and we have a written procedure, which is
15 required under the CFR that delineates how you handle the
16 exceptions based on what they are and where they are.

17 Q. Should I think tight response times? Is this -- are these
18 alerts on the order of instantaneous?

19 A. They are near real time. There's a processing delay that
20 occurs and the requirements for remedial action are delineated in
21 the policy depending on the level of the defect, which can be a
22 slow order gets placed on the track when notification is given or
23 a verification, go out and do an inspection. It depends on the
24 type of defect and the level of defect.

25 Q. Okay. And when you mentioned the slow orders, are those put

1 out automatically?

2 A. No. Every defect is reviewed by a human being first.

3 Q. Verification?

4 A. Yep.

5 Q. But that happens rather quickly?

6 A. It can depending on the severity of the defect. There's
7 a -- when you look at VTI defects, you can get numerous hits of
8 various levels, so it depends. We have three levels of exception.
9 So, we have what we call a baseline exception, which is a very low
10 acceleration level. It's an indicator of something that's going
11 on. Same thing like the red tag, yellow tag, orange tag that the
12 BNSF have, we have level one, level two, level three, same effect.
13 And so, depending on the level of exception and depending on the
14 location of the exception, it predetermines what we do.

15 Q. Would -- Mike, would you say that where you are experiencing
16 higher tonnage -- I think you mention 36 or 40 billion gross tons,
17 I would say on a lot of freight railroads, that's some pretty
18 significant tonnage. So, what challenges do you see in those
19 areas where your freight -- I want to get on the record, I believe
20 you're requiring those freight movements probably at night or in
21 decreased --

22 A. Well, yeah, there's -- well, you have to understand
23 operationally, the Northeast Corridor is a little different than
24 most other railroads. We have what's called an order of
25 particular applicability, which governs how we operate trains on

1 the Northeast Corridor. It was given to us by the FRA. It dates
2 back to pre-higher classes of track. So, when we were operating
3 its feeds that exceeded class six -- if class six was the top
4 track class, they placed these restrictions on our operation.

5 So, we're allowed to operate freight trains anytime on the
6 clock face. However, in certain times of the day, freight trains
7 are severely restricted on how fast they can go. So, it kind of
8 creates a compelling operational, you know, issue that we push the
9 freight trains to a certain timeframe -- time window when they can
10 operate at maximum speed for a freight train and also when the
11 least number of passenger trains are operating. So, our freight
12 operating window generally looks to be about 10:00 p.m. to about
13 5:00 a.m. in most places. But do we have freight trains operating
14 during the day, yes.

15 Q. But to a lesser degree?

16 A. But to a lesser degree.

17 Q. And a lesser number?

18 A. Correct.

19 Q. Okay. So, like BNSF, they talked a lot about data
20 collecting, monitoring, and you just talked about the VTI and
21 everything. Is there anything other than that -- are there other
22 programs of data collection that you use to monitor the house of
23 the track?

24 A. Well, again, similar to the BNSF, we have a track geometry
25 car, obviously. We also have ground penetrating radar; we do the

1 same analysis for look at ballast condition with ground
2 penetrating radar. We are in the process -- we don't have -- we
3 have a line-scan camera system installed on one of our cars at the
4 moment, but it's a lower-level system used for looking for butt
5 spots. We currently have under construction a line-scan camera
6 that's going to do similar things to what the BNSF had talked
7 about, which is being able to look at the ties, ballast, rail, and
8 so forth. And we also have a joint bar condition monitoring we
9 purchased from Sperry. So, when the Sperry cars do their rail
10 flood detection, we look at joint bar condition as well.

11 Q. Yeah. And Mike, I could be wrong about this, in terms of
12 ownership, besides the Northeast Corridor, Highspeed Corridor, all
13 that kind of stuff, East Coast type stuff, there is the -- Amtrak
14 owns the Michigan line, too?

15 A. Well, part of it.

16 Q. Part of it.

17 A. Yeah, the Michigan in and of itself is 250 miles of railroad
18 that runs from Porter, Indiana to just outside of Detroit in
19 Dearborn and Amtrak owns the western hundred miles from Porter to
20 Kalamazoo. And then the state of Michigan owns from Kalamazoo to
21 Dearborn, but then contracts that back to us for maintenance and
22 operation.

23 Q. And a similar thing, freight operations, and you're hosting,
24 and then somebody else has it, the state of Michigan, and they're
25 hosting you going up to Detroit. But an item I want to enter on

1 the record is those speeds up there are classes one through five?

2 A. No, we operate class six.

3 Q. You do?

4 A. It's 110 mile an hour railroad, yeah.

5 Q. Okay. And how long has that been going on?

6 A. On the western hundred miles, we've been operating 110 miles
7 an hour I want to say 15 years. That's a scientific, wild ass
8 guess.

9 Q. That long?

10 A. I say that we've been doing a lot of research with -- in
11 conjunction with DOT, funding for PTC.

12 Q. Yeah.

13 A. So, the Michigan line has one of the original PTC
14 instillations pre ITMS. It's called ICTS -- whatever -- ITCS and
15 that PTC system allowed us to operate faster than 79 miles an hour
16 on conventional railroad with conventional block signals.

17 Q. And I think that was one of the first test areas. There was
18 a lot of V&V, verification validation for PTC that was going on up
19 there for years.

20 A. Correct, yes, for years. It was an unending project.

21 Q. Okay. All right. Okay, so similar, when we ask BNSF do they
22 have an approved CWR program, tell us about that. You have one?

23 A. Yes.

24 Q. And what are some of the elements? We talked to them about
25 joint elimination testing, things like that.

1 A. Well, I want to predicate this in this way. We've always had
2 a CWR plan, we had an approved CWR plan for years and recently the
3 FRA came back and told us that our CWR plan was no longer valid,
4 and no longer approved, and we had to build a new CWR plan. And
5 after working with the FRA for about a-year-and-half, almost two
6 years, we rewrote the CWR plan so that it more closely aligned
7 with the FRA generic plan, which I believe is almost identical to
8 the BNSF's plan because the FRA kind of mandated that.

9 Q. Well, I almost hate to ask this, do you think your CWR
10 program was a better program, more restrictive or --

11 A. It was different. I'm not going to say it was more
12 restrictive, or better, or worse. I think some of the aspects of
13 the current plan that we have that's approved are better than what
14 we had before and some of the requirements that we're supposed to
15 do actually make us a little bit better railroad for, you know,
16 taking care of things. But it's a value judgement, you know, it's
17 apples and cumquats a little bit. Do they all cover the same
18 basic elements, yes. Do they do it in a slightly different way,
19 yes. But it is what it is and we have that CWR plan in place
20 today.

21 Q. Okay. What -- fill our heads with how do you guys set goals,
22 policy, approach the business of joint elimination?

23 A. Well, if you look at it as a policy perspective or desire,
24 your desire is to eliminate all joints. It's a worthy goal, but
25 it's almost an impossible goal to obtain because for every joint

1 that you eliminate, you're almost creating another one. You're
2 constantly doing rail flood detection, you're constantly finding
3 service failures, you're constantly having issues with pieces of
4 rail that have to be replaced. So, depending on the circumstances
5 of rail replacement, sometimes you can weld the rail in when you
6 replace it, sometimes you can't. Most times you can't, you know,
7 we have a time imperative that doesn't necessarily allow a rail
8 replacement to be replaced with welded joints. So, you cut a
9 piece of rail out, you replace it with two rail joints. You
10 hopefully have the opportunity to come back at a later date and
11 eliminate those joints, but you don't always have that opportunity
12 in a timely fashion.

13 Q. Somewhere I hear somebody say that you guys had a pretty high
14 goal of trying -- when you introduce a rail joint, say the high
15 rail test -- rail defect testing, that a goal -- not a
16 requirement, but a goal was to try and get it welded up, like, in
17 a matter of days or hours. Is there any truth to that?

18 A. I'm not going to say one way or the other how truthful that
19 is. In my experience in this aspect of the job, that is not a
20 goal that has been stated, okay. It is certainly something that I
21 would love to have happen, but it's not necessarily something
22 that's required, okay. We have in our CWR plan requirements for
23 what to do with rail joints. The intention is that if we
24 introduce joints in the track, to come back and eliminate those
25 joints at some point in the future and hopefully before 60 days,

1 which is what our CWR plan says.

2 But if you can't eliminate the joints within 60 days, we have
3 in the CWR plan a methodology for hardening the joint location.
4 So, in other words, we require anchoring ever tie or -- which in
5 our case is not too difficult because most of our track is elastic
6 fasteners and putting in a six-hole bar rather than a four hole
7 and so forth. But eliminating a joint as a requirement is not in
8 the plan.

9 Q. Okay. But like BNSF, are you mindful if your joint -- rail
10 joint population is increasing, decreasing, and is there enough
11 money put toward keeping your joint population in control?

12 A. Well, one of the things that, you know, you have to keep in
13 mind is there's really two budgets -- actually, three budgets when
14 it comes to performing track maintenance in general. There's the
15 money budget that says do I have enough money to do this? But
16 sometimes, money isn't the object, money isn't the problem. The
17 resources are the problem. I don't have the track time; I don't
18 have the personnel, okay. I can't do all of this all at once
19 because I don't have the people to do it all at once.

20 Q. Choices?

21 A. Right. So, you have to do triage on it.

22 Q. Okay. So, I'm intrigued at the speed of the train operations
23 for your Amtrak trains, passenger trains. I imagine some of the
24 thresholds are just about as tight as tight can be and my question
25 is are you aware of any testing beyond lookout for certain values

1 to appear in the track because we can get some harmonic rock or we
2 can get some adverse reaction? Talk us --

3 A. Well, that's the VTI system.

4 Q. Okay.

5 A. Okay, because it is a setup where you're not measuring track
6 geometry, you're measuring the vehicle's reaction to track
7 geometry, okay, and that is vehicle specific, and it's track
8 geometry specific, and it's also speed specific, okay. So, you
9 can have an anomaly in the track that a vehicle doesn't like and
10 if your vehicle happens to have a VTI unit on it, it's going to
11 ring the bell and say I have a defect here in terms of VTI units.
12 In the track safety standards for classes six, seven, eight, and
13 nine, those limits are spelled out in the CFR.

14 Q. And are you aware of any kind of distance or time measurement
15 in hertz or whatever where you experienced --

16 A. Well, if you're talking about vehicle track interaction,
17 right, and what the VTI systems are looking at, they're looking at
18 the reaction of the vehicle to a track probation, whatever it is.
19 And the vehicles that operate depending on what vehicle it is, all
20 have their own natural frequency and -- on the suspension and that
21 natural frequency is going to result in vehicle harmonics that are
22 good or bad depending on how the geometry lines up with the
23 vehicle's natural frequency. And if you have a combination of
24 geometric shapes that are in tune with the vehicle's natural
25 frequency, the vehicle's going to react badly to it.

1 Q. So, bad spot in the track action, equipment reaction?

2 A. Correct.

3 Q. Have you got any study on some of the distances or figures of
4 how quick that can happen?

5 A. Again, yes, there are numerous papers on it. I can't spell
6 out which ones, I couldn't give you a title, but I know I've seen
7 numerous investigations into that. But yeah, it depends on the
8 vehicle. It depends on the geometry of the vehicle, it depends on
9 the suspension type of the vehicle, it depends on the inertial
10 masses, where they are, and how they're located, and the vehicle
11 will react to track geometry in a way that may or may not
12 correspond to the track safety standards, which is why the VTI
13 systems are, you know, useful in that respect because it's like a
14 rough ride. You get a rough ride on a car; it doesn't necessarily
15 mean there's a track defect.

16 Q. In general terms, Amtrak has a locomotive fleet. I imagine
17 an awful lot of it is dedicated to the Northeast Corridor, the
18 Highspeed Corridor, things of that -- things that are on your
19 property. But your other fleet that is used to transport trains
20 on the broader host railroad, rail passenger network, are those
21 locomotive -- are they VTI equipped or -- help me understand that?

22 A. Well, you have to understand, for the purposes of our
23 operation, we obviously concentrate our resources and efforts on
24 the Northeast Corridor because we have to do the maintenance
25 there, okay. Do we have vehicles that wander off the Northeast

1 Corridor that would have VTI units on them, yes. We have probably
2 less than a dozen that operate on a national network that would
3 have a VTI unit on them. But the vast majority, of course, is
4 concentrated in the NAC.

5 Q. But for the general style of locomotive that is out in the
6 broader host railroad, rail passenger network --

7 A. We don't have any that are installed on the diesel locomotive
8 fleet, no.

9 Q. Is there a feasibility to do that if you wanted to do that?

10 A. I don't know what you mean by feasibility. Is it possible to
11 do that, yeah.

12 Q. I mean, the design of the locomotive would accommodate
13 attachment of VTI?

14 A. Oh, yeah, any -- the units are, you know, tailored to fit on
15 equipment. So, whether it's a P42 locomotive, an ACS64
16 locomotive, or a superliner, or an air fleet car, you can install
17 a unit on the car. It's whether you feel you need to or not. For
18 us, since this Track department -- Engineering Department driven
19 system, I'm interested in maintaining my railroad, so I'm going to
20 concentrate my resources to monitoring the railroad that I have to
21 be responsible for.

22 Q. So, what we've been talking about is if additional measuring
23 equipment, VTI type systems were attached to the locomotive fleet,
24 is this an expensive proposition or what are we talking about
25 here, just a ballpark?

1 A. Yeah, it's a pretty expensive proposition if we had to let's
2 say equip our entire fleet. That's a lot of money. Units
3 are -- well, they're less than a hundred thousand dollars apiece,
4 but when you're talking about -- you know, we have 200 and some
5 diesel locomotives and 13 hundred passenger cars. If we were to
6 equip the entire fleet, that's a lot of money. And then it also
7 becomes a data handling issue because now I've got all these units
8 reporting all the time, you're just going to overwhelm yourself
9 with information that maybe you can or cannot parse.

10 Q. Well, there would have to be support to accommodate that?

11 A. That's correct.

12 Q. There'd have to be a human infrastructure, computer analyzed
13 infrastructure. And then maybe another aspect of this
14 hypothetical is well, once you get the data, then you have to
15 interface with people out there in the real world who are not part
16 of your system?

17 A. That's correct.

18 Q. And that could introduce a degree of complication?

19 A. That would be a large degree of complication, I'm sure.

20 MR. HIPSKIND: Okay. All right, I think that's all I've got
21 for right now. Let's see if any of the other interviewers have
22 any questions.

23 MR. TROSINO: Sure.

24 MR. HIPSKIND: So, as in the past, Quinn, any questions for
25 Mike?

1 MR. LIGON: I have no questions.

2 MR. HIPSKIND: And Todd, please?

3 MR. ANDERSON: I have no questions at this time.

4 MR. HIPSKIND: All right. Thank you, Quinn, Todd.

5 MR. NAGEL: Robert Nagel with Amtrak, no questions at this
6 time.

7 MR. HIPSKIND: Matt?

8 MR. HAMMOND: Matt Hammond, no questions.

9 MR. MORRISON: Roy Morrison, no questions.

10 MR. LLOYD: Troy Lloyd, no questions.

11 MR. HIPSKIND: You must have done a really good job.

12 MR. TROSINO: Well, you didn't do so bad.

13 MR. HIPSKIND: So -- well, independently, all of you
14 interviewees did a great job and I think we've got the
15 conversation about. But let me indifference to if we didn't ask
16 the right questions.

17 BY MR. HIPSKIND:

18 Q. Mike, is there anything else on your mind? You kind of know
19 the topic here that we're talking about, it's more geared to not
20 your experience on the Northeast Corridor, but just passenger
21 train operations on the freight railroad and maybe some of the
22 challenges that slower speed freight operations have in that
23 infrastructure. Do you experience any of that for your property?

24 A. I would say that it's approximately the same, you know,
25 building and maintaining track is building and maintaining track.

1 We are lucky in the Northeast Corridor in a sense, and I say it
2 this way -- and I don't mean lucky per se, but when you're
3 maintaining track to class seven and eight standards, as you said
4 before, it's tight tolerances. So, when you have good track, good
5 track is good track and if we're already in a place where our
6 variations in geometry are so small, freight trains don't really
7 see it, you know, at the speeds they run because right now,
8 maximum speed for a freight train on the Northeast Corridor is 50
9 miles an hour. (Verbatim) That's predicated on the ability of
10 the train to brake and not on the quality of the track that it has
11 to run on. So, we don't see a lot of deteriorating effect freight
12 operations only because we're not -- we already have the track
13 that's well beyond what the freight train requires.

14 Q. All right. Anything else you want to add to the
15 conversation?

16 A. No, that's pretty much done.

17 MR. HIPSKIND: Okay. Let me do the closeout piece with you.
18 Let me start and I think we'll get through this pretty good. It's
19 always the last piece of paper you grab.

20 MR. TROSINO: Good thing.

21 BY MR. HIPSKIND:

22 Q. Is there anything -- Mike, is there anything that you would
23 like to add or change? Do you think we got your views on all
24 this?

25 A. No, I'm pretty set.

1 Q. Okay. Are there any questions we should've asked by did not?

2 A. I'm not going to -- no.

3 Q. Were we too far a field -- we didn't cover what you thought
4 we'd cover or have we covered what we kind of indicated we would
5 cover?

6 A. No, I think I'm good.

7 Q. Okay. Do you have any suggestions for preventing a
8 reoccurrence -- and maybe I would change that, what is the lesson
9 learned in how you guys manage, monitor, and mitigate track
10 conditions on the Northeast Corridor? What's the takeaway that
11 you would tell us helps prevent accidents on your property?

12 A. That's an interesting question. It's just diligence. It's
13 just maintaining inspections, paying attention to what you do, and
14 following the engineering practices. It's pretty simple as that.

15 Q. And you're collecting data nonstop?

16 A. Well, the data is an aide to doing the work. But doing the
17 work is doing the work.

18 Q. So that you don't collect bad data?

19 A. Right.

20 Q. Okay. Point well taken. And I think I know the answer to
21 this, is there anyone else who we should interview at Amtrak?

22 A. I would say no.

23 Q. I would say you're the subject matter expert is what I would
24 say.

25 A. Okay.

1 MR. HIPSKIND: All right. Thank you, Michael, for your
2 patience and for the time that you spent coming out here. I just
3 wanted to tell you, I thought you added a tremendous amount of
4 value.

5 MR. TROSINO: Oh, thank you.

6 MR. HIPSKIND: So, we greatly appreciate you being out here.

7 And so, well, let's continue with our folks from BNSF and I
8 will -- if you guys want to switch your chairs, we'll do the dance
9 here.

10 BY MR. HIPSKIND:

11 MR. HIPSKIND: And basically, I will start with you, Adam,
12 and Manal, the same questions for both of you. You can answer
13 them in whatever order you want to do. So, Adam and then Manal,
14 is there anything you would like to add or change in our
15 conversation about host railroads, freight operations, all that
16 kind of subject matter?

17 MR. MILLER: No.

18 MR. HIPSKIND: You're sure?

19 MR. MILLER: Yep.

20 MR. HIPSKIND: I'm sure you're sure.

21 Manal?

22 MS. BISHR: No, there's nothing I'd like to add.

23 MR. HIPSKIND: Okay. Are there any questions that we
24 should've asked but did not?

25 MR. MILLER: Nope.

1 MS. BISHR: No.

2 MR. HIPSKIND: Okay. And do you have any suggestions for
3 preventing a reoccurrence and maybe a better way to ask that
4 is -- I was remiss, neither one of you were out and a part of the
5 accident investigation? You were not on scene, you're here to
6 talk about the subject manager of hot railroads and freight
7 operations, et cetera. So, maybe the better thing is do you have
8 a view on how you keep doing what you're doing or improve what
9 you're doing?

10 MR. MILLER: Keep with the standards, keep collecting data,
11 analyze that data, draw conclusions that can help improve the
12 infrastructure and the standards we have.

13 MR. HIPSKIND: Stay ahead of the curve. No pun intended.
14 Manal?

15 MS. BISHR: No, I agree with Adam, we have a lot of data and
16 we need to make sure we're using it.

17 MR. HIPSKIND: Okay. And is there anyone else who we should
18 interview?

19 MR. MILLER: Not that I can think of.

20 MR. HIPSKIND: Okay.

21 MS. BISHR: No one I can think of.

22 MR. HIPSKIND: Again, same as Mike, thank you, both, for your
23 time coming out here and thank you for adding value to the
24 investigation.

25 MR. HIPSKIND: And Michael?

1 MR. PIRATO: I can speak loud enough from here.

2 MR. HIPSKIND: Okay. Yell and speak loudly enough, that's
3 fine.

4 MR. PIRATO: Yes, sir.

5 BY MR. HIPSKIND:

6 Q. Same questions -- I'll ask you the same thing. Is there
7 anything that you would like to add or change with the value that
8 you added to our conversation today?

9 A. No. I hope I added value, but no.

10 Q. Well, I assure you, you did and I'm looking forward to
11 YuJiang's written responses and he'll --

12 A. That would be my response to the next question.

13 Q. Okay. Well, let me get to it. Are there any questions we
14 should've asked you but did not?

15 A. No.

16 Q. Okay. And do you have any suggestions for preventing a
17 recurrence?

18 A. Not at this time.

19 Q. Okay. Is there anyone else who we should interview?

20 A. Sure. Well, you'll get written responses for my surrogate.

21 MR. HIPSKIND: Okay.

22 And YuJiang, you're good with all of this?

23 MR. ZHANG: I'm fine, thank you.

24 MR. HIPSKIND: Okay. All right, and I was remiss, I got off
25 my game here a little bit.

1 John, as the representative for Michael, was there any
2 clarification that you wanted to add to anything that we discussed
3 with him?

4 MR. BONVENTRE: No clarification, thank you.

5 MR. HIPSKIND: All right. Thank you, John, for being here.

6 I would say to the group I very much appreciate your time and
7 your questions.

8 And Troy, if I can get you -- any final comment from you,
9 Troy?

10 MR. LLOYD: No. I appreciate everybody coming, I know it was
11 quick response from everybody to get here. Matt, Ryann, thanks
12 for getting that panel here. I know it was a real quick thing can
13 we do it. We had the holidays coming up, but you made it happen
14 and I appreciate it very much.

15 MR. HAMMOND: Ryan didn't have anything to do with it.

16 MR. HIPSKIND: All right, before we get too loose and
17 overload the transcriptionist, thank you everybody and with that,
18 we will adjourn. Again, thanks everybody.

19 (Whereupon, the interview was concluded.)

20

21

22

23

24

25

CERTIFICATE

This is to certify that the attached proceeding before the

NATIONAL TRANSPORTATION SAFETY BOARD



IN THE MATTER OF: FATAL AMTRAK DERAILMENT
 NEAR JOPLIN, MONTANA
 ON SEPTEMBER 25, 2021
 Interview of Michael Pirato,
 Manal Bishr, Adam Miller, and
 Michael Trosino

ACCIDENT NO.: RRD21MR017

PLACE: Beach Grove, Indiana

DATE: November 17, 2021

was held according to the record, and that this is the original,
complete, true and accurate transcript which has been transcribed
to the best of my skill and ability.

Carolyn Hanna
Transcriber