

UNITED STATES OF AMERICA

NATIONAL TRANSPORTATION SAFETY BOARD

* * * * *

Investigation of:

*

*

UNION PACIFIC RAILROAD COLLISION

*

GRANITE CANYON, WYOMING

*

Accident No.: RRD19FR001

OCTOBER 4, 2018

*

*

* * * * *

Interview of: JON ELLEFSON

Manager Operating Practices

Plains Hotel
Cheyenne, Wyoming

Saturday,
October 6, 2018

APPEARANCES:

TED T. TURPIN, Railroad Accident Investigator
National Transportation Safety Board

DONALD MAI, Operating Practices Safety Inspector
Federal Railroad Administration (FRA)

JOHN ALLBERRY, General Director Safety
Union Pacific Railroad

BRIAN FRANSEN, Primary Investigator
Brotherhood of Locomotive Engineers & Trainmen
(BLET)

CARL SMITH, Safety Team Member
SMART Transportation Division

KOREY McDANIEL, Safety Team Member
SMART Transportation Division

<u>ITEM</u>	<u>I N D E X</u>	<u>PAGE</u>
Interview of Jon Ellefson:		
By Mr. Turpin		5
By Mr. Fransen		14
By Mr. McDaniel		15
By Mr. Turpin		17
By Mr. Fransen		18
By Mr. Allberry		19
By Mr. Mai		20
By Mr. Turpin		21
By Mr. Smith		23
By Mr. Turpin		25
By Mr. Fransen		28

I N T E R V I E W

1
2 MR. TURPIN: My name is Ted Turpin. We're conducting an
3 interview in connection with an accident that happened near
4 Granite Canyon, Wyoming on October 4, 2018. The accident number
5 is RR19FR001 [sic]. Today is October 6, 2018, and we're at the
6 Plains Hotel in Cheyenne, Wyoming, interviewing the locomotive
7 supervisor for the territory.

8 Could you please state your name and spell it?

9 MR. ELLEFSON: Jon Ellefson, J-O-N, E-L-L-E-F-S-O-N.

10 MR. TURPIN: All right, thank you. You understand this is
11 being recorded?

12 MR. ELLEFSON: Yes, sir.

13 MR. TURPIN: Thank you. And we'll go around the room, and
14 everybody state their name and spell it, and their title.

15 MR. ALLBERRY: John Allberry, A-L-L-B-E-R-R-Y. Union
16 Pacific, operating practices.

17 MR. FRANSEN: Brian Fransen, B-R-I-A-N, F-R-A-N-S-E-N. BLET
18 Safety Task Force.

19 MR. McDANIEL: Korey McDaniel, K-O-R-E-Y, M-C-D-A-N-I-E-L.
20 SMART TD Safety Team.

21 MR. SMITH: Carl Smith, C-A-R-L, S-M-I-T-H. SMART TD Safety
22 Team.

23 MR. MAI: Donald Mai, M-A-I. OP safety inspector, Federal
24 Railroad Administration, Denver, Colorado.

25 MR. TURPIN: All right, thank you.

1 And this is Ted Turpin, T-U-R-P-I-N, NTSB.

2 Do you mind if I call you Jon?

3 MR. ELLEFSON: That's fine.

4 MR. TURPIN: Okay, Jon.

5 INTERVIEW OF JON ELLEFSON

6 BY MR. TURPIN:

7 Q. Let's start with, just tell us what you know of the accident.

8 A. I was assisting the train that was on main track 2 that
9 evening, that had the -- at that time it was a break in two. But
10 that was due to trying to -- we were trying to do a helper service
11 over the hill that had stalled out approximately milepost 526,
12 525, somewhere in there, just -- they were just past the
13 interstate by-dock that was referred to earlier. And was
14 assisting that train with trying to get it moving again. It
15 stalled out, so --

16 While we were in process, I called the corridor manager and
17 asked if I could get the Granite crew, which was up there and had
18 three units, and they were putting together a ballast train, if
19 they could come down and give us a little shove over the top. We
20 just didn't seem to have the horsepower that we needed; the rail
21 was wet.

22 So they came down, and we had a discussion about tacking it
23 on the head end of the -- or the rear of that train on main track
24 2. And we determined that because of the hazmat that was on the
25 rear of that train on main track 2, we couldn't shove against it

1 with a man-helper. So we ended up coming against the head end of
2 that train and then just coupled into it. Made the appropriate
3 power and axle adjustments on it, and then we were -- we had just
4 started to pull when one of the units dropped its load and we had
5 broke a knuckle on a unit while trying to get it started.

6 So we were in the process of tying things back down and
7 changing that knuckle out when the unsecured equipment call came
8 out. At that time I was in my pickup just across the track. At
9 that time the train -- the eastbounder was coming by at the same
10 time, so we were on the radio making sure everybody was getting in
11 the clear. And there were several conversations going between all
12 different crews out there. We had a Granite crew, the crew on
13 main track 2 that was stalled, and then you had the eastbound
14 crew. So all of these conversations -- I'm not sure who was
15 saying what, but there was quite a bit of dialogue about stopping
16 trains, getting in the clear. And that's what was taking place at
17 that time.

18 At that time I heard a -- I believe the -- I believe it was
19 the dispatcher giving the runaway or the unsecured equipment call:
20 Emergency, emergency, emergency; unsecured equipment, milepost --
21 I thought he said 520 -- or, excuse me -- 530 first. And then
22 there was a second call about 2 minutes later, maybe a minute and
23 a half. I don't know. Time was hard to tell out there, and
24 trying to recall it is almost impossible right now for me. But it
25 was somewhere in -- I don't think it exceeded 2 minutes, there was

1 a second callout for unsecured equipment milepost 528: Emergency,
2 emergency, emergency; all personnel get in the clear.

3 And so, the train on main track 1 that was eastbound had
4 stopped. That crew was talking to the other crew members that
5 were working over on main track 2, and everybody was cross-
6 checking with each other. At that time I took my pickup and I was
7 heading west along the right-of-way road up to milepost -- I got
8 as far as milepost 5- -- probably 527, maybe 527 and a quarter.
9 And there was a huge dust cloud up there, and there was equipment
10 on the right-of-way road. So --

11 I didn't hear impact. I didn't see anything until I got up
12 there, because I was kind of -- it was dark at that time, or right
13 at dusk that -- kind of that real dark portion of dusk. You could
14 still see the silhouette, but you can't see any real distance.

15 So that's kind of what I heard. I heard no -- we heard no
16 radio communication from the train or the equipment. We weren't
17 sure what had happened. The first discussions we were having on
18 the radio were possibly cars that had rolled out from the quarry
19 up there. Maybe something had happened with those cars that are
20 tied down up there, because it was just a callout for unsecured
21 equipment. And then later on I had my CAD screen up on my phone,
22 which basically shows the dispatcher layout, and I saw the GR was
23 up in that area. So then I knew it was an actual train that had
24 come in behind there, and saw the equipment. So --

25 Q. Okay. All right. Thank you. Let's shift now and talk more

1 of your supervisory responsibilities.

2 A. Okay.

3 Q. And go ahead and explain those.

4 A. So title is manager of operating practices, which we're in
5 charge of safety, which includes compliance for the locomotive
6 engineers, the Class 1 engineers: certifications, performance,
7 those types of duties; making sure their licenses are current, in
8 good standing, that their train handling skills are consistent
9 with Union Pacific expectations and the FRA.

10 Q. Are you assigned a specific number of engineers?

11 A. Yes, sir.

12 Q. How many do you have?

13 A. I believe right now I've got 32.

14 Q. Okay. And do they work all directions out of Cheyenne?

15 A. No. They work -- the way that the districts are divided up,
16 every crew out of Cheyenne assigned to my area works west.

17 Q. Okay. So you have from Cheyenne to where?

18 A. Green River, basically.

19 Q. Green River?

20 A. Yeah. But the primary assignments that I have are engineers
21 that are based in Cheyenne, part of the fifth and sixth districts
22 for Union Pacific.

23 Q. Okay. And there was an earlier discussion, that pool is
24 actually -- has an intermediate point as well, right?

25 A. So there's two pools. I'll refer to the slang names for

1 each. It's a short pool and a long pool. The short pool is the
2 pool that runs from Cheyenne to Rawlins, Wyoming; would be 510 to
3 683. And then the other pool is the long pool, which will run
4 from Cheyenne to Green River; 510 to 817.

5 Q. Okay. And why are there two pools?

6 A. I don't know if it's agreement or if it was something that
7 was agreed upon through the unions. I believe that's what it was.

8 UNIDENTIFIED SPEAKER: Might be the amount of speed, yeah.

9 MR. ELLEFSON: Okay, yeah. It was -- I'm not sure.

10 BY MR. TURPIN:

11 Q. Well, somebody mentioned type of train has to do with it as
12 well.

13 A. Yeah, it -- the trains that run on the long pool are
14 typically your -- classification that UP uses is Z train, K train,
15 I train. It's the intermodal-type trains, the faster trains. And
16 then the --

17 Q. Higher priority?

18 A. Higher priority. Correct. Because they can -- their speed,
19 the number of miles, the crew usage, it just makes sense to run
20 those through that long pool. They will from time to time get an
21 empty soda ash train or an empty grain train, if something's
22 moving in that direction, you know, east or west, to expedite
23 that. There's some speed involved with it. So they're kind of
24 the, they're kind of the fast carrier side of it.

25 And then you have the heavier freight trains, the slower

1 moving. They usually typically fall under that short pool group
2 that does a crew change in Rawlins.

3 Q. Okay. So let's talk now the -- specifically about this
4 locomotive engineer that was in the striking train. Do you recall
5 the last time you rode with him?

6 A. June 4th.

7 Q. And from where to where?

8 A. We went to Laramie and took the train back towards Cheyenne.

9 Q. You vanned over and you brought it back?

10 A. Yeah. Yeah, correct. Yep. That's correct.

11 MR. FRANSEN: So Laramie to Cheyenne is the actual --

12 MR. ELLEFSON: Correct. The actual -- I think the mileage I
13 put down was either 566 to 510 or 565 to 510, was the actual
14 miles.

15 MR. FRANSEN: Sorry.

16 MR. TURPIN: No, you just say -- the transcriber won't
17 recognize who it was.

18 MR. FRANSEN: Yeah, I'm sorry to interrupt.

19 MR. TURPIN: Just say your name. That's all right.

20 MR. FRANSEN: Brian Fransen. Sorry about that.

21 MR. TURPIN: That's fine.

22 BY MR. TURPIN:

23 Q. All right. So you were picking up a parked train or an hours
24 of service train?

25 A. Yeah, we picked up a -- we stopped a train in Laramie and

1 then got on board and changed out the -- the engineer took another
2 seat and then Jason ran.

3 Q. Okay. How'd he do?

4 A. Excellent.

5 Q. How big a train?

6 A. I'd have to pull the specifics on it. I don't have it in
7 front of me.

8 Q. Was it comparable to the accident train?

9 A. I would hate to even speculate on that. It was a K train. I
10 remember that. A K train is kind of a lower priority intermodal.
11 A little larger. I believe I've got my ride book with me. If you
12 want to pull that information, I can give it to you.

13 Q. We may ask for it afterwards.

14 A. Okay.

15 Q. So we're dealing with -- the two trains in this accident, one
16 of them was 12,000; one of them 13,000. Is that pretty much the
17 norm on the tonnage now for the mixed brake?

18 A. Again, this is just observation. I haven't, like, sat down
19 and calculated average train sizes or average weights. But they
20 are large and they are heavy, and I would say that that is a
21 pretty comparable train for an average.

22 Q. Okay. What's the biggest you've seen out here?

23 A. 12,000 feet, and I've seen some around 18-, 19,000 ton.

24 Q. For the 12 and the 13 that was involved in this accident,
25 both of them are basically equipped with three locomotives. One

1 of them, they opted to keep on the point and the other a DPU. Do
2 you know why they make that decision?

3 A. Which train are you speaking to?

4 Q. Well, the strike -- the struck train had a DPU.

5 A. It did, mid-train.

6 Q. Mid-train. What makes that decision?

7 A. I'm not sure who made that decision, who did the train
8 makeup. I think that train came out of Pocatello, I think. It
9 was a PCNP. So it would have been -- that determination either
10 would have been done at the terminal or en route, if they did some
11 car movement. I don't know if there was any cars added to that
12 train. Typically that distributed power is added for a couple
13 purposes: one, additional braking power, and then for coupler
14 strength, if they need any kind of grade. So --

15 Q. All right. So the striking train, though, everything was up
16 on the head end. That decision would have been made, what, at
17 Green River?

18 A. That's where that train originated. I'm not sure if it had
19 work at Rawlins or not. Sometimes that train does work at
20 Rawlins. It'll pick up some cars there from the local, and then
21 it does work at Laramie, usually two, maybe sometimes three times
22 a week.

23 Q. Does the -- do the Green River trains often have everything
24 on the head end, or do they use the DPUs too?

25 A. Most common. Yeah, that's the most common train you see with

1 them. I don't recall seeing a DP on a GRCY, a Green River train.

2 Q. Okay. All right.

3 A. It typically comes in conventional. Just two or three,
4 possibly four, units by FRED, you know, the EOT on the back.

5 So --

6 Q. Okay. That's good. How many times can you recall that you'd
7 actually been with this engineer, or ridden with the engineer?

8 A. That was the first time. Yeah.

9 Q. Oh, and no previous?

10 A. No. Uh-uh.

11 Q. Okay. How long has he been working on this territory?

12 A. I would have to look back on his work history. I'm not sure.
13 I'm thinking he was an engineer for at least 3 years, possibly
14 longer.

15 Q. What prompted the check ride?

16 A. It was his certification ride. His recert, his annual.

17 Q. The annual or the 3-year?

18 A. Or 3-year -- 3-year. Yeah.

19 Q. When you do the annuals, I mean, what do you -- do you call
20 them a check ride too, or you call them something different?

21 A. It's an annual event. Yeah. And then we'll monitor that.

22 We do a cert --

23 Q. And then the 3-year, you actually do call it check ride?

24 A. Yeah, you do a cert ride. Yeah.

25 Q. Okay. All right. Thirty-two engineers. Is that a handful

1 or just right?

2 A. It's pretty manageable, I think. Yeah.

3 Q. So where was your seniority?

4 A. Denver, Colorado.

5 Q. Out of Denver?

6 A. Yeah.

7 Q. How long you been here?

8 A. In Cheyenne?

9 Q. Um-hum.

10 A. I took -- accepted the position in November of '17, late
11 November '17. I really didn't get qualified to the position until
12 -- I think it was the first or second week of January this year.

13 Had to go through a DSLE class and a few other courses. So --

14 MR. TURPIN: And I think I'll go around the room now. John?

15 MR. ALLBERRY: I don't have anything.

16 BY MR. FRANSEN:

17 Q. So this is your first job in management?

18 A. No.

19 Q. Brian Fransen. Sorry.

20 A. No, not my first job. I was in technical training.

21 Q. Oh, okay.

22 A. So I did RCO, new-hire conductor. Taught all the curriculum
23 for the railroad for about 7½ years prior to that.

24 Q. And you don't have any idea why trains, specifically Green
25 River trains, that are made up are not DP'd to come over Sherman

1 Hill or anything?

2 A. I do not, no.

3 Q. Is there a guy -- a MOP, an M-O-P, in Green River also?

4 A. There's two.

5 Q. There's two?

6 A. Yeah.

7 Q. Some management there --

8 A. Yes.

9 Q. -- that will maybe know why? I'm just curious why they're
10 never DP'd if they're that big a train.

11 A. Yeah, I --

12 Q. Why do you think that would be --

13 A. Yeah, I couldn't answer that.

14 UNIDENTIFIED SPEAKER: Coupler strength.

15 MR. FRANSEN: It's a really big train to be conventional over
16 a hill like that.

17 MR. ELLEFSON: I think it's -- yeah.

18 UNIDENTIFIED SPEAKER: Yeah. Coupler strength. Tonnage.

19 MR. FRANSEN: That's the only questions that I had.

20 MR. McDANIEL: Korey McDaniel, SMART TD.

21 BY MR. McDANIEL:

22 Q. My question is about training for the engineers on mountain
23 grade. Do you know how long they have to run on mountain grade
24 and how often they have to run on mountain grade to be qualified?

25 A. Are you talking about the FIT portion or --

1 Q. Well, the engineer -- let me ask it two ways. Do you know
2 how many runs they have to do as a student engineer to be
3 qualified in mountain grade? And then how often --

4 A. I can speak to that territory. The standard that I
5 understand right now is 60 trips.

6 Q. Sixty trips?

7 A. Yeah.

8 Q. And then, if you don't run on it -- let's say you work in
9 different territory or work a different craft or something and you
10 come back to that territory, mountain grade territory, how many
11 qualifying runs do they have to get to be requalified?

12 A. You would do some pretraining and then do a performance ride
13 and check that -- or they'd do a check ride on that person.

14 Q. Do you know how many runs they have to get?

15 A. I think it would depend on the -- you know, you try to work
16 that out with the individual, what their skill set was, prior
17 experience. And then kind of evaluate that against, you know, how
18 long they've been away from that territory.

19 But the whole plan is to make sure -- and we all take that
20 grade seriously around here. It's to make sure that they do get
21 adequate trips, training, get cut in, and then we do an
22 observation ride and try and get a cert ride in after that to get
23 them recertified.

24 Q. Do you know if there was a situation with Jason, if there was
25 -- if he had to be requalified on mountain grade?

1 A. I do not. Not specifically, no.

2 MR. McDANIEL: Okay. Thank you.

3 UNIDENTIFIED SPEAKER: I have no questions.

4 MR. TURPIN: Don?

5 MR. MAI: I don't have any right now.

6 BY MR. TURPIN:

7 Q. So had this engineer been operating the entire time since
8 you've been a supervisor here in January?

9 A. Yes, sir. Yes.

10 Q. Okay. Sixty trips -- roundtrips?

11 A. Yeah.

12 Q. Or 31 --

13 A. Yeah, it'd be 60 rounds. Yes.

14 Q. Sixty round trips?

15 A. Yeah.

16 Q. Okay. And those are with -- assisted; they're with somebody?

17 A. With a Class 1 engineer, correct.

18 Q. On the requalify, do they sometimes call you and say, I'm
19 ready?

20 A. That's for the initial qualification of 60.

21 Q. Right. And then on the requal, do they call you and say
22 they're ready? Or do you just --

23 A. Well, we talk to somebody they've ridden with. We try to set
24 them up with an engineer and then talk to that person that they've
25 been running with, you know, kind of get some feedback on the

1 individual. Balance that between the feedback from the engineer
2 that they've been with and then, you know, kind of where -- kind
3 of what they -- where they're at, and then go evaluate it.

4 Now I will say this, that when we do any kind of a
5 qualification ride, that train has to exceed 4,000, 4500. We
6 don't allow them to qualify on a real light --

7 UNIDENTIFIED SPEAKER: Z train.

8 MR. ELLEFSON: Yeah, kind of --

9 MR. TURPIN: Light engine?

10 MR. ELLEFSON: Yep. That just does not -- yeah. That is not
11 a qualifying run. It's got to -- you know, we want them at 4- to
12 5,000-ton, something that's going to test that skill level.

13 MR. TURPIN: Okay. Go ahead.

14 MR. SMITH: Carl Smith. Do you have any specifications, Jon,
15 for heavy trains? Do they have to have -- handle so many 12,000,
16 14,000, 18,000-ton trains? Is that in there?

17 MR. ELLEFSON: Not that I'm aware of, no.

18 MR. SMITH: Okay.

19 BY MR. FRANSEN:

20 Q. Brian Fransen. So if -- in this situation like what Mr.
21 Powell was talking about there, if he's -- let's say for 8 months
22 he's an engineer, and then he gets put back, you know, or he's a
23 conductor for 7 months, then he's back -- set up as an engineer.
24 Does he have to do anything before he's set up, or does he remain
25 qualified as long as he keeps running over this territory?

1 A. He'll remain qualified technically, right? But the thing
2 that we like to do is have him take another familiarization trip
3 before they mark up.

4 Q. Okay. But he can take that option --

5 A. Yes.

6 Q. -- doing that?

7 A. Yep.

8 Q. And you say Jason had remained marked up as an engineer this
9 -- for the last 4 years or 2 years or something like that?

10 A. I couldn't say specifically, but I think he's been set up for
11 3 years now. And I'm not -- I don't know if there were setbacks
12 or not. I just don't have his full work history.

13 MR. FRANSEN: All right.

14 MR. ALLBERRY: Ted, I got one. John Allberry.

15 BY MR. ALLBERRY:

16 Q. Jon, Jason was qualified on the territory?

17 A. Yes.

18 Q. And with you as his supervisor for whatever it's been, 10
19 months, good engineer to your --

20 A. Excellent engineer.

21 MR. TURPIN: On a 1 to 10?

22 MR. ELLEFSON: Nine and a half. There is no ten. Well --

23 MR. TURPIN: Ted Turpin. And had you ever got any feedback
24 from other crew members?

25 MR. ELLEFSON: I will say this, and I, and -- everyone -- I

1 did not know him. That was kind of the beauty of this whole
2 situation, looking back on it now. Brian Tooley was my mentor.
3 Been an MOP here, I think, 13, 14 years. He knows these folks.
4 He knows this territory better than anyone. He didn't say a word.
5 He says, you need to go Jason's cert ride. I said, okay. So I
6 went out and did Jason's cert ride.

7 And when I got back, he said, how did he do? And I said,
8 Brian, I don't know if I missed something, but I don't think so.
9 I said, I watched him on every move. I said, I have never seen a
10 person handle a train so well in my life. His skill set, his
11 throttle modulation, air dynamic braking, understanding of the
12 rules, everything, was flawless. His reputation among his peers,
13 and I encourage -- and I'm sure you will, talk to a lot of folks.
14 I think you'll hear that same consistent message with all the
15 folks.

16 MR. TURPIN: Yeah.

17 MR. MAI: Don Mai, FRA.

18 BY MR. MAI:

19 Q. Quick question on his work history. Being bounced back and
20 forth from conductor to engineer, can you talk on that?

21 A. I don't really have a lot of it in front of me. I could try
22 and answer it.

23 Q. And the reason I ask, it looks like in 2018 he was -- seven
24 times he was set back as a conductor, if I'm reading this
25 correctly.

1 A. In 2018? I'm not sure about that. He's been running since
2 I've been here, I believe.

3 Q. Okay. Am I reading that correctly on his work history there?
4 Looks like he worked as a conductor in September sometime?

5 A. Of this -- no, I don't think so. I mean, I'll double-check
6 this, but I -- yeah, I don't know about -- I don't know if that's
7 accurate. I don't know how that -- what that printout from EQMS,
8 you know, is accurate --

9 Q. And the only reason I ask the question, I just wondered about
10 -- you know, I'm an engineer one day and next month, for the next
11 month, I'm a conductor. Now I go back -- now I'm an engineer for
12 3 days, I'm set back up. And then I get bumped again because --

13 MR. TURPIN: Right. But you said Jason has been an engineer
14 since you got here, Jon?

15 MR. ELLEFSON: Yes, sir.

16 MR. TURPIN: Okay.

17 BY MR. TURPIN:

18 Q. So efficiency testing. Just kind of an overview, or
19 operational testing with -- by the FRA.

20 A. Sure.

21 Q. Your FTX program -- is that what it is?

22 A. Yes, sir.

23 Q. Yeah. You have a minimum requirement?

24 A. Yes, we do. Right now it's 26 structured tests per month.

25 Q. And a structured test is qualified by --

1 A. Something that changed the environment. We change the
2 environment for the employee.

3 Q. Okay. It's more of an active kind of test than it is
4 passive?

5 A. Correct. Yeah, I would call it a proactive. Yeah.

6 Q. So listening to somebody blow a horn would be non-structured?

7 A. Yeah, it'd be --

8 Q. Setting a red signal?

9 A. That's structured. Yeah.

10 Q. Okay. And you have 20.

11 A. Twenty-six.

12 Q. Twenty-six.

13 A. Yeah.

14 Q. Any problem maintaining your numbers?

15 A. Have not. No. I can see several months, so -- on that.

16 Q. Okay. When's the last time you tested on the grade?

17 A. A week ago.

18 Q. What were you doing?

19 A. Stop tests. 519. And if you look back at my record, which
20 I'm sure you will, there's going to be -- you're going to see a
21 lot of testing at that location. 519 is right at the base of that
22 grade, and it -- I will say this. It irritates some of the crew
23 that we test there because, one, they're almost home. The second
24 part of it is coming down there and maintaining that PTC through
25 those intermediates and that control point down there at the base.

1 And when I explain why I'm doing it, they fully understand. So --

2 Q. Good. How long has PTC been in effect?

3 A. It was in place when I arrived here. So --

4 Q. Yeah. Okay.

5 MR. TURPIN: I think I don't -- I'm done.

6 MR. ALLBERRY: I don't have anything.

7 BY MR. SMITH:

8 Q. Hey, Jon. Carl Smith. Jon, as an MOP manager of operating
9 practices, have you had any concerns from anybody in Cheyenne
10 about the weight that -- the weight of the trains and the length
11 of the trains?

12 A. Yes. Yeah.

13 Q. Often? Irregular? Disgruntled? Where would you classify
14 that?

15 A. I wouldn't say often, but there have been concerns. And
16 typically it evolves around as the weather changes, for the air.
17 And so there's been some concerns about the length and -- but, I
18 mean, I wouldn't say it's chronic. I think that they've -- they
19 manage it. They do actually pretty well with it, so -- but yeah,
20 there's been some concerns that -- yeah.

21 MR. McDANIEL: Korey McDaniel. I got some follow-up
22 questions to that. How about the communication with FRED because
23 of the length of the trains in that territory? Have you heard any
24 loss of com or --

25 MR. ELLEFSON: We've had some, yeah. But nothing, I don't

1 think, extraordinary. I mean, that I'm aware of, anyway. You
2 know, I'm just going off the calls that I get and respond to, the
3 feedback I get, so it's not a -- you know, I'm not tracking it, so
4 -- but I wouldn't say it's any more than normal. Typically if it
5 exceeds -- you know, they've got a repeater in there to help with
6 that.

7 MR. SMITH: So -- Carl Smith.

8 BY MR. SMITH:

9 Q. So there is a repeater. And you said not any more than
10 normal. What would be normal --

11 A. I think we're, I think we're looking --

12 Q. -- loss of the EOT?

13 A. What's that?

14 Q. I said what would be the normal --

15 A. Oh, you start getting beyond 8500 feet, then you start
16 getting some -- you get possible issues.

17 Q. Daily? Monthly? Weekly?

18 A. I would hate to pin it down. I really can't be more
19 specific.

20 Q. And there is a repeater?

21 A. Well, there is -- they're available, yeah, if you start
22 exceeding that.

23 Q. Okay. I guess -- switchman here. Explain to me the EOT
24 repeater, if you could, please. I haven't dealt with it.

25 A. Well, it's a DP repeater.

1 Q. Okay. So it would be --

2 A. Yeah.

3 Q. So a train without a DP wouldn't have --

4 A. Right. It would be a repeater and then the DP --

5 Q. Right.

6 A. -- yeah, EOT. Yeah.

7 Q. Okay. All right. That's on that. So the train that was the
8 struck train would've had a DP repeater, correct? But a
9 conventional one wouldn't?

10 A. No, it didn't need a repeater because the DP wasn't far
11 enough back on that one. I don't believe. I'd have to look at
12 the list, but I don't think it exceeded that.

13 Q. But a conventional train does not have any kind of repeater,
14 correct?

15 A. No. No, sir.

16 MR. SMITH: Thank you.

17 MR. TURPIN: Okay. All right, Ted Turpin.

18 BY MR. TURPIN:

19 Q. I actually -- one more, or a couple more. Earlier the
20 engineer gave an interview, and he said that there are guidelines
21 as to basically when you're in trouble. If you're 5 miles an hour
22 over the speed, you have to take action, or if you're exceeding
23 18-pound reduction in the brake pipe.

24 A. Correct.

25 Q. Have either one of those circumstances occurred while you've

1 been here? Has an engineer called you up and said, I needed to
2 stop the train, or you've heard of that or --

3 A. No. No, sir. Not that I'm aware.

4 Q. Nobody's exceeded the 5 over or exceeded the 18?

5 A. Not that I'm aware of. No.

6 Q. Okay. Do you have the event recorder read out -- is it read
7 out by a program for UP?

8 A. The LDARs?

9 Q. Yeah. Is the event recorder data read out automatically, and
10 send you flags on if somebody's exceeded speed and so on?

11 A. Sorry. I'm assuming you're asking do we get notifications?

12 Q. Yes.

13 A. Okay. The notifications go to the PTC manager.

14 Q. Okay.

15 A. Yeah.

16 Q. Of exceptions on the train?

17 A. Yeah. The exceptions that I get through my queue is
18 emergency applications, UDEs, and break-in-twos.

19 Q. And they come by what? Text message now or --

20 A. They come through the system, through the EQMS system.

21 Q. And so if a guy -- if someone exceeded 5 miles an hour over
22 the established speed and brought the train to a stop, you
23 wouldn't get a flash message on that?

24 A. The PTC system would notify on that.

25 Q. If it had tripped a parameter within the PTC system?

1 A. Correct.

2 Q. Okay. Okay. I got you. All right.

3 A. Now we do random reads every month on certain numbers of
4 engineers who are going through -- I'm going to use the term
5 tapes. We're going through the downloads looking for that
6 specific activity.

7 Q. Okay. See if somebody runs hot too much?

8 A. Correct. Yeah, as part of our process for compliance.

9 Q. All right. Just curiosity. You actually broke the knuckle
10 on the locomotive, on the westbound?

11 A. Yeah. 13,000 ton.

12 Q. Yeah. Right at the back -- the rear locomotive? It wasn't
13 in the middle of the consist, right?

14 A. No. No.

15 Q. Okay.

16 A. Yeah, it was an F.

17 MR. TURPIN: Ow. All right. Anybody else?

18 MR. ELLEFSON: But it happened because of the drop load on
19 one of the ACs.

20 MR. TURPIN: Right.

21 MR. ELLEFSON: So it caused a lunge and then it snapped.

22 So --

23 MR. TURPIN: No, that --

24 MR. ELLEFSON: It wasn't for train handling or mishandling.

25 It was just --

1 MR. TURPIN: No, no, no, I understood that. But -- yeah.

2 MR. ELLEFSON: -- the equipment was having some issues and we
3 were just trying to get it moving.

4 MR. TURPIN: Yeah, when the engines fell down. Yep.

5 MR. ELLEFSON: Right.

6 MR. TURPIN: Yeah.

7 MR. FRANSEN: So I guess I got a quick question.

8 BY MR. FRANSEN:

9 Q. So you were the first person there, basically, correct?

10 A. Well, I happened to be out there helping that train on main
11 track 2 where these other eastbounders were getting -- coming
12 around or coming at us. So yeah, I was out there assisting on
13 that --

14 Q. I mean after the collision, I think you stated you drove up
15 the road and you saw the cars on the track?

16 A. I drove up the road, yeah, not really knowing what had
17 happened. Because of the position where I was at, the curvature
18 of the track, I couldn't really see up on the hill. So I drove up
19 there to get a better view, and that's when I saw the dust and
20 then the cars laying there. So I don't know if I was the exactly
21 first person, but I'm pretty sure I was the first person in the
22 area.

23 Q. So what did you do? Did you call dispatch?

24 A. I contacted the corridor manager immediately. Yeah.

25 Q. 911?

1 A. He took care of the RMCC, correct. And we got emergency
2 personnel out there, yeah.

3 MR. TURPIN: Don? All right. Everybody done?

4 All right. Get these things shut off. Thank you.

5 Oh, I'm sorry. Unless you got something else you want to
6 add?

7 MR. ELLEFSON: No.

8 (Whereupon, the interview was concluded.)

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

CERTIFICATE

This is to certify that the attached proceeding before the
NATIONAL TRANSPORTATION SAFETY BOARD

IN THE MATTER OF: UNION PACIFIC RAILROAD COLLISION
 GRANITE CANYON, WYOMING
 OCTOBER 4, 2018
 Interview of: Jon Ellefson

ACCIDENT NO.: RRD19FR001

PLACE: Cheyenne, Wyoming

DATE: October 6, 2018

was held according to the record, and that this is the original,
complete, true and accurate transcript which has been transcribed
to the best of my skill and ability.


Ei
Transcriber