

UNITED STATES OF AMERICA

NATIONAL TRANSPORTATION SAFETY BOARD

* * * * *

In the matter of: *

*

MARINE BOARD OF INVESTIGATION *

INTO THE SINKING OF THE *SCANDIES ROSE* *

ON DECEMBER 31, 2019 *

*

* * * * *

Edmonds Center for the Arts
Seattle, Washington

Friday,
March 5, 2021

APPEARANCES:

Marine Board of Investigation

CAPT GREGORY CALLAGHAN, Chairman
CDR KAREN DENNY, Member
LCDR MICHAEL COMERFORD, Member

Technical Advisors

LT SHARYL PELS, Attorney Advisor
KEITH FAWCETT, Technical Advisor

National Transportation Safety Board

BARTON BARNUM, Investigator in Charge
PAUL SUFFERN, Meteorologist

Parties in Interest

MICHAEL BARCOTT, Esq.
Holmes Weddle & Barcott
(On behalf of Scandies Rose Fishing Company, LLC)

NIGEL STACEY, Esq.
Stacey & Jacobsen PLC
(On behalf of survivors Dean Gribble and John Lawler)

Also Present

LT IAN McPHILLIPS, Recorder

I N D E X

<u>ITEM</u>	<u>PAGE</u>
Opening Remarks - Gregory Callaghan, Chairman	1814
Opening Remarks - Barton Barnum, NTSB	1818
Examination of CDR Baxter Smoak:	
By CAPT Callaghan	1822
By Mr. Barnum	1846
By Mr. Stacey	1848
Closing Remarks - Barton Barnum, NTSB	1852
Closing Remarks - Nigel Stacey, PII	1853
Closing Remarks - Michael Barcott, PII	1855
Closing Remarks - Gregory Callaghan, Chairman	1868

P R O C E E D I N G S

(8:00 a.m.)

1
2
3 CAPT CALLAGHAN: It is 0800 on March 5, 2021, and this
4 hearing is now in session. Good morning, ladies and gentlemen.
5 I'm Captain Greg Callaghan, United States Coast Guard Chief of
6 Prevention for the 11th Coast Guard District. I'm the chairman of
7 this Coast Guard Marine Board of Investigation, and the presiding
8 officer over these proceedings.

9 The Marine Board has established a COVID mitigation plan to
10 comply with federal, state, and local requirements. As a result,
11 no members of the public will be permitted to be at this hearing
12 in person. The Board will receive witness testimony through a
13 hybrid of in-person, virtual, and telephonic means. The members
14 of the Board have been spaced out far enough at the main table to
15 remove their masks while seated, to maximize clarity and minimize
16 disruption. Members are to place masks back on at any time when
17 leaving the table, and whenever approached by another person. I
18 would ask that anyone who is unable to maintain social distancing
19 please keep their masks on, unless actively speaking into their
20 microphones.

21 Due to the extensive technology used to support this hearing,
22 and the potential for unanticipated delays or challenges, I ask
23 that you please be patient with us in the event of any disruption.

24 The Commandant of the Coast Guard has convened this Board
25 under the Authority of Title 46 U.S.C. Section 6301 and Title 46

1 C.F.R. Part 4 to investigate the circumstances surrounding the
2 sinking of the commercial fishing vessel *Scandies Rose*, with the
3 loss of five lives, on December 31, 2019, while transiting in the
4 vicinity of Sutwik Island, Alaska. There were two survivors.

5 I'd like to take this opportunity to express my condolences
6 to the family and friends of the five crew members who were lost
7 at sea. I note that many of you are watching this hearing on
8 livestream due to the COVID restrictions in place, and we
9 appreciate your being with us.

10 Upon completion of the investigation, this Marine Board will
11 submit its report of findings, conclusions, and recommendations to
12 the Commandant of the United States Coast Guard. Other than
13 myself, the members of this Board include Commander Karen Denny
14 and Lieutenant Commander Michael Comerford. The legal counsel to
15 this Board is Lieutenant Sharyl Pels. The recorder is Lieutenant
16 Ian McPhillips. Coast Guard technical advisors to this Board are
17 Mr. Scott Giard and Mr. Keith Fawcett. The Board's media liaison
18 is Lieutenant Commander Scott McCann.

19 The National Transportation Safety Board is also
20 participating in this hearing. Mr. Bart Barnum, Investigator in
21 Charge for the NTSB *Scandies Rose* investigation, is here with us.

22 Witnesses are appearing before the Board to provide valuable
23 information that will assist this investigation. We request that
24 all members of the public be courteous to the witnesses and
25 respect their right to privacy.

1 The members of the press are welcome to attend virtually, and
2 provisions have been made during these proceedings to allow the
3 media to do so. The news media may question witnesses concerning
4 the testimony they have given after I have released them from
5 these proceedings. I ask that any such interviews be conducted
6 with full consideration of the COVID mitigation procedures that
7 the Marine Board has established.

8 The investigation will determine as closely as possible the
9 factors that contributed to the incident so that proper
10 recommendations for the prevention of similar casualties may be
11 made; whether it's evidence that any act of misconduct,
12 inattention to duty, negligence, or willful violation of law on
13 the part of any licensed or credentialed person contributed to
14 this casualty; and whether there is evidence that any Coast Guard
15 personnel or any representative or employee of any other
16 government agency or any other person caused or contributed to the
17 casualty.

18 The Marine Board convened this hearing to examine all events
19 relating to the loss of the *Scandies Rose* and five crew members.
20 This hearing has explored crew member data and qualifications,
21 shore side support operations, vessel stability, weather factors,
22 effects of icing, safety equipment, the operations of the vessel
23 from the past up to and including the accident voyage, and survey
24 imagery of the vessel in its final resting place. The hearing
25 also included a review of industry and regulatory safety programs,

1 as well as the Coast Guard Search and Rescue activities related to
2 the response phase of the accident, after notification that the
3 *Scandies Rose* was in distress.

4 The Coast Guard has designated parties in interest to this
5 investigation. In Coast Guard marine casualty investigations, a
6 party in interest is an individual, organization, or other entity
7 that under the existing evidence or because of his or her position
8 may have been responsible for or contributed to the casualty. A
9 party in interest may also be an individual, organization, or
10 other entity having a direct interest in the investigation in
11 demonstrating the potential for contributing significantly to the
12 completeness of the investigation or otherwise enhancing the
13 safety of life and property at sea through participation as a
14 party in interest.

15 All parties in interest have a statutory right to employ
16 counsel to represent them, to cross-examine witnesses, and have
17 witnesses called on their behalf. Witnesses who are not
18 designated as parties in interest may be assisted by counsel for
19 the purpose of advising them concerning their rights. However,
20 such counsel are not permitted to examine or cross-examine other
21 witnesses or otherwise participate in the investigation.

22 I will now read the list of those organizations and
23 individuals whom I have previously designated as parties in
24 interest. *Scandies Rose Fishing Company, LLC*, represented by
25 counsel here with us today; crewpersons Mr. Dean Gribble and

1 Mr. John Lawler, represented by counsel appearing virtual today;
2 Mr. Bruce Culver, not present at this time.

3 The Marine Board will place all witnesses under oath. When
4 testifying under oath, the witness is subject to the federal laws
5 and penalties for perjury for making false statements under Title
6 18 U.S.C. Section 1001. Penalties could include a fine of up to
7 \$250,000 or imprisonment up to five years or both.

8 The sources of information to which this investigation will
9 inquire are many and varied. Since the date of the casualty, the
10 NTSB and Coast Guard have conducted substantial evidence
11 collection activities, and some of that previously collected
12 evidence will be considered during these hearings. Should any
13 person have or believe he or she has information not brought forth
14 but which might be of direct significance, that person is urged to
15 bring that information to my attention by emailing
16 uscg.scandiesrosembi@gmail.com. This email address will be
17 continuously monitored throughout the proceedings.

18 Mr. Barnum will now say a few words on behalf of the NTSB.

19 MR. BARNUM: Good morning. I am Bart Barnum, Investigator in
20 Charge for the National Transportation Safety Board's
21 investigation of this accident. The Safety Board is an
22 independent federal agency which under the Independent Safety
23 Board Act of 1974 is required to determine the cause or probable
24 cause of this accident, to issue a report of the facts,
25 conditions, and circumstances related to it, and to make safety

1 recommendations for measures to prevent similar accidents.

2 The NTSB has joined this hearing to avoid duplicating the
3 development of facts. Nevertheless, I do wish to point out this
4 does not preclude the NTSB from developing additional information
5 separately from this proceeding if that becomes necessary.

6 At the conclusion of the hearing, the NTSB will analyze the
7 facts of this accident and determine the probable cause,
8 independent of the Coast Guard. At a future date, a separate
9 report of the NTSB's findings will be issued, which will include
10 our official determination of the probable cause of this accident.
11 If appropriate, the Safety Board will issue recommendations to
12 correct safety problems discovered during this investigation.
13 These recommendations may be made in advance of the report.

14 In addition, on behalf of the NTSB, I would like to offer my
15 deepest condolences for the families and those affected by this
16 tragic accident. Thank you.

17 CAPT CALLAGHAN: Thank you, Mr. Barnum.

18 Today we will hear from the representative from the Coast
19 Guard Office of Investigations and Analysis, followed by closing
20 statements from parties in interest, the National Transportation
21 Safety Board, and the Marine Board. At this time, we will now go
22 to recess and resume at 0815.

23 (Off the record at 8:07 a.m.)

24 (On the record at 8:15 a.m.)

25 CAPT CALLAGHAN: The time now is 0815. This hearing is now

1 back in session. We'll now hear from Commander Baxter Smoak from
2 Coast Guard Office of Investigations and Analysis.

3 Commander Smoak, Lieutenant McPhillips will now administer
4 the oath and ask you a few preliminary questions.

5 Lieutenant McPhillips?

6 LT McPHILLIPS: Good morning, Commander. Please stand and
7 raise your right hand.

8 (Whereupon,

9 CDR BAXTER SMOAK

10 was called as a witness and, after being first duly sworn, was
11 examined and testified as follows:)

12 LT McPHILLIPS: Thank you. Please be seated. Please state
13 your full name and spell the last name.

14 THE WITNESS: My name is Baxter Smoak. Last name spelled
15 S-m-o-a-k.

16 LT McPHILLIPS: Please identify counsel or representative, if
17 present.

18 THE WITNESS: Lieutenant Commander Matthew Pecoske is my
19 legal counsel.

20 LT McPHILLIPS: Counsel, please state and spell your last
21 name, as well as your firm or company relationship.

22 LCDR PEKOSKE: Lieutenant Commander Matthew Pecoske.
23 P-e-k-o-s-k-e. U.S. Coast Guard Judge Advocate and witness
24 counsel to Commander Baxter Smoak.

25 LT McPHILLIPS: Thank you, sir.

1 Commander Smoak, please tell us, what is your current
2 employment and position?

3 THE WITNESS: I currently work at Coast Guard headquarters,
4 in the Office of Investigation and Analysis, where I'm the chief
5 of the Compliance Analysis Division.

6 LT McPHILLIPS: What are your general responsibilities in
7 that job?

8 THE WITNESS: My staff and I are the primary providers of
9 Coast Guard marine safety data to internal and external customers.
10 We answer over 200 requests for data each year. Some are
11 relatively simple, like extractions from MISLE, while others are
12 more complex, require manual review of records, analysis, and
13 generation of reports and presentations. Our mission is to
14 deliver the information and analysis necessary to ameliorate the
15 value of, drive change to, and improve the utility of the marine
16 safety mission of the Coast Guard.

17 LT McPHILLIPS: Can you briefly tell us your relevant work
18 history?

19 THE WITNESS: Yes. I've been involved in the Coast Guard's
20 marine safety program for most of my 17 years. I served as a
21 prevention officer afloat and ashore. I have field experience as
22 a marine inspector, port safety control officer, marine
23 investigator, and marine enforcement officer. In my current
24 position, I routinely present marine safety data to industry
25 partners and other government agencies.

1 LT McPHILLIPS: What is your education relating to your
2 position?

3 THE WITNESS: I hold a Master's of Science degree and an MBA,
4 Master's of Business Administration.

5 LT McPHILLIPS: Thank you. Do you hold any professional
6 licenses or certificates related to your job?

7 THE WITNESS: No licenses, but I hold six Coast Guard marine
8 inspection qualifications, five port safety control examiner
9 qualifications, three investigating officer qualifications, and
10 I'm also certified ISO9001 quality management system unit auditor.

11 LT McPHILLIPS: Thank you, Commander. Captain Callaghan will
12 now have follow-up questions for you.

13 EXAMINATION OF CDR BAXTER SMOAK

14 BY CAPT CALLAGHAN:

15 Q. Okay. Thank you, Commander, for joining us this morning. I
16 understand you've prepared a presentation to walk us through.
17 Before we bring that presentation up, I just want to ask that you
18 try and reduce or try and eliminate the use of acronyms to the
19 best extent possible, just for the best understanding of the
20 general public.

21 In utilizing this virtual platform, you'll see, once we pull
22 that up, it will -- it should show in front of you, and Lieutenant
23 McPhillips can advance slides. When we're ready, I would just ask
24 that as you get through each slide, give us a minute to digest the
25 slides, see if we have any questions, and then we'll give you an

1 indication to move on to the next slide.

2 A. Understood.

3 Q. Lieutenant McPhillips, can you bring up Commander Smoak's
4 presentation, please? All right. We'll turn it over to you.

5 A. Thank you, and good morning, everyone. Before I begin my
6 presentation, I'd like to offer my most sincere condolences to the
7 survivors and the families that lost loved ones on the *Scandies*
8 *Rose*. In the data that I'll present and discuss, I'll be
9 referring to losses of life and injuries, and I want to impress
10 upon the group that we take our role of looking at and providing
11 this data very seriously, and understand that there are people and
12 families behind these numbers.

13 Please advance to slide number 2.

14 As I mentioned in my introduction, my staff and I support a
15 variety of internal and external stakeholders. I apologize for
16 the eye chart and all the acronyms here on this slide, but our
17 customers can most easily be broken down into four broad
18 categories: our marine based or marine related federal advisory
19 committees, quality partnerships -- which are typically chartered
20 between the Coast Guard and industry trade groups like the
21 Passenger Vessel Association or American Waterway Operators --
22 other government agencies, and then also internal Coast Guard
23 headquarters offices, as well as field units and investigating
24 entities like this marine board or, if the investigation is at the
25 field level, IOs individually.

1 Any questions? If not, please advance to slide 3.

2 Before diving into the data, I think it might be valuable to
3 quickly discuss the Coast Guard's marine investigation process and
4 the data collected and stored within Coast Guard databases.

5 Annually, the Coast Guard conducts approximately 19,000
6 preliminary investigations. This involves receiving a report of
7 an incident, collecting basic information about the incident, and
8 involved subjects, people, vessels, companies, facilities and
9 waterways, and making a determination on authority and
10 jurisdiction.

11 When a preliminary investigation reveals that a reportable
12 marine casualty per 46 C.F.R. Part 4 has, in fact, occurred, the
13 level of investigation shall be raised by the investigating
14 officer. For incidents that are reportable marine casualties,
15 there are differing levels of investigative effort based on the
16 severity of the incident.

17 Formal investigations like this are reserved for the most
18 serious incidents, from which most value can be gained. Marine
19 Boards convened by the Commandant, formal investigations convened
20 by the district commander or OCMI, Office in Charge of Marine
21 Inspection, or captain of the port fit into this category.

22 Informal investigations are less exhaustive than formal
23 investigations but include the determination and reporting of
24 causal factors of the casualty, and documenting of this
25 information within our MISLE system. Data collection activities

1 do not require much significant investigative effort, and usually
2 only consist of collecting basic factual information and entering
3 it into MISLE for future reference and analysis. Only minimum
4 follow-up is required to verify accuracy and completeness.

5 Separate from the levels of investigative effort are
6 designations of marine casualties. We have major marine
7 casualties, significant marine casualties, serious marine
8 incidents -- or often referred to as SMIs; these include incidents
9 that meet the threshold that require post-casualty drug testing
10 and alcohol testing -- and then the lowest level being a routine
11 incident. Just for a little perspective, the *Scandies Rose*
12 sinking and loss of life was a reportable marine casualty, which
13 also met the serious marine incident threshold, meaning the
14 operator would be required to conduct post-casualty chemical
15 testing for individuals deemed directly involved in the accident.

16 This incident was also determined to be a major marine
17 casualty, because the *Scandies Rose* was a mechanically propelled
18 vessel greater than 100 gross tons, and was lost at sea. This
19 requires the Coast Guard to inform the NTSB, in accordance with
20 Title 46 C.F.R. Part 4.40. On the *Scandies Rose*, it was
21 determined that the Coast Guard would lead and that the NTSB would
22 join the investigation and be a part of the Marine Board, as they
23 are today.

24 By policy, the level of investigative effort to this incident
25 was a formal investigation, because tragically it involved the

1 loss of multiple lives. Additionally, the Coast Guard Commandant
2 felt that this investigation -- or this incident warranted a
3 Marine Board of Investigation and convened this Board on January
4 16th of last year. For those that aren't aware, a Marine Board of
5 Investigation is the highest level of investigation within the
6 Coast Guard.

7 If there aren't any other questions, move to the next slide,
8 please.

9 Q. Okay. Commander, just for the perspective of the general
10 public who is receiving this, could you give us a sense of how
11 many Marine Board of Investigations are opened on average per
12 year?

13 A. Yes, there are relatively few, and it depends on the year.
14 There's some more than others. But typically there is a couple a
15 year. And then, there are other investigations that are opened at
16 the district commander level, and there are several of those.
17 And then, even fewer at the OCMI or local level. The bulk of our
18 marine casualty investigations falls into the informal
19 investigation and data collection activities.

20 Q. Great. Thank you.

21 A. So the marine casualty investigation process. At its most
22 basic level, you have an incident or marine casualty which
23 requires an on-scene investigation and evidence collection,
24 followed by analysis, documentation, and continued investigation
25 as necessary. Decisions on if safety recommendations are needed,

1 or enforcement actions are warranted, those are considered. And
2 then finally, the routing and closure of cases. I think it's
3 important for folks to understand that all incident investigation
4 activity -- so all investigations that are a reportable marine
5 casualty are routed to and closed at the headquarters level.

6 In complex systems such as the marine transportation system,
7 there are many interactions between operational parts of system,
8 including mariners, shore side workers, vessel traffic services,
9 the vessel itself, equipment, facilities, charts, publications,
10 and even environment. Because of the complexity of the marine
11 transportation system, there is a constant danger that critical
12 information may be overlooked or lost during a marine
13 investigation.

14 To avoid this, the Coast Guard's marine investigation
15 process, which is based on and mirrors the approach prescribed by
16 the International Maritime Organization, was developed. The
17 detailed steps of this process are listed in the figure to the
18 right, which is directly out of the Coast Guard's Marine Safety
19 Manual. I know it's a little hard to read. The major parts are
20 generate a timeline, conduct causal and human analysis, draw
21 conclusions, and issue safety recommendations, if warranted.

22 The Coast Guard's investigation management documentation
23 requirements are defined in CG-INV Policy Letter 003-2018,
24 specifically sections 3(c)(1) and (2), discuss endorsements and
25 final action, which are the last two steps in this process.

1 For investigation reports, the endorsement is the
2 documentation from the Office in Charge of Marine Inspection
3 and/or, depending on the level of the investigation, it might have
4 both the district commander stating, one, that they approve or
5 otherwise of the investigating officer's report; two, the action
6 taken with respect to the recommendations; and three, whether or
7 not any enforcement actions have been or are recommended. All
8 endorsements are documented within the report of investigation.

9 Final action, also referred to as Commandant action, is
10 documentation from the Commandant stating that final approval or
11 otherwise of the investigating officer or, in this case, the
12 Marine Board's report; number two, any action that has been or
13 will be taken or recommendations; and three, that the
14 investigation is completed and closed. Just like endorsements,
15 the final action is documented within the report of investigation.

16 If no questions, next slide.

17 So, as the investigations are documented within the Coast
18 Guard's Marine Information for Safety and Law Enforcement. We
19 refer to it as the MISLE database. As previously discussed,
20 initial investigations are documented in MISLE through a
21 preliminary investigation activity. This was the 19,000 number
22 that I mentioned earlier. And if the threshold for a reportable
23 marine casualty is met, an investigating officer will create an
24 incident investigation activity within MISLE. There are also
25 enforcement activities and boarding activities and other

1 activities within MISLE, but from an investigative perspective,
2 there are PIAs -- preliminary investigation activities -- incident
3 investigation activities, and enforcement activities.

4 The amount of information collected and entered into MISLE
5 depends on the level of investigative effort that I mentioned
6 earlier, data collection, informal, or formal. Within the IIA,
7 investigator documents vessels; facilities; waterways; parties,
8 the people and organizations that are involved; their roles --
9 whether they're a witness, subject of investigation, their
10 location, or if they were just cited in the area; their status --
11 whether they're damaged or undamaged, at risk, not at risk,
12 injured, missing, or deceased.

13 Within the database, these associations tie to existing or
14 new records for these people, vessels, organizations, and places.
15 From a data perspective, you have one IIA, one incident
16 investigation activity, for each incident. But it will be
17 associated with multiple parties -- multiple people, multiple
18 vessels, multiple waterways and facilities, depending on the scale
19 and scope of the investigation.

20 For instance, a collision or drowning with a tug pushing 15
21 barges most people think is a -- it is a single incident, but
22 there are 16 vessels that are tied to that activity. So some of
23 those vessels may be listed as grounded while some others are not.

24 Along with other critical information on the incident,
25 including evidence, correspondence, causal analysis, conclusions,

1 and safety recommendations, the investigator develops an incident
2 timeline. This was the first step in the process that I had
3 mentioned earlier. This incident timeline is comprised of
4 actions, conditions, and events that are important to the process
5 of the investigation, but are also important for follow-on
6 analysis.

7 Actions are things that people do. For example, the crew
8 placed X number of crab pots on the vessel or the master placed
9 the throttles full ahead. A condition is some existing
10 circumstance, like weather, a worn part, or an individual's level
11 of training. Events are things that happen to things, for
12 example, a material failure of a part, an injury of a person, or
13 the flooding of a vessel. Within the timeline in the MISLE
14 casework and in the database, the investigating officer documents
15 the initiating event, which is the first unwanted or negative
16 outcome in the timeline.

17 From an analysis perspective, this is important, and I'll
18 give you an example why. A vessel grounding that was preceded by
19 a material failure event and then a loss of vessel maneuverability
20 event is quite different than a grounding without any preceding
21 events. Understanding this when looking at especially broad data
22 sets of 10 to 40 years of reportable marine casualties involving
23 commercial fishing vessels -- this understanding is important.

24 Any questions on this slide? Next slide please.

25 So the MISLE system documents and stores Coast Guard data.

1 And it was introduced back in 2001. It contains information on
2 all Coast Guard activities, from Search and Rescue planning and
3 sorties to pollution response and marine law enforcement
4 boardings, vessel inspections and facility inspections, to marine
5 casualty investigations and enforcement actions.

6 While MISLE goes back to 2001, my staff and I have access to
7 records on our legacy marine safety data systems all the way back
8 to 1981. The Coast Guard as a whole accesses MISLE through the
9 database itself, or the use of Coast Guard Business Intelligence
10 program, which we refer to as CGBI. CGBI is an IT integration
11 tool which turns Coast Guard data from disparate but authoritative
12 into a searchable analytic data warehouse for decision-making.
13 While helpful, CGBI does not get to all the data elements stored
14 within MISLE, especially within the casualty data set. My staff
15 and I have direct access to all MISLE data elements via open
16 database connectivity to the MISLE data warehouse or the MISLE
17 extract, and are able to query all data within MISLE.

18 Public access is available through the Coast Guard Maritime
19 Information eXchange -- we call it CGMIX -- and the Port State
20 Information eXchange -- PSIX -- which are web-accessible and
21 contain vessel specific information, including the results of
22 boardings, examinations, and inspections, all derived from MISLE
23 itself. Also publicly available, there are two large data files
24 available for download: the Marine Casualty and Pollution Data
25 file provides details about marine casualties and pollution

1 incidents investigated by the Coast Guard, and the Merchant
2 Vessels of the United States Data file, which contains information
3 on all documented U.S. merchant and recreational vessels.

4 Commercial fishing vessels are involved in approximately 850
5 reportable marine casualties per year. This is on average over
6 the last decade or so. For perspective, remember the Coast Guard
7 investigates about 3,500 reportable marine casualties annually.

8 If there are no questions on this slide, go to slide 7,
9 please.

10 So what you see here on this slide is a breakdown of vessels
11 involved in reportable marine casualties on the left. On the
12 right shows vessels involved in serious marine incidents. Please
13 note that these are vessels involved, so the numbers are
14 reflective of vessel counts, not individual incident
15 investigations.

16 If you go to the next slide -- we can go back if there are
17 questions, but if you go to the next slide, it shows the number of
18 major marine casualties by involved vessel or service. I caution
19 the Board and public from making any broad assumptions based on
20 these charts, as vessel services are not apples to apples
21 comparisons. Their operating conditions, inspection reviews,
22 fleet sizes, et cetera, are all different. Additionally, as I
23 mentioned, this shows vessels involved. And the towing industry
24 looks to be involved in more casualties, which is true from a
25 vessel count perspective, but this is because most towing

1 casualties involve multiple vessels, like the example I gave
2 earlier of a tug pushing 12 barges would be counted twice in this.

3 I'm sure the question is -- I mentioned earlier from a
4 reportable marine casualty perspective, there's about 850 on
5 average a year that involves at least one commercial fishing
6 vessel. And we have about 3,500 a year. So that's about 25
7 percent, if you look at just an incident investigation raw count.
8 I tend not to put those numbers up, because they don't add up to
9 100 percent, because of the duplicate vessels involved. But, for
10 your perspective, about 25 percent of all reportable marine
11 casualties involve a fishing vessel.

12 We'll talk a little bit more about -- go into some more
13 details about commercial fishing vessel casualties, but, if you
14 bring up the next slide, I'd like to talk about the fleet in
15 general.

16 The Coast Guard estimates that there are nearly 58,000
17 commercial fishing vessels in documented service. I'm unsure of
18 how exactly the Coast Guard's Commercial Fishing Vessel Safety
19 Division arrives at this number, because there are only about
20 17,000 in MISLE. These are captured in MISLE because of some
21 Coast Guard interaction -- a boarding, an investigation, or a
22 safety exam. At the bottom, there's a table that shows the 2019
23 domestic annual report numbers for the commercial fishing vessel
24 decal program. As you can see, there are about 3,800 safety
25 decals issued and about 10,000 deficiencies identified and

1 documented.

2 Next slide.

3 So this slide, then, shows the most prevalent deficiencies
4 for commercial fishing vessels in 2019. And if you go to the next
5 slide, we'll -- I'll show you the 2020 statistics. So, while the
6 2020 annual report has not been published, here is the data from
7 calendar year 2020. As you can see, there's a slight decrease in
8 the number of decals and deficiencies issued, as compared with
9 2019. This is likely a result of the COVID pandemic. The top
10 deficiency areas that are listed on the bottom half of the screen
11 are fairly consistent with the 2019 data.

12 Any questions?

13 Q. I think we --

14 A. So go to the next slide -- oh, excuse me. Go ahead.

15 Q. Just saying we're good, clear to proceed.

16 A. All right. Next slide.

17 Okay, so this slide shows some additional commercial fishing
18 vessel data. Starting in the upper left, you can see that the
19 most prevalent commercial fishing vessels subtype is a fish
20 catching vessel, making up nearly 99 percent of the active
21 documented fleet in MISLE.

22 One thing I'll note here, you probably noted in the NIOSH
23 presentation that they had data on the fishery involved. So,
24 while MISLE doesn't have a lot of detail on the vessel type, in
25 2005, our office made a change to MISLE to allow -- to require IOs

1 to capture the fishery that the vessel was involved in when
2 they -- the vessel was working when they were involved in the
3 casualty. So that's where that data comes from; it's not from the
4 actual vessel type.

5 From a tonnage perspective, which is the next -- the upper
6 right, about 86, 87 percent are under 100 gross tons. On the very
7 left, you can see that -- the age data, almost 99 percent of the
8 1,700 vessels in MISLE do not have a keel laid date, which leaves
9 much to be desired. Lastly, only about 62 of the 1,700 commercial
10 fishing vessels have an international or coastwise load line
11 certificate documented in MISLE.

12 Any questions?

13 Q. I've just got one, and this -- maybe it referred back to the
14 previous slide with -- regarding deficiency statistics. Now, the
15 statistics on deficiencies, does that include offshore law
16 enforcement boardings or offshore fishing vessel boardings?

17 A. No, it does not.

18 Q. Or is that just dockside?

19 A. These are just from the decal program. These are not law
20 enforcement boarding activity deficiencies. If that's something
21 that's needed by the Board, we could query it and provide it.

22 Q. No, I appreciate that. I just wanted to make that
23 clarification. Thank you.

24 A. Next slide.

25 Over the next several slides, I'll show you some marine

1 casualty data for incidents involving commercial fishing vessels.
2 All right. This first graph shows you reportable marine
3 casualties in blue and serious marine incidents in red that
4 involved at least one commercial fishing vessel for a little over
5 the past decade. The counts here are individual incident
6 investigation activities, so singular incidents.

7 Over the last decade, there's been a slight downward trend in
8 reportable marine causalities, while serious marine incidents have
9 been relatively steady. In calendar year 2020, we saw a reduction
10 in both SMIs -- serious marine incidents -- and reportable marine
11 casualties across all fleets, most likely due to decreased
12 activity as a result of the COVID pandemic.

13 All right. Next slide, please.

14 So this pie chart shows a breakdown of initiating events. So
15 this is the first unwanted event in the timeline for reportable
16 marine casualties. As you'll see, the most prevalent are material
17 failures at a little over 32 percent, and pollution incidents and
18 personnel casualties, which are injuries, deaths, or missing
19 individuals.

20 The next slide.

21 This is similar data, except for it's only serious marine
22 incidents. So, as you can tell, almost 50 percent of serious
23 marine incidents are because of a personnel casualty, then
24 material failures, then followed by collisions and allisions.
25 It's important to note when looking at serious marine incident

1 data that any injury that's reportable is automatically an SMI.

2 Incidents at slide 16.

3 So this shows commercial fishing vessel personnel casualties,
4 which include injuries beyond first aid, a death, or a missing
5 person. Numbers on this chart are counts of individuals, so not
6 singular incidents, meaning one incident that resulted in multiple
7 injuries or death is counted as the number of people hurt, dead,
8 or missing.

9 Slide 17 shows the same data, but here the missing and dead
10 are combined into one data field.

11 Please advance to slide 18.

12 These tables show commercial fishing vessel injuries and
13 fatalities by the documented accident type. So injuries are on
14 the left, and as you can see, the most prevalent type are contact
15 injuries, with over 80 percent as some type or form of contact
16 injury. For fatalities, the most prevalent accident type is
17 preexisting medical conditions, at nearly 20 percent, followed by
18 falls into the water and asphyxiation, which is typically due to
19 smoke inhalation or drowning.

20 As you may remember, the threshold for post-accident chemical
21 testing is a serious marine incident. And as previously shown,
22 the leading initiating event for a serious marine incident are
23 personnel casualties. This chart shows the post-casualty alcohol
24 testing conducted for commercial fishing vessel casualties, and
25 the resultant positive tests. I draw your attention to the fact

1 that in 2020, 25 percent of the casualty drug testing included a
2 positive test result.

3 Please advance to slide 20.

4 Q. If I may, sir --

5 A. Yes.

6 Q. -- just in looking at that slide, has there been any analysis
7 on relative states to where those casualties have occurred, and
8 whether or not those are in states that have legalized some sort
9 of drug use?

10 A. No, we have not broken that down by state. No, sir.

11 Q. Roger. Thank you.

12 A. So here we have commercial fishing vessel loss data for the
13 past decade, and as you can see, approximately 30 percent of the
14 commercial fishing vessel losses occur in the Pacific Northwest,
15 Coast Guard Districts 13 and 17. I'll just give you a moment to
16 look and see if you have any questions.

17 If you go to the next slide, we've broken commercial fishing
18 vessel losses down by age, and as you can see, the majority of the
19 fishing vessels that are lost are between 25 and 50 years old.
20 Earlier, I mentioned that the vessel age data, particularly the
21 keel laid date, left much to be desired. What I'd point out here
22 is that it appears that our casualty investigators are collecting
23 and documenting vessel age when they are lost, as only 11 percent
24 of the vessels lost lack age data, as opposed to the nearly 99
25 percent of the rest of the fleet.

1 Q. And is there initiative -- I know it's, you know, new
2 policies and everything, but are there any initiatives to try and
3 narrow that down a little bit, in the field, as far as recording
4 that data?

5 A. The program office for that subject area -- like, so, CBC-3,
6 a commercial vessel -- excuse me, Commercial Fishing Vessel Safety
7 Division, is the one that would set the policy for what things are
8 required to be entered into MISLE. So I'm not exactly sure what
9 their data entry requirements are for commercial fishing vessels,
10 but I do know that on the investigation side, IOs are documenting
11 the age when known, as shown by this data.

12 Q. Okay. But outside of the internal INV policy letter, they're
13 not -- you're not aware of any policy from the Office of
14 Commercial Fishing Vessel Safety that would require capturing of
15 the keel laid date.

16 A. No, sir.

17 Q. Thank you.

18 A. So, if we go to the next slide, marine casualty
19 investigations, particularly formal investigations, often result
20 in safety recommendations. The purpose of safety recommendations
21 are to identify corrective actions the Coast Guard or other
22 substantially involved federal agencies should take to address
23 discovered unsafe conditions, actions, or other unwanted outcomes,
24 to prevent future casualties and improve safety of life at sea.

25 Coast Guard-INV Policy Letter 002-2018 sets the policy for

1 safety recommendations, safety alerts, and findings of concern,
2 formerly known as lessons learned. In this policy letter,
3 specifically section 4, it discusses safety recommendations and
4 outlines their purpose, basis, content, the submission process,
5 the process for review and endorsement, final action, tracking of
6 actions, and documentation. Investigation officers or Marine
7 Boards of Investigation shall consider making safety
8 recommendations when their investigation concluded that laws,
9 regulations, or the policies, tactics, techniques and procedures
10 that implement those laws are inadequate or missing.

11 Safety recommendations are not expected for every
12 investigation. If the findings of an investigation do not warrant
13 changes to laws or regulations or policy, then a safety
14 recommendation should not be issued. Each safety recommendation
15 shall be submitted and subjected to a process of review and
16 endorsement through the relevant Coast Guard chain of command, in
17 order to evaluate its merit for implementation. Each endorsement
18 shall indicate whether the reviewing unit or command concurs or
19 does not concur with the recommendation, and provide an
20 explanation for the determination.

21 So, over the past 30 years, there have been nearly 7,000
22 safety recommendations made by Coast Guard IOs. 80 percent have
23 been adjudicated with some final agency action determination.
24 Approximately 1,000 have been forwarded to headquarters or
25 district and are awaiting final agency action. Of the 70,000

1 safety recommendations, over 18 percent came from a case that
2 involved a commercial fishing vessel. Regardless of a safety
3 recommendation status, we consider them all living, meaning that
4 they are always available for analysis and can influence policy or
5 regulatory decision. Over time, recommendations that may not have
6 been concurred with may be reconsidered, based on new or numerous
7 similar recommendations that followed.

8 I'll pause for questions on this slide, and then go into a
9 little bit more detail on the fishing vessel recommendations.

10 Okay. Advance to slide 24, please.

11 In order to assist this MBI with reviewing and understanding
12 the nearly 1,300 previous safety recommendations that involve a
13 commercial fishing vessel, we search for recommendations within
14 this subset with particular keywords that may be of interest. The
15 raw data and results can be provided for further analysis by this
16 Marine Board if desired. This table here just shows the keywords
17 that we looked for and the results within the safety
18 recommendations and the status of those safety recommendations.

19 Please advance to slide 26 -- or 25, excuse me.

20 As I'm sure you're aware, the NTSB also issues safety
21 recommendations based on their investigations. While these are
22 not tracked within MISLE, I asked my colleagues in CG-INV to
23 provide me access to their internal tracking of NTSB safety
24 recommendations. These recommendations are not categorized by
25 vessel type, recommended action, or even the safety theme.

1 However, I queried the 1,400 recommendations from 1967 for fish,
2 to catch fish, fishing, fishery vessel, and identified 64
3 recommendations that may be -- that are related to -- potentially
4 related to commercial fishing vessels.

5 If you advance to slide 26, you'll see the same keywords that
6 were queried for the Coast Guard safety recommendations, and these
7 are the results here, which can also -- the raw data, so the text
8 of the safety recommendations and the keywords associated, can be
9 provided to this MBI if desired.

10 Q. This is really helpful, and I think what I'd also probably
11 look at -- maybe we'll reach out and contact you -- is an analysis
12 of -- in this regard, since 2010, and follow it -- you know, for
13 recommendations that have been made to the Coast Guard following
14 the 2010 auth act, and more recent.

15 A. Sure. I'm just taking a note, Captain. Yes, sir, we can do
16 that. And if the Board will let us know if there are any
17 additional keywords. I was able to tune in a little bit earlier,
18 so we can search icing or any other words that the Board would be
19 interested in. Just let me and my staff know.

20 Q. Absolutely. And I think that would be definitely one. I
21 think as we've -- as the hearing has progressed, I think that has
22 become a pretty common theme that we'd be interested in trying to
23 get a deeper analysis of.

24 A. Yes, sir.

25 If you'll proceed to the next slide, if there are no further

1 questions.

2 So I'd like to close my presentation by highlighting a chart
3 created by my office and often used by the Commercial Fishing
4 Vessel Safety Division here at headquarters. I'm sure you've
5 already seen this over the course of the past two weeks. This
6 chart shows operational commercial fishing vessel losses and
7 related crew deaths. Think of these as vessel losses and
8 fatalities at sea, underway fishing or transiting to or from a
9 commercial fishing vessel area. This data does not include vessel
10 losses in port or at anchor, like a fire or sinking at the pier.
11 So this is a subset of all commercial fishing vessel losses and
12 deaths.

13 I'd like to point out the numbers that I presented previously
14 did not delineate between operational and nonoperational, so this
15 is a subset of the data that was previously presented. So, for
16 perspective, about 70 percent of commercial fishing vessel losses
17 that occur are deemed operational in nature, and approximately 55
18 percent of the fatalities are deemed operational. The loss of the
19 *Scandies Rose*, and tragic loss of her crew, was deemed operational
20 in nature. While this 38-year perspective shows a marked
21 improvement in commercial fishing vessel safety, I think it can be
22 misleading.

23 Please advance to slide 28.

24 If you look at the past two decades, you'll see what I mean.
25 The number of vessel losses and fatalities seem fairly stagnant,

1 even more so if you focus on the last decade.

2 Please advance to slide 29.

3 Since 2010, we have lost over 430 commercial fishing vessels
4 and 217 lives. Remember, these are just operational statistics.
5 If you count nonoperational accidents, we've lost twice that
6 number of fishermen and over 100 additional vessels. There is
7 room for improvement. This should not be considered a cost of
8 doing business in this industry, and we can all do better.

9 Please advance to slide 30.

10 This concludes my formal presentation. And I'd be happy to
11 go back and answer any additional questions you may have about
12 data or any of the processes we discussed.

13 Q. Commander, thank you very much. I mean, this has been
14 extremely informative. I greatly appreciate that breakdown and
15 explanation, in the later graphs, and the delineation on how
16 that's broken out in only a subset to better understand the
17 operational nature of that -- of those casualties.

18 In looking at that and realizing that you -- when you look at
19 the graph all the way back from start to now, it looks like
20 there's some major changes and drop-offs. But as you pointed out,
21 in the last decade or so, it does remain pretty stagnant, and it's
22 -- there aren't major fluctuations in any direction. Is there
23 anything that's being attributed to the initial drop-off that
24 forced -- that kind of created some of that initial change before
25 things kind of leveled off again?

1 A. So you're talking about back in 1982, when the drop there? I
2 am not familiar with all of the commercial fishing vessel
3 regulations and policies over the last 40 years and what markers
4 hit around, you know, the 1990s and 2000. I think that would be a
5 question better for the Commercial Fishing Vessel Safety Program,
6 but -- so you're right, there is marked improvement. It just
7 seems to stagnate over the past decade or two.

8 Q. And so I think the other important feature -- the other
9 important thing to emphasize here is I think, somewhere in there,
10 what we maybe need to do a little more analysis of, in comparison
11 to total number of vessels at those timeframes, as well, to maybe
12 paint a better picture. We've heard things like rationalization
13 have had a major impact at times of just the number of vessels
14 that operate in the fishery, so it would be interesting to see how
15 that -- how these numbers of casualties and losses relate to the
16 total number of vessels over the same timeframe.

17 CAPT CALLAGHAN: So I'm going to try and pass it around -- go
18 around for questions. I want to start with our colleagues at the
19 National Transportation Safety Board.

20 Mr. Barnum?

21 MR. BARNUM: Thank you, Captain.

22 Thank you, Commander Smoak, for that very good presentation.
23 I just had one follow-up on slide 12.

24 Lieutenant McPhillips, if you can bring up the presentation
25 again, please.

1 BY MR. BARNUM:

2 Q. Commander Smoak, just for my knowledge here, I'm looking at
3 the upper right table, the commercial fishing vessel tonnages by
4 vessel subtype. So the 100 ton to 199.9, is there an ability or
5 do you have a sense of these 2,072 vessels, what the average age
6 of those would be?

7 A. I don't know off the top of my head. But the data that
8 created these tables, I have the raw data for, so we could very
9 easily look at that raw data and see what the age of those 2,000
10 or so fish catching vessels that are between 100 and 200 gross
11 tons, so --

12 Q. Great. Thank you. And --

13 A. In the recess, I can look.

14 Q. Okay. I can just follow up with you after, sir, if it's --
15 or you can follow up with the Board. That's fine. And that's
16 taking into account only -- on average, only one percent of the
17 total 58,000 vessels have a keel laid date. So we might not be
18 able to get -- every one of those 2,000 vessels might not have a
19 recorded keel laid date.

20 A. Right.

21 Q. Okay. And it was premature on taking the slide down. Sorry,
22 Lieutenant. I have one more question on that slide for Commander
23 Smoak. And then the bottom left-hand table -- I'm sorry, bottom
24 right-hand table. And so, the vessels that are 79 -- this is the
25 commercial fishing vessel fleet with international or coastwise

1 load lines certificates. So my understanding the load line offers
2 -- it's a more stringent inspection of the vessel and some more
3 stringent requirements. So the vessels that are 79 to 199.9 feet,
4 there's 35, and I was just curious if there -- if we could
5 calculate, you know, the percentage of total vessels of that size.
6 And I'm sorry, that's improper questioning, but --

7 A. I understand what you're asking.

8 Q. Yeah. Okay.

9 A. It's -- of the vessels that are 79 to 200 feet in length, 35
10 of them have a load line certificate. What's the percentage
11 compared to the other subset of the 17 that are that same length?

12 Q. Thank you. That don't have the load line. Yes, that's
13 correct.

14 A. Right.

15 Q. Yes, sir. And that might be something I could follow up with
16 you on as well.

17 A. Absolutely.

18 Q. Thank you, Commander Smoak. I really appreciate it.

19 MR. BARNUM: That's all the questions I have, Captain.

20 CAPT CALLAGHAN: Thank you, Mr. Barnum.

21 And Commander Smoak, I'm going to now go to our parties in
22 interest, starting with counsel representing the two survivors,
23 Mr. Stacey.

24 MR. STACEY: Thank you, Captain Callaghan.

25 And thank you, Commander Smoak, for your testimony. Can you

1 hear me okay, sir?

2 THE WITNESS: I can. Thank you.

3 MR. STACEY: Wonderful. Just very, very briefly, Lieutenant
4 McPhillips, if you could please bring up page 23 of the
5 commander's presentation, Exhibit 108. Thank you, Lieutenant.
6 That's actually perfect.

7 BY MR. STACEY:

8 Q. So I see on there that you have about 79 percent of the
9 safety recommendations that are issued have been adjudicated. Is
10 there anything similar about the 21 percent that are not
11 adjudicated, or any trends as to why some are issued but not
12 adjudicated?

13 A. So the un-adjudicated safety recommendations are likely --
14 they're the newer ones. They're more recent. So they're still
15 going through the process, which is extremely slow.

16 Q. So, over time, would you expect that percentage to continue
17 increasing?

18 A. The number of un-adjudicated -- so, we -- we'll always have
19 safety recommendations coming in, but we're also always clearing
20 them. That backlog, if you will, is decreasing for the first time
21 in recent history. The Office of Investigations and Analysis, the
22 division that oversees the safety recommendations, is being
23 proactive with that backlog and starting to chip away at it. So
24 we expect it to go down over time, but it's -- as you said,
25 there's a large backlog, and we're working through it. Some of

1 those haven't reached our office, headquarters level. They're at
2 the district level and being adjudicated down there before they're
3 endorsed and routed to us.

4 Q. All right. Thank you, Commander.

5 MR. STACEY: Thank you, Captain Callaghan. Those are all the
6 questions I have.

7 CAPT CALLAGHAN: Thank you, Mr. Stacey.

8 And now, to counsel representing the vessel owners,
9 Mr. Barcott.

10 MR. BARCOTT: Thank you, Captain. I don't have any questions
11 for Commander Smoak, but thank him for the presentation.

12 CAPT CALLAGHAN: Thank you very much, Mr. Barcott.

13 And I will double-check, any members of the Board?

14 (Pause.)

15 CAPT CALLAGHAN: No follow-up questions.

16 Commander, thank you very much for your presentation. I
17 think, as you kind of got through there, there's some pretty
18 eye-opening stats, particularly with regards to -- you know, if we
19 draw a graph starting from 40, 50 years ago, sure, it looks like
20 there's been some marked improvement. But when you really narrow
21 down into a smaller time frame, in comparison with the fleet size
22 itself, we start to realize that there's still plenty of room for
23 improvement and that those numbers are seemingly level over the
24 past decade or so, and not necessarily continuing to drop off.
25 You know, I think that should be eye-opening, and it does fit in

1 with some of the discussions that we've had over the past two
2 weeks in this hearing. I think we've got some follow-on that
3 we'll reach out to you on, to see if we can narrow some of those
4 stats down, as we look to move this investigation on further.

5 So, again, thank you very much for your time. This has been
6 a fantastic presentation. And at that point, you are now released
7 as a witness from this formal hearing. Thank you for your
8 testimony and cooperation. If I later determine that this Board
9 needs additional information from you, we'll contact you through
10 counsel. If you have any questions about the investigation, you
11 may contact any member of the Board or the investigation recorder,
12 Lieutenant Ian McPhillips.

13 Commander Smoak, thank you very much for your time.

14 THE WITNESS: You're very welcome. Have a great day.

15 (Witness excused.)

16 CAPT CALLAGHAN: Okay. This now concludes witness testimony
17 for this formal hearing. At this time, all witnesses are now
18 released from these formal proceedings. Coast Guard exhibits
19 presented today will be posted to the Coast Guard media site, and
20 remaining Coast Guard exhibits that were not presented during the
21 hearing will be posted to the media site at a later date, to
22 maximize transparency of the investigation.

23 We will now take a short recess, and we will -- are currently
24 scheduled to begin closing remarks at 1000. We will post updated
25 time, if we intend to start sooner, on livestream. And we will

1 resume with closing remarks from parties in interest, the National
2 Transportation Safety Board, and this Coast Guard Marine Board.

3 We'll now go into recess.

4 (Off the record at 9:12 a.m.)

5 (On the record at 9:30 a.m.)

6 CAPT CALLAGHAN: It is now 0930. This hearing is now in
7 session.

8 Before beginning formal closing remarks from parties in
9 interest and the National Transportation Safety Board, I would
10 like to express the Board's gratitude for all the support and
11 cooperation to make this hearing what it was in this -- over these
12 last ten days. To Sara Mixson and the crew here at the Edmonds
13 Center for the Arts, you have all been outstanding hosts and have
14 gone above and beyond to support this hearing.

15 Coordination in the virtual environment also took a lot of
16 Coast Guard support here locally and at Coast Guard units who
17 hosted witnesses. I'd like to thank District 13 staff, the
18 District 17 staff, Sector Puget Sound, Sector Anchorage, Marine
19 Safety Detachment Kodiak, and Marine Safety Detachment Dutch
20 Harbor. I'd also like to thank Customs and Border Protection for
21 hosting a witness to facilitate additional virtual testimony.
22 Additionally, I'd like to thank everyone involved for their strict
23 and consistent adherence to the Board's COVID mitigation plan.

24 I will now ask NTSB to make their closing remarks, and I will
25 have formal remarks later to close out the hearing session.

1 Mr. Barnum?

2 MR. BARNUM: On behalf of the entire NTSB, especially the
3 team conducting this investigation, as I've said daily in my
4 opening statement, I want to extend my deepest condolences to the
5 families who've lost loved ones in this tragic accident.

6 I would like to thank Captain Callaghan and the Coast Guard
7 Marine Board for including our agency in these hearings and for
8 their exceptional cooperation throughout this investigation.

9 I would also like to thank the parties of this investigation
10 for their continued support throughout the last 14 months by
11 providing their firsthand accounts of the accident, their
12 expertise, sharing hundreds of documents, conducting several
13 technical interviews, and assisting in interviews and supporting
14 our investigation while continuing their daily lives.

15 At a future date, a separate report of the NTSB's findings
16 will be issued which will include our official determination of
17 the probable cause of this accident. We will continue to collect
18 evidence, develop findings, conduct analysis, and issue
19 recommendations based on all facts developed throughout this
20 investigation.

21 In closing, I would like all the family members, especially
22 those who have been watching the hearing day after day over the
23 course of the two weeks, to know how much this accident has
24 personally affected every one of us, as so many of us have spent
25 years at sea. Assisting the investigation and following the

1 hearing so attentively demonstrates your dedication to your loved
2 ones and to each other and further empowers us to ensure we are
3 doing everything to prevent similar tragedies from happening in
4 the future.

5 Thank you very much.

6 CAPT CALLAGHAN: Thank you, Mr. Barnum.

7 Now we'll start closing remarks from our parties in interest,
8 and I'll start with counsel representing the two survivors,
9 Mr. Stacey.

10 MR. STACEY: Thank you, Captain.

11 Good morning to the Board and to everyone listening on
12 livestream. I want to thank Captain Callaghan and the entire
13 Board on behalf of Dean Gribble and John Lawler for the important
14 work that's been done over the past two weeks. I want to thank
15 all the witnesses who participated. As Mr. Barnum said, their
16 expertise and their analysis will prove invaluable as will their
17 experience to this Board in making their determinations and more
18 importantly in making the seas a safer place to work.

19 John and Dean also want me to explicitly thank Coast Guard
20 Search and Rescue again for their heroic actions that allowed them
21 to be brought back to their families safely. Their testimony
22 spoke for themselves regarding their appreciation. But I want to
23 echo their families' thanks as well.

24 We also want to thank the Board for allowing Dean and John to
25 participate as parties in interest. They hope that their

1 testimony has helped the Board complete its mission. Dean and
2 John wanted to voluntarily appear before this Board. They did so
3 with the hopes of assisting the Board in discovering the cause of
4 this terrible tragedy and bringing some peace to the families of
5 their lost shipmates, to those who were lost in other casualties,
6 and to prevent future mariners and their families from having to
7 suffer through the pain of a similar disaster in the future.

8 As you could see in their testimonies, John and Dean continue
9 to struggle every day to understand why they were spared. Like
10 other casualty survivors, not a day goes by they don't battle with
11 survivor's guilt. Those who witnessed John and Dean's testimony
12 saw how discussing or even thinking about the casualty brings back
13 the raw pain 15 months later and probably will for the rest of
14 their lives. Their pain illustrates the importance of this
15 Board's mission to prevent similar casualties happening in the
16 future.

17 This often crippling pain is made much worse when, after
18 their testimonies, they read public comments such as they're
19 heroes only in their own mind and those who proclaim from behind
20 the computer screen that they should have gone down with their
21 shipmates. Especially in light of these comments, I want to thank
22 the Board, Captain Callaghan, Mr. Barnum, for their public and
23 private condolences to all the victims of this tragedy. As
24 Captain Callaghan stated throughout these hearings, these are
25 people and families being discussed, so we cannot overstate the

1 importance and appreciation for the support that John and Dean
2 have received from the fishing community in front of this Board.

3 John and Dean know they're lucky to be with us here today.
4 They're looking for ways to make their second chances at life as
5 best as it can be. Both are searching for a new purpose in this
6 new life. They avow that part of this purpose will be looking to
7 help ways for mariners and their families to cope with tragedies
8 and to work to prevent another. Their shipmates will always be
9 remembered and honored by John and Dean.

10 Thank you very much, Captain. That's all we have.

11 CAPT CALLAGHAN: Thank you very much, Mr. Stacey.

12 And now I will go to counsel representing vessel owners,
13 Mr. Barcott.

14 MR. BARCOTT: Thank you very much, Captain.

15 I'd like to begin my remarks by thanking all the members of
16 this Board. It has been evident to us from the day we first met
17 14 months ago that your mission was to find the truth and
18 hopefully to help this industry in the future not have to convene
19 another one of these boards. We have appreciated the way you have
20 gone about the gathering of information. We hope we have been
21 helpful in that process. We have appreciated that it was not a
22 blame game, that it was only to find out what happened. It has
23 been our pleasure to work with you, and Lieutenant Pels as your
24 attorney liaison has been -- it has been a delight to call her a
25 colleague.

1 In our first meeting, if you recall it, Dan Mattsen told you
2 that he hoped you'd find out what happened to the *Scandies Rose*.
3 And I think we have, and I'll talk about that.

4 Let's go through what we know. Here is what we know based on
5 the evidence -- and many people have got many things to say about
6 this tragedy and the *Scandies Rose*, but we rely on evidence, and
7 the evidence that we have tells us this was a good and well-kept
8 boat. Fishermen referred to it as a Cadillac, and in fisherman
9 speak, that's as high a compliment as you can get about the
10 quality of the machinery.

11 This was a good and experienced crew who knew that boat. No
12 one has said anything to the contrary, and so often in these
13 proceedings, people come forward with hurtful things to say. And
14 maybe that's happened behind the scenes, but no one here has
15 testified that this vessel and her crew were anything other than
16 top notch.

17 This was a good, well-respected captain who knew this area
18 better than almost anyone else, and Bryce Buholm told you that.
19 This was an owner who spent the money that needed to be spent to
20 keep this boat in tip-top condition, and we know that from
21 Mr. Jacobsen and his surveys, and he specifically called that out
22 in a footnote to one of his surveys; this is the best vendor boat
23 he'd ever seen in the Northwest.

24 Drills were regularly performed, thank goodness. The mayday
25 drill saved Mr. Lawler and Mr. Gribble. The safety equipment was

1 well maintained. The two life rafts did just what they were
2 supposed to do. They popped to the surface when the hydrostatic
3 releases let go, and they saved Mr. Gribble and Mr. Lawler.

4 After the *Destination*, Mr. Mattsen spent the money to have
5 his vessel have a new stability report done. He followed the
6 Coast Guard's recommendation. He weighed his pots -- or rather
7 the Coast Guard weighed his pots, and he had a new stability
8 report done. And that stability report said that he could
9 carry -- or the *Scandies Rose* could carry 208 pots in icing
10 conditions. And Gary Cobban built a little margin of safety in
11 that and was carrying probably 195 pots. He was acting even safer
12 than his stability letter required.

13 So this is not a picture of a vessel or her owner or her
14 captain who would take unreasonable risk. Captain Cobban had his
15 vessel at stake. He had his crew's lives at stake. He had his
16 own life at stake, and he had his son on board. You wouldn't
17 expect him to be taking unreasonable risks.

18 There was no time pressure to get to the fishing grounds.
19 Cod fishing was open for another 15 days. They only needed to
20 make one delivery, so time pressure is not a factor in this case.

21 There have been a lot of issues raised, including the Coast
22 Guard's self-introspective look, and all of those are good. I'm
23 going to only address a couple of those issues in my closing
24 remarks, and I'm going to look really carefully at one.

25 But I want to start with a discussion about the discharge

1 chute. I can understand why there would be an interest in this
2 discharge chute. At one time, it was a faulty piece of equipment
3 on this vessel, but not when it left on December 30th. The same
4 welding company that works on your vessels in Kodiak, Mr. Young,
5 did the welding on the new chute, and there is not a word of
6 evidence -- we rely on evidence -- not a word of evidence that
7 that discharge chute was anything other than perfect.

8 I trust you are all familiar with Occam's razor where there
9 is a simple, straightforward explanation for something. It is not
10 appropriate to look at a complex one. Mr. Lawler and Mr. Gribble
11 believe that there was water inside this vessel, and I think there
12 was, too, but it didn't come from the discharge chute, and I'll
13 get to that in a bit.

14 I also want to talk about tarps, just a brief sidetrack here.
15 There was a discussion that tarps might provide a way to mitigate
16 the dangers of icing. And you heard Bud Bronson tell you he is a
17 sailor, and he knows what it's like to grab a hold of a big,
18 flapping tarp. But I bet Mr. Bronson's never done it in 30-foot
19 seas, and I'll bet he's never done it when the wind is blowing
20 50 miles an hour, and I'll bet he's never done it from the top of
21 an iced-up stack of crab pots. Using tarps, Mr. Lone uses that as
22 a way to mitigate the danger, and in some circumstances, might
23 work just fine, but as a general fix is -- I don't need to tell
24 you how dangerous that situation is.

25 So the *Scandies Rose* shoved off on December 30th with icing

1 in the forecast, severe icing. Why? Why did they leave? And we
2 are never going to know that answer for sure. But I think the
3 investigation done here, and with the evidence that has come out
4 in these hearings, there is an answer. Gary's stability book done
5 seven months previously told him he could go to sea in icing
6 conditions with 208 pots, and he had 195. Of course he felt safe.
7 He had a margin of safety built into his own numbers.

8 Here's what he didn't know. At no place did his stability
9 book tell him that if ice was over six-tenths of an inch on a
10 vertical surface and 1.3 inches on a horizontal surface that he
11 was in trouble, because that is what the stability book was based
12 on. At no place in that book did it tell him that if ice forms
13 unevenly on a vessel, he's in trouble, because the calculations in
14 his stability book assumed an even ice level.

15 At no place did he -- was he told that this icing was based
16 upon a 1977 convention in Torremolinos, Spain, which did not
17 consider the porous surface of a crab pot. At no place did it
18 tell him that no one had ever actually done a study on icing on
19 crab vessels in the real world. At no place did it tell him that
20 that book, the one you asked us for on the first day we met and
21 every one of these proceedings that I've ever been in, it is the
22 first thing that's requested. Can we have the stability book, and
23 can we have the surveys? At no place did anybody ever tell him
24 that this book was a work of fiction.

25 If his stability booklet had truthfully conveyed to him what

1 he needed to know in icing conditions, what the naval architecture
2 world knew, this is what it would have said.

3 May I have my first slide, please?

4 Take a moment and read this slide. This is what his
5 stability book would have said if it were truthfully representing
6 the science. And for those who might be attending by telephone,
7 let me read this.

8 Icing conditions. There are no studies on how ice
9 accumulates on crab pots. There are no studies on how much weight
10 ice can add to even one crab pot, let alone a stack. One
11 unscientific demonstration has shown over a ton of ice added to
12 one pot. There are icing standards contained in the federal
13 regulations, but those standards have no relationship to icing on
14 crab vessels. Ice is bad for vessel stability, and icing on one
15 side of your vessel is even worse, but it cannot be quantified in
16 any meaningful way to tell you how many pots to carry in icing
17 conditions.

18 Good luck. That's what it shows here. That's the truth.
19 That's what naval architects know about icing on crab boats. They
20 know it's bad, but they have nothing to add by way of quantitative
21 numbers. As ridiculous as this slide seems, it would have been
22 better than what he was told in his stability book.

23 Could I have the second slide, please?

24 This is the portion of Mr. Cobban's *Scandies Rose* stability
25 book related to icing. And it tells him that he can carry 208

1 pots in icing conditions and non-icing conditions. These words in
2 his booklet, and for those of you who have seen the stability
3 book, it's a page or two instructions to the mariner. That's
4 where this comes from. And then it is pages and pages and pages
5 of charts and numbers and math, and it all looks so scientific.
6 Who could possibly doubt this book? It gives the impression it
7 can be relied on. It lures people into a false sense of security.
8 The number fishermen turn to when they most need it, when they're
9 headed into icing conditions and they want to know what they can
10 do, so they look at their book, and this is what they see. And it
11 is based on no useful data whatsoever.

12 The warning in this book was more dangerous than the one I
13 suggested because the one I suggested, at least the fishermen
14 would know. They would know there is no scientific information
15 that supports the numbers that are in their books. At least they
16 wouldn't be lured into believing that they could carry 208 pots or
17 195.

18 I want to thank so much Jonathan Parrott and Bud Bronson and
19 Paul Zankich who just came forward. They've been in this business
20 for a combined more than century, and they knew and they finally
21 had to speak up. And if you look back at the *St. George*, the
22 *Northwest Mariner*, the *Lynn Jamie* [sic], the *Destination*, you will
23 see this same story in every one of those events. Finally,
24 somebody came forward and explained this to people with no agenda.
25 If you'll excuse the colloquialism, they had no dog in this fight,

1 but they wanted people to know about this problem. So this
2 problem's been identified, and you have done a remarkable job of
3 bringing people to this hearing to express the breadth of
4 ignorance about this critical condition on crab boats.

5 So it transcends this event. Every crabber operating in the
6 Bering Sea has a stability letter, and every one of those letters,
7 every one of them -- I haven't seen them, but I know what's in
8 them -- tells these operators how many pots they can carry.
9 During the course of this hearing, I have been in touch with
10 various skippers about this, and at least they're beginning to
11 understand the problem. My hope is that the report coming out of
12 these hearings will clearly point out this deficiency. My hope is
13 that in -- and in a perfect world, data will be collected, and a
14 regulation might be promulgated -- or maybe not, but a regulation
15 might be promulgated with accurate information or at least
16 requiring -- the very least requiring naval architects to express
17 very clearly the limitations of these stability books.

18 You will find tremendous support from the fishing industry
19 and organizations like the North Pacific Fishing Vessel Owners'
20 Association if you reach out and form a task force of people
21 without an agenda but with knowledge. It will take a long time,
22 but you'll find tremendous support for this.

23 I understand, and I hope the public understands, that all
24 this Board can do is make a recommendation. This Board doesn't
25 have the power to enact any regulations, and that needs to go up

1 the chain. I hope the Board makes a strong recommendation. Hope
2 it is recommendation number one. But I realize that the Coast
3 Guard has a number of missions, and especially since 9/11 your
4 resources are spread very, very thinly. But these -- excuse me.
5 These 60 boats matter. This little corner of the United States
6 matters. And if there is no change, we'll be back here again.

7 This hearing has done a lot to raise awareness of this issue.
8 And you have learned that it is common, it is almost universally
9 common that these crabbers don't start breaking ice until they've
10 got two or three inches on their crab pots. And those pot are
11 coated in the inside. Goodness, Mr. Lone talked about having six
12 inches before he would break it.

13 Question has been raised by some people I've talked to, if
14 this is such a big deal, why aren't there more losses? Why aren't
15 boats going down all the time? And I have a few suggested answers
16 to that. One is actually, if you look back, there have been quite
17 a few. Some operators carry fewer pots than their stability
18 letters allow, and some quite a few fewer. They instinctually
19 know something's wrong. Gary Cobban carried fewer. Even this
20 horrible data has big margins of safety, and that makes some
21 difference.

22 The other thing we don't know is how many near misses have
23 there been? If the *Scandies Rose* had gotten to Sutwik Island and
24 broken the ice, we'd have never known about this event. How many
25 of those have there been as close as this boat was to going over?

1 And if you look at the statistics -- and you've already made note
2 of this -- this problem only arises typically at the beginning of
3 opening season, typically when the boats are loaded with pots and
4 they're loaded with fuel. And if there's not a big storm -- icing
5 storm right then, well, we don't have any events. But when those
6 factors come together, when those factors coalesce, this is the
7 result.

8 What happened to the *Scandies Rose*? I actually think it is
9 fairly clear what happened to the *Scandies Rose*. I've listened to
10 all of the evidence, and I've seen evidence that wasn't even
11 presented here but you all know. When Gary Cobban took the helm,
12 there was some icing, and it progressed. And he was listing --
13 the number 20 degrees has been used, and I'm not sure that's
14 right, but he was listing pretty seriously. And we know from his
15 conversation with Oystein Lone that he did not want to send his
16 crew out on the deck in those seas, in those conditions. He was
17 looking out for the safety of his crew, so he didn't send them out
18 to break ice.

19 In retrospect, maybe it would have been better if he did, but
20 his decision was a good one. He was thinking about his crew. And
21 he wasn't particularly worried, and we know that because he had
22 this long conversation with Oystein Lone, just kind of matter of
23 fact, or at least if he was worried, he wasn't letting other
24 people know about that. He was headed towards Sutwik Island. We
25 know that from the conversation with Mr. Lone. He was going to

1 take shelter, and he was going to break ice, maybe drop the pick.
2 Everything would have been just fine if he'd made it. He was
3 looking for a place to hide, and he knew these waters. But
4 something went terribly wrong in the few minutes before his vessel
5 capsized.

6 If you talk to your naval architects in your offices, the
7 description that Mr. Lawler and Mr. Gribble give of what happened
8 -- and we're so fortunate to have their testimony about this one
9 piece -- it is almost a textbook description of what happens in a
10 freeze-surface event, when water is sloshing around in a vessel.
11 Now people have looked for the chutes as where that water might
12 be. It's not. There's so much -- such a simple explanation,
13 because in an ice storm like they were in, it's not just the crab
14 pots that ice up, and it's not just the rails that ice up. The
15 freeing ports ice up. The things that get water off the deck on
16 the starboard side of this vessel will be iced over almost surely.
17 One wave breaks over the side of that vessel and puts water on the
18 deck, and it's got nowhere to go, and it knocks the vessel down.
19 This is a textbook situation.

20 And then what happens? Then what happens is that
21 downflooding point that evidently, from the study you did, would
22 come into play at a 45-degree list is underwater. And at that
23 point, water pours into the engine room. And Mr. Lawler was
24 right. There was water in this vessel, and that's where it was.
25 And there's such an easy explanation. You don't have to have a

1 chute collapse. There's a huge hole in the side of the vessel
2 under those stairs, and once the downflooding began, the boat
3 wasn't coming back up. That was the end. It's no more
4 complicated than that.

5 But we haven't heard a lot about freeing ports. And the
6 freeing port regulations, how big do they have to be for certain
7 vessels, presume they're open. So among the things that should be
8 looked at in icing is we need to take another look at how big
9 freeing ports should be for vessels that ice up. Take a good,
10 hard look at that.

11 Public awareness is a really good thing. Mr. Crawford and
12 Mr. Walsh started a class to teach skippers about stability, and
13 we can educate the skippers about the shortcomings of their
14 stability reports. But a better fix is to fix the problem, not
15 just teach people about the problem. Hal Bernton of the *Seattle*
16 *Times* and Jessica Hathaway and her colleagues at *National*
17 *Fisherman* and others can publish articles about this, and bless
18 them for doing so. And the public is so much more aware of this
19 problem now than they were two weeks ago. But, again, that just
20 points out the problem. It doesn't fix it.

21 So my last point, and here I'm speaking hopefully to people
22 who may be watching, and that is political awareness. Things
23 happen in Washington D.C. when powerful politicians are
24 interested. Senators Murkowski and Sullivan and Congressman
25 Young, the entire Alaska congressional delegation has been briefed

1 on this issue. Their staff knows about this issue. I assume
2 Senators Cantwell and Murray would be very interested, and that
3 encompasses the whole body of politicians on a national level that
4 really have an interest in this.

5 I'm going to suggest to the members of the public who may be
6 watching, if you've never written a letter to a senator or a
7 member of Congress, now's the time to do it. And you don't need
8 to be articulate. You don't even need to say very much. Just
9 reference the *Scandies Rose*. Enclose Hal Bernton's article from
10 the *Seattle Times* of last week. They will be well received. They
11 already have that article.

12 Now, in closing, I am no fan of excessive government
13 regulation, and I will tell you my clients are even less enamored.
14 You almost need a law degree to operate a fishing vessel in these
15 fisheries with the various regulations. But my fervent hope is
16 that ten years from now, at some Thanksgiving dinner, a crab
17 fisherman is complaining to his brother-in-law about how tough it
18 is to make a living with all these government regulations: you
19 know, we used to be able to carry 200 crab pots in icing
20 conditions, and now, because of the Coast Guard and the
21 government, we can only carry 100, and it's tough to make a
22 living. The important fact in that story is that he's home for
23 Thanksgiving.

24 Five men died on the *Scandies Rose*. Let's make something
25 positive come of that. Thank you.

1 CAPT CALLAGHAN: Thank you, Mr. Barcott.

2 For the record, Mr. Culver, the last party in interest, has
3 chosen not to make any closing remarks.

4 Today, this formal hearing now comes to a close, and the
5 Marine Board and National Transportation Safety Board
6 investigations transition to the analysis phase. Although there's
7 always a chance that a short hearing session could be convened if
8 new witnesses are identified as the report is being written, I
9 believe we have gathered the factual evidence necessary to proceed
10 with our analysis. However, the Marine Board of Investigation
11 will continue to collect and review any evidence collected or
12 submitted in the future, including submissions to the
13 uscg.scandiesrosembi@gmail.com email address.

14 This investigation and formal hearing faced additional
15 challenges over the past year due to the global COVID-19 pandemic,
16 and although the Board was not able to travel or conduct this
17 hearing as originally scheduled, the Board was able to utilize the
18 time to collect nearly 1,000 pieces of evidence. The amount of
19 information shared with this Board is a testament to the strength
20 and unity of the fishing industry within Alaska and our commitment
21 to be as thorough as possible to best inform potential
22 recommendations to prevent future such incidents.

23 The Coast Guard weighs all evidence and conducts analysis
24 independently from any other party. I'd like to take the
25 opportunity to sincerely thank the National Transportation Safety

1 Board, our parties in interest, government agencies, maritime
2 organizations, company representatives, commercial fishermen, and
3 the individual witnesses who dedicated their time and resources to
4 this monumental endeavor. The collective expertise of those
5 involved in this process has helped to clarify numerous technical
6 and regulatory matters that the commercial fishing industry
7 grapples with on a regular basis.

8 I have also been personally inspired by the solidarity and
9 the selfless spirit which has been clearly displayed throughout
10 the investigation process by those impacted by this incident.
11 Your feedback and suggestions have aided the overall investigation
12 and your commitment to preventing a similar tragedy in the future
13 is noble and appreciated.

14 In closing, I want to emphasize that the members of this
15 Marine Board of Investigation are conducting this investigation
16 with a profound sense of duty to identify the incident's causes to
17 the best of our ability and push for any needed changes to enhance
18 maritime safety. Even though the public side of this
19 investigation is coming to an end, please rest assured that we
20 will work to continue in earnest as the report is drafted and the
21 recommendations are generated.

22 In the interim, I'm confident that conducting the proceedings
23 in this virtual public forum and making them available on the
24 Internet has helped to raise important safety issues that are
25 actively being identified and addressed around the world as we

1 speak today. The industry and those watching these proceedings
2 are talking. From a basic experiment aboard the Coast Guard
3 Cutter *Polar Star* to the call for more detailed analysis of
4 stability and the effects of icing on crab pots, the seed has been
5 planted, and collectively, there's a call to act.

6 For anyone that was not able to see portions of the hearing,
7 all sessions are on Coast Guard livestream site to view at your
8 convenience, and I would recommend that you do so.

9 I encourage industry participation in seeking and promoting
10 positive change to help prevent the loss of life and property at
11 sea. It is your voice that matters the most. You carry with you
12 the long traditions of life working the sea that includes the loss
13 of loved ones and shipmates. We heard numerous times for the past
14 two weeks the call for better regulations during this hearing. On
15 behalf of the Board, I ask you to be involved. Utilize the many
16 resources that were highlighted during these proceedings to
17 implement voluntary interim safety measures. As has been stated
18 multiple times, the regulatory process takes significant effort
19 and time, and while that takes place, there is nothing that
20 prevents proactive implementation, especially if the call for
21 change is coming from within your own community.

22 Additionally, on behalf of the entire Board, I'd like to
23 express our deepest condolences to the families, friends, and
24 shipmates of the fishermen who were lost at sea during this
25 accident, and to the survivors, Dean Gribble and John Lawler, that

1 continue to live through the accident daily. It has been
2 difficult to watch and listen as the struggle to come to terms
3 with this tragedy continues on a daily basis for those affected.
4 It is also important for us as investigators to observe the
5 emotional toll, as that strengthens our resolve.

6 The goal of this Board is to carry out our investigation in a
7 manner that honors loved ones lost in this incident and those that
8 commit their lives to work on the sea. And it is my sincere hope
9 that this formal investigation -- this formal hearing represented
10 that goal.

11 Looking for the right words, I came across this short poem by
12 Christy Ann Martine that I'd like to read for Gary, David, Seth,
13 Brock, and Art:

14 Dance with the waves,
15 move with the seas.
16 Let the rhythm of the water
17 set your soul free.

18 Lieutenant McPhillips, please bring up the prepared slide.

19 Finally, before we adjourn, I'd like to call for another
20 moment of silence to honor those we lost. If everyone could
21 please stand at this time.

22 (Pause.)

23 CAPT CALLAGHAN: Thank you. You may all now be seated. The
24 time is 1015 a.m., March 5th. This hearing is now adjourned.

25 (Whereupon, at 10:15 a.m., the hearing was adjourned.)

CERTIFICATE

This is to certify that the attached proceeding before the

NATIONAL TRANSPORTATION SAFETY BOARD

IN THE MATTER OF: Marine Board of Investigation
Into the Sinking of the *Scandies Rose*
On December 31, 2019

PLACE: Seattle, Washington

DATE: March 5, 2021

was held according to the record, and that this is the original,
complete, true and accurate transcript which has been compared to
the recording accomplished at the hearing.



Jane Gilliam
Transcriber



Karen Ehatt
Transcriber