

UNITED STATES OF AMERICA

NATIONAL TRANSPORTATION SAFETY BOARD

* * * * *

Investigation of: *

*

BOEING 737-800 OVERRUN *

JACKSONVILLE, FLORIDA * Accident No.: DCA19FA143

MAY 3, 2019 *

*

* * * * *

Interview of: JACOB ELDRED

Naval Air Station
Jacksonville, Florida

Sunday,
May 5, 2019

APPEARANCES:

PAUL SUFFERN, Senior Meteorologist
National Transportation Safety Board

I N D E X

ITEM

PAGE

Interview of Jacob Eldred:

By Mr. Suffern

5

I N T E R V I E W

(10:57 a.m.)

1
2
3 MR. SUFFERN: All right. We're started here, we are on the
4 record at 10:57 a.m., on May 5, 2019.

5 And before we get started, Jake, overall, so my name's Paul
6 Suffern, for the record, and I'm an NTSB meteorologist
7 investigator, and so I'm charged with investing the factual
8 evidence surrounding the accident here that happened just on
9 Friday evening.

10 The NTSB is an independent federal agency charged with
11 determining probable cause of the accident, so we're not here for
12 fault, liability, blame or anything like that. We just want to
13 gather the facts, and then issue recommendations to help make
14 things safer so that something like this doesn't happen again.

15 So sometimes we have other members as part of our group, but
16 I'm the only one here, so you just get a meteorologist today.

17 So we can't offer liability or confidentiality in this case,
18 so our design is just to be safety. We're just gathering factual
19 evidence, but it will -- when the investigation goes out, it will
20 all be part of the public docket, so that is one thing we can't.
21 And like I said, if we're on the record, you are allowed to have
22 one representative if you so choose. So would you like to have a
23 representative?

24 MR. ELDRED: No, I'm fine.

25 MR. SUFFERN: Okay.

1 INTERVIEW OF JACOB AARON ELDRED

2 BY MR. SUFFERN:

3 Q. All right, so we'll start off, more or less it'll be clerical
4 questions to start out, just to make sure I have everything
5 correct, and then we'll get to what you experienced.

6 So for the record, could you state your full name and
7 position?

8 A. Jacob Aaron Eldred, and I'm a METOC forecaster and observer
9 for NAS Jacksonville.

10 Q. And could you spell your last name for the record?

11 A. My last name is spelled E-L-D-R-E-D.

12 Q. Okay. And how long have you been here at NAS JAX?

13 A. I've been at NAS JAX since August of 2016.

14 Q. And before NAS JAX, did you have experience as a weather
15 observer or forecaster at any other facility?

16 A. Yes, I did.

17 Q. Okay. What were those facilities?

18 A. The first was -- excuse me -- United States Marine Corps,
19 2006 to 2011, METOC forecaster, analyst and observer. And that
20 was the last job I held as a METOC forecaster.

21 Q. Do you hold a college degree?

22 A. No. I have college credits towards meteorology but not a
23 degree.

24 Q. Could you describe your schedule leading up to the, and the
25 day of the accident?

1 A. The schedule I was on was Monday through Friday, officially
2 1400 to 2200, but we come in 1330 to 2130.

3 Q. So you worked 2 to 10, Monday through Friday, including the
4 accident?

5 A. For this week, yes.

6 Q. Yeah.

7 A. And including the accident, yes.

8 Q. Okay. Did you have any unusual sleep problems or anything
9 like that in the couple days leading up, or everything was normal?

10 A. Yeah, everything was normal. Routine.

11 Q. Was any training being done on the evening of the accident?

12 A. No.

13 Q. As far as your duties here, do you hold any other collateral
14 duties, like do you -- are you -- keep up the SOPs? Are you in
15 charge of focal point for equipment or anything else?

16 A. No.

17 Q. Okay. So on a scale of just 1 to 5, with 5 being the most
18 complex, how would you rate the weather during the day of your
19 shift there? So a 1 would be like CAVU and then a 5 would be
20 hurricane literally right over the station. What would you -- how
21 would you rate --

22 A. I would say a 3.

23 Q. Okay. And as far as do you recall any unusual distractions
24 or things occurring around the time of the accident or anything?

25 A. No. Outside of the weather, no.

1 Q. Have you had a chance to review the weather conditions from
2 the afternoon to evening of the accident? Like gone back to look
3 at the METAR or anything?

4 A. The night of, after the accident, we were archiving the data,
5 was the only time really I looked back at the weather. I just got
6 off shift, so I already had it engraved pretty much, the synoptic
7 situation.

8 Q. All right. So that's kind of more or less the clerical stuff
9 there. To the best of your ability and recollection, could you
10 kind of describe the weather at this point surrounding the
11 accident?

12 A. Yeah. So pretty much the entire shift, it started with just
13 daytime heating initially. Pretty much it was the weak
14 disturbance off the Atlantic coast. All it was really doing was
15 enhancing our sea breeze effect, plus daytime heating. And we
16 really saturated the whole day, so really ripe for thunderstorm
17 activity, and there was pretty much one after another with
18 different triggers.

19 At first, it was daytime heating starting the initial
20 thunderstorm development. Storm motion at the time was
21 southwest/northeast. And then later on it became a west coast sea
22 breeze trigger at low levels. Temperatures aloft minus 9, minus
23 10 at 500 millibars, so there was atmospheric for sustaining
24 thunderstorm activity for most of the afternoon.

25 Then after that, there were some thunderstorms in southern

1 Georgia that started a outflow boundary that came in from the
2 north to due south, and triggered the last wave of thunderstorms
3 during the accident. Watched it go down. I didn't see the
4 outflow boundary on the radar until it went to a more sensitive
5 mode with all the moisture in the atmosphere. Once the outflow
6 boundary was identified, thunderstorms blew up along that line and
7 then moved due east once they formed.

8 Q. Do you remember about how long before the accident the
9 thunderstorm moved in over --

10 A. The thunderstorm developed about 30 to 45 minutes prior to
11 the accident, initial development was noticed on radar, at least.
12 The first lightning strike probably about 20 to 30 minutes prior.

13 Q. So those were -- or leading up to the accident there, that's
14 kind of the weather conditions you -- do you -- could you describe
15 kind of what you remember from the accident sequence? Were you --

16 A. Yeah.

17 Q. -- viewing it and whatnot?

18 A. So pretty much what was going on, we were doing turnover.
19 Mr. Brockman was already sitting in the desk. I call it the "hot
20 seat." You know, he was just sitting ready to go. And I was
21 leaning up on the counter, right here, the tall counters, staring
22 out the window while talking to him, and noticed as I was looking
23 outside, lightning was pretty fierce, right on top of us, and
24 didn't notice a plane landing or hear anything until about -- over
25 in that direction, so maybe about --

1 Q. So for the record, so it was like -- I know the ASOS
2 equipment there is like the half field mark. Do you remember --

3 A. Yeah, I'm trying to see here. Let me just -- I mean, it's
4 about -- the runway's about 8,000 feet, so probably about 2- to
5 3,000 feet from the St. John's River point of the runway, I
6 started to hear reverse thrusters almost instantaneously. I
7 didn't hear an aircraft or see an aircraft landing. I didn't look
8 due west at all to notice. But I was looking straight out the
9 window and noticed the reverse thrusters kick on right about that
10 2- to 3,000-foot runway marker here. And the aircraft was going
11 pretty fast with reverse thrusters going.

12 And first thing I do is say to Mr. Brockman, I was like, that
13 airplane's going pretty fast, you know, pretty much in those
14 words. And he turned around in his chair and looked out the
15 window as well, and he was -- pretty much reflected the same
16 thing, he was like, "Oh, man," you know. And we both got up and
17 looked and Mr. Brockman was like, that plane's not stopping. And
18 pretty much watched it go and go to the end of the runway.

19 After that, I did hear a splash. It was very subtle but I
20 heard it. And as soon as that splash went off, that's when the
21 crash phone went off, and Mr. Brockman answered the crash phone
22 and immediately jumped into the taking the SPECI.

23 Q. Do you remember or do you recall seeing any type of rooster
24 tail with the rain that had fallen? Any -- anything as far as the
25 wheels or coming from the back of the airplane?

1 A. No. All I noticed was, like I said -- I mean, now that I'm
2 looking at it now, I can see that Number 7 way out in the runway,
3 and the reverse thrusters kicked on, you know, a couple hundred
4 feet past that.

5 But no, I didn't notice anything of that. All I noticed was
6 the lights of the airplane and just a bunch of water kicking up
7 off the runway with their thrusters going on. Just watching this
8 thing go by pretty quick.

9 Q. All right. So just in general, moving away a little bit from
10 the accident sequence -- and if you need a break at any time --

11 A. That's fine.

12 Q. -- let me know. How do you become aware of changing weather
13 conditions, just in general?

14 A. Just like going from like into thunderstorm development or --

15 Q. Just for your normal day ops, stuff like that, do you have,
16 you know -- I mean, you obviously got the METAR and the ASOS right
17 there, but are there programs that you use to --

18 A. Well, and I mean, as far as like changing weather conditions,
19 we do go outside every hour to take the observations, so we do
20 notice when we're taking our sky condition or our visibility
21 marks. But outside of that, in between observations, if it starts
22 getting -- especially if we're expecting it, you know, we have
23 radar and lightning detection pulled up; one's supplied by
24 Norfolk, and I pay for a Weather Tab program, that also has
25 lightning detection within 25 miles.

1 I first noticed with this one the cell development on radar.
2 I had base reflectivity, composite reflectivity, VIL, and
3 hydrometeor classification and an echo tops. Then I noticed on
4 first base reflectivity cells blooming up, then went straight to
5 echo tops and then saw the growth pretty fast. From that point
6 on, switched to lightning detection from Norfolk site and noticed
7 the first strike. So, but in general, that's usually what it is.
8 It's kind of a set up with radar and lightning satellite imagery.
9 Things like that.

10 Q. And so, and I've learned about that ya'll particularly
11 here -- there you go, I'm from North Carolina; you probably missed
12 the "ya'll" -- have criteria for watches and warnings here for the
13 base.

14 A. Yes.

15 Q. So was there a watch or warning out at the time that you can
16 recall?

17 A. Well, I'll start from the beginning on that one.

18 Q. Okay.

19 A. At least from the 23Z TAF, which goes out at 1900 local. We
20 initially had our thunderstorm watch to end at 2100 local. But
21 when I wrote the TAF and submitted it at 23Z 1900, I went ahead
22 and extended the thunderstorm watch until midnight. The
23 atmospheric conditions were still pretty ripe for development,
24 albeit not as robust as it was in the afternoon with the heating
25 gone.

1 So we had the -- I had the watch out till midnight local,
2 gave the turnover to Norfolk, and there was no warning out before
3 the development. Once development started and the first lightning
4 strike appeared on lightning detection, I called Norfolk, and they
5 went ahead, and I talked to the RPDO Tom Tous (ph.), and he went
6 ahead and issued a thunderstorm warning almost immediately. So we
7 had a thunderstorm watch in place, a thunderstorm warning in
8 place, and also I had lightning within 5 called out before the
9 accident.

10 Q. So can you tell me about the ASOS out there? Do you feel its
11 reliable as far as providing you information and stuff?

12 A. Absolutely. I mean, it has its faults, like every weather
13 sensor we've ever dealt with. Usually certain things -- you know,
14 it will have its issues and the techs will deal with it, but for
15 the most part it's a very reliable system. I've had no personal
16 problems with it.

17 Q. Okay.

18 A. Nothing that we couldn't back up anyway. So --

19 Q. So have you had to update things like the visibility or
20 ceiling or things like that when you take the -- is there any of
21 them that cause issues?

22 A. No. I've seen the wind sensors go down occasionally. Not
23 often, you know, but they've gone down occasionally, usually
24 during -- there's really not a pattern to when they go down; it's
25 just sometimes they do.

1 Visibility -- visibility's reliable after maybe a minute. It
2 has to catch up and do its calibration before it sees what's going
3 on. We'll notice it first, and especially if it's foggy in one
4 spot and not in the other, it sees it as a mile while we see it as
5 sector viz, for instance. So it has those small faults but it's
6 never crashed on my watch, at least, you know.

7 Q. And how does the relay of information go between you guys as
8 weather observers and the air traffic control tower? Do they
9 provide you with their tower viz and you guys input that? Or do
10 they say, hey, it looks like the visibility or ceiling is
11 different here and they don't, quote/unquote, "force you" to go
12 take a SPECI but you go outside and take a look and see if it
13 needs a SPECI?

14 A. It's been a mix of both.

15 Q. Okay.

16 A. It's been a mix of where they would call down and they'd have
17 a tower viz. Usually they would just say, hey, tower viz is this,
18 and we put it into METAR.

19 Q. METAR, okay.

20 A. Other times, tower would call down and say, hey, we think
21 it's this, as you said, and we'd go out and double check. Because
22 our check points are different from theirs, you know, so we go out
23 and double check and see what it is, whether we entertain that
24 visibility or not, dictate what we go outside and see.

25 Q. So when you said the checkpoints are different than -- their

1 checkpoints are different than yours, do they have a different
2 book, as far as, you know, that location over there is --

3 A. I don't know what --

4 Q. -- a half mile --

5 A. I don't know what procedure book they have to be honest with
6 you.

7 Q. Yeah. Do you guys have a local copy of your sector viz
8 stuff --

9 A. Yes, we do.

10 Q. -- that I could get a copy of?

11 A. Yes.

12 Q. Okay. So I'm somewhat familiar of the weather observer
13 position having been done one before. What does it mean to be a
14 weather forecaster though, because you kind of have that dual
15 capability there?

16 A. Really, it -- I think it's beneficial. We get to obviously
17 observe the weather and it goes into our forecast instead of
18 relying on a -- for instance, like Norfolk where the observer's on
19 a station and they're somewhere else. We kind of see what we're
20 getting and the reaction time is exponentially quicker. And
21 conditions change.

22 Q. So as a weather forecaster, what do you provide? Do you do
23 TAFs, watches and warnings, those kind of things, or is there
24 anything else?

25 A. It's TAFs, watches and warnings, flight briefs; we do those

1 here.

2 Q. Okay.

3 A. For tenant commands and local commands here. You know, and
4 also any kind of over-the-counter briefs, anyone needing a
5 forecast, you know, just radar checks, METSAT, anything like that.

6 Q. As far as local briefs and stuff like that, is it folks from
7 on base here, going to take off here and then go somewhere else,
8 or is it a -- do you ever get calls from, hey, somebody's flying
9 in from Tampa --

10 A. Right.

11 Q. -- and they need a brief because they're going to fly into --

12 A. What -- normally how it works here, if they -- we only give
13 them a flight brief if they leave here.

14 Now there are exceptions to the rule. Like, for instance, if
15 they fly to, say, Tampa but they're going to stay on deck for more
16 than an hour or two past refueling time, then no, we'll make them
17 get another brief from Fleet Weather Center Norfolk because
18 they're leaving Tampa, as opposed to coming, you know, just coming
19 back here. So they have to leave here. And once they leave here,
20 it's pretty much our baby, in essence, you know.

21 Q. Okay.

22 A. Even round-robin flights, if they've left here, it's ours.

23 Q. All right. I mean, that's -- I think that's pretty much most
24 of what I had. Is there any questions that I didn't ask that you
25 -- or any information that I didn't ask of that you would like to

1 -- you can think of?

2 A. No. The -- and like I said, the weather situation was -- it
3 wasn't anything outside of the norm. You know, it wasn't severe,
4 and there's no storm prediction center, you know, anything like
5 that involved in this. You know, for a thunderstorm, you know,
6 the wind speeds were remarkably lower than what we anticipated,
7 and, you know, it really -- and the visibility would seat down but
8 it never really got below 3 statute miles. So it was really just
9 a lightning show and some rain, you know, and -- but albeit, it's
10 still a thunderstorm, dangerous nonetheless, but -- but just the
11 essence of how it popped up and it was an outflow boundary, you
12 know, things like that.

13 So no, I mean, outside of that, it was something we've seen
14 normal time in the summer.

15 MR. SUFFERN: I have -- I'll end --

16 (Whereupon, the interview was concluded.)

17

18

19

20

21

22

23

24

25

CERTIFICATE

This is to certify that the attached proceeding before the

NATIONAL TRANSPORTATION SAFETY BOARD

IN THE MATTER OF: BOEING 737-800 OVERRUN
 JACKSONVILLE, FLORIDA
 MAY 3, 2019
 Interview of Jacob Eldred

ACCIDENT NO.: DCA19FA143

PLACE: Jacksonville, Florida

DATE: May 5, 2019

was held according to the record, and that this is the original,
complete, true and accurate transcript which has been transcribed
to the best of my skill and ability.

