

UNITED STATES OF AMERICA

NATIONAL TRANSPORTATION SAFETY BOARD

* * * * *

Investigation of:

*

*

NATURAL GAS DISTRIBUTION PIPELINE

*

LEAK AND MULTISTORY STRUCTURE

*

EXPLOSION IN HARLEM, NEW YORK

*

MARCH 12, 2014

*

*

* * * * *

Interview of: JOHN DiMiceli

Consolidated Edison

4 Irving Place

New York, New York

Thursday,

August 7, 2014

The above-captioned matter convened, pursuant to notice.

BEFORE: RAVI CHHATRE

Investigator-in-Charge

APPEARANCES:

RAVI CHHATRE, Investigator-in-Charge
National Transportation Safety Board
Washington, D.C.

KALU KELLY EMEABA, Accident Investigator
National Transportation Safety Board

MATTHEW NICHOLSON, Accident Investigator
National Transportation Safety Board

FRANK McCARTON, Deputy Commissioner
Office of Emergency Management
New York, New York
(Party Representative)

ANASTASIOS GEORGELIS, Director of Field Operations
Bureau of Water and Sewer Operations
Department of Environmental Protection
New York, New York

LEONARD SINGH, Chief Engineer
Gas Distribution Services
Con Edison
(Party Representative)

CHRIS STOLICKY, Utility Supervisor (Safety)
New York State Department of Public Service
(Party Representative)

LaASIA HUNDLEY, Quality Assurance Manager
Gas Operations
Con Edison

ROBERT ALBANO, Esq.
(Representative on behalf of Mr. McBrien)

<u>ITEM</u>	<u>I N D E X</u>	<u>PAGE</u>
Interview of John DiMICELI:		
By Mr. Chhatre		6
By Mr. Emeaba		9
By Mr. Nicholson		13
By Mr. Emeaba		14
By Mr. Chhatre		19
By Mr. Emeaba		20
Mr. Nicholson		27
By Mr. Emeaba		28
By Mr. McCarton		34
By Mr. Emeaba		35
By Mr. Chhatre		37
By Mr. Emeaba		38

1 I N T E R V I E W

MR. CHHATRE: Good afternoon. Today is Thursday, August 7, 2014. We are currently in Con Edison's facility located at 4 Irving Place, New York and we are meeting regarding the investigation of a natural gas distribution pipeline leak and multi-story structure explosion that occurred on March 12, 2014 in Harlem, New York.

My name is Ravi Chhatre. I'm with the National Transportation Safety Board located in Washington, D.C. and I'm Investigator-in-charge of this accident. The NTSB investigation number for the accident is DCA-14-MP-002.

I would like to inform everyone present in this room that we are recording this interview and we may transcribe it at a later date. Transcripts will be provided directly to the interviewee for review and identifying any typographical errors. The transcripts may be posted in NTSB's public docket.

Also, I'd like to inform Mr. John -- DiMiceli?

MR. DiMICELI: DiMiceli, yes.

MR. CHHATRE: DiMiceli -- you are permitted to have one other person present with you during the interview. This is a person of your choice: your supervisor, friend, family member or, if you choose, no one at all.

Please state for the record your full name, spelling of your name, organization you work for and your title, business contact information such as mailing address. and who you have

1 chosen to be present with you during your interview.

2 MR. DiMICELI: My name is John DiMiceli. I'm a
3 supervisor for leak survey.

4 MR. SINGH: Spell your name, John.

5 MR. DiMICELI: D-i-M-i-c-e-l-i, J-o-h-n, John.

6 MR. CHATTRE: And whom you have chosen to be with you?
7 Okay.

8 MR. ALBANO: Robert Albano.

9 MR. DiMICELI: Robert -- I'm sorry. Robert.

10 MR. ALBANO: Yes. That's okay.

11 MR. CHATTRE: Thank you. Now I'd like to go around the
12 room and have each person introduce themselves and please state
13 your name, spelling of your name, your title, organization you
14 represent and your business contact information, starting from my
15 right.

16 MR. NICHOLSON: Matthew Nicholson, NTSB investigator.
17 Spelled M-a-t-t-h-e-w, N-i-c-h-o-l-s-o-n. E-mail:

18 [REDACTED]

19 MR. EMEABA: Kalu Kelly Emeaba -- K-a-l-u, K-e-l-l-y,
20 E-m-e-a-b-a -- NTSB Investigator. My e-mail address

21 [REDACTED]

22 MR. McCARTON: My name's Frank McCarton. I'm a Deputy
23 Commissioner in the Office of Emergency Management here for the
24 City. I am the New York City party rep on this investigation, and
25 my e-mail address is [REDACTED]

1 MR. ALBANO: Robert Albano, R-o-b-e-r-t, A-l-b-a-n-o.

2 I'm here accompanying Mr. DiMiceli.

3 MR. SINGH: Leonard Singh -- L-e-o-n-a-r-d, S-i-n-g-h --
4 Chief Engineer, Gas Distribution for Con Edison; the NTSB party
5 rep on this team for Con Ed. [REDACTED]

6 MR. STOLICKY: Chris Stolickey, S-t-o-l-i-c-k-y. I'm the
7 New York State party rep in this investigation. I'm Utility
8 Supervisor (Safety), New York State Department of Public Service.
9 E-mail address is [REDACTED]

10 MR. CHHATRE: Thank you. Mr. DiMiceli --

11 MR. DiMICELI: Yes.

12 MR. CHHATRE: Oh, I'm sorry.

13 MS. HUNDLEY: LaAsia Hundley, L-a-A-s-i-a, H-u-n-d-l-e-
14 y, Section Manager for Gas Quality Assurance. [REDACTED].
15 And I'm accompanying Lenny Singh.

16 INTERVIEW OF JOHN DiMiceli

17 BY MR. CHHATRE:

18 Q. Mr. DiMiceli, for the record please state your formal
19 education, informal education, any experience, and your
20 responsibilities.

21 A. I have a high school degree with 2 year at -- 1½ year of
22 college, did not complete college.

23 Q. Okay.

24 A. I am a supervisor in leak survey at the moment. I'm in
25 charge of the leak survey group that surveys the gas system for

1 Con Ed.

2 Q. Okay. And how many people are in your group that
3 conduct leak surveys?

4 A. Fourteen.

5 Q. And what kind of training do you offer these people to
6 qualify them as leak surveying people?

7 A. We give them a 2-year training, in-house training, where
8 they are to learn to walk services, to learn the mobile services,
9 how to classify leaks and how to investigate leaks.

10 Q. Do they go through Con Edison's training center?

11 A. They go the training center to get op qualled in walking
12 survey, but the mobile survey is done in-house by me.

13 Q. Okay. And to be clear, what is the training again? For
14 mobile survey --

15 A. It's --

16 Q. -- what's involved in the training?

17 A. The mobile surveys you have to train them out at
18 (indiscernible). They have to go on, how to turn on the units,
19 what to do with the unit, make sure the unit is working correctly
20 and whatnot. That's a DP-IR for the record. And also the way --
21 how to read a map, general mains map or M&S plates, for that
22 matter, to locate the main, which side of the street the main
23 might be located or it be in the sidewalk or otherwise.

24 Q. And is there a training curriculum or manual for that or
25 it's (indiscernible) basis?

1 A. It's -- everything is done hands-on type of training
2 because we have to physically understand that the individual knows
3 how to read an M&S plate, how to read our general mains map, has
4 to be able to -- how he would react if once the alarm goes off and
5 the procedure or investigate a leak, make sure he does everything
6 correct and according to spec.

7 Q. And can these people do the survey independently or --

8 A. Everyone is independent, except during training. Doing
9 the training they will be paired up with somebody for a period of
10 no more -- no less than 2 years.

11 Q. No less than?

12 A. In 2 years.

13 Q. Two years. Okay. So for 2 years they are shadowing
14 somebody?

15 A. Absolutely correct.

16 Q. And how are they qualified after 2 years that, okay, now
17 you are trained enough to do this --

18 A. They have to go take a test at the learning center for
19 promotional test. It's a promotional test.

20 Q. Okay.

21 A. They go to -- the first year they go to a electric test
22 which is a written test; and then go through another year of
23 training and they come to me for the mobile service test that's
24 given by me. Like I said, I'm the SME --

25 Q. Right.

1 A. -- for the company; not normally for my department, but
2 for the company itself.

3 Q. Okay. And then they go to training center if they pass?

4 A. Excuse me?

5 Q. After 2 years of shadowing a person --

6 A. Yes. Right.

7 Q. -- then you said they had to pass an exam before they
8 can go --

9 A. No, they actual exam is a -- it's a written portion of
10 the -- the senior technician has to take that first at the TLC.

11 Q. Okay.

12 A. Once they pass that particular written portion of it
13 they come back and I will give them a mobiles test, which is done
14 by, like I said, once again, by me.

15 Q. Okay. Is it a formal test? Or you developed test --

16 A. Everything is formal, yes. It's approved by TLC and
17 directly it was -- it's given back to the TLC and they keep it on
18 record, and which in turn they'll be given an op qual card.

19 Q. And do you cover all five boroughs or you are just
20 Manhattan?

21 A. We cover five boroughs, including Westchester.

22 MR. CHHATRE: Okay. And at this point, I'll stop and
23 let Kelly take over. He's the one more interested in this.

24 BY MR. EMEABA:

25 Q. Please, can you define TLC, please?

1 A. Training center. The TLC represents the training center
2 for Con Ed. It's the learning center which we go to for training,
3 for formal training, more or less.

4 Q. Okay. And the SME is what?

5 A. It's a senior specialist for the group itself. It's --
6 SME is a subject matter expert for whatever training you're given,
7 and my training would be the DP-IR and mobile survey.

8 Q. Okay. So all your technicians are trained by TLC?

9 A. They're trained for the TLC for the walking portion of
10 it, but they are trained by me for the mobile portion of it.

11 Q. Okay. How were you trained?

12 A. I was trained by the -- where the hell was I trained? I
13 was trained by another foreman when I came in there. With years
14 in the department I became and SME, subject matters expert.

15 Q. Okay. You were trained by a foreman?

16 A. Yes, the foreman that I was prior to -- before.

17 Q. Okay. Did you ever go to TLC yourself?

18 A. Absolutely. My promotional test was through the TLC. I
19 was approved by the TLC to become an SME, yes.

20 Q. Okay. Do you have a idea how many trainers you have at
21 the TLC?

22 A. Number of people?

23 Q. Yes.

24 A. I could not even tell you. It would be a wild guess.
25 No, to would be a guess at the number of trainers.

1 Q. Do you currently visit TLC while you are -- I know you
2 have to --

3 A. I go to -- yeah.

4 Q. -- (indiscernible) or your workers go there for
5 training?

6 A. Whenever the need come to play, yes. For my personal
7 training or other trainings, yes.

8 Q. Okay. Do you have an idea how your trainers at TLC
9 acquire the skills to train new people?

10 A. For the DP-IR, actually the people from Heath, which
11 developed the DP-IR, came to TLC and trained the trainer, they
12 call it. So they trained us on the unit. As far as the mobile
13 portion of it, the vehicle itself, is being -- is done in-house,
14 which we do ourselves. So the training for the unit came from the
15 Heath Corporation which came in-house and trained us.

16 Q. So more or less going to TLC is for people to be trained
17 on instrument, use of instrument?

18 A. Instruments, yes.

19 Q. Okay.

20 A. And, of course, knowledge of leaks, (indiscernible),
21 classification of leaks and stuff like that.

22 Q. So does that mean that the people at TLC that train you
23 are virtually outside contractors that comes in to do that?

24 A. No, I was trained by one outside contractor, and that
25 was the SME for Heath that we purchased the unit from. After

1 that, everybody's a -- in the TLC is not a contractor. Those are
2 union -- is a management employee.

3 Q. Okay. Do you know anything about NACE, National
4 Association of Corrosion Engineers?

5 A. Yes, I do. I was -- at one time I was in corrosion,
6 too.

7 Q. You were in NACE?

8 A. Yes.

9 Q. Okay. Do you have certification in that area?

10 A. I used to have it, but it dropped off. I haven't been
11 in corrosion for a number of years.

12 Q. Okay. Does your leak system, leak survey system, can
13 you tell us more about it, the type of leak survey you conduct --

14 A. Right.

15 Q. -- duration or the time whenever these leaks are
16 conducted, and also the one that affect even the general area of
17 this accident?

18 A. The mobile survey is done once a year, and that
19 system-wide, which entails approximately 4300 square miles of
20 mains that we do once a year. The BD portion, which is the
21 business areas, which entails -- to become a business district you
22 have to 51 percent or more and in a given block to be a business,
23 and that's would be declared to be a business area. That's done
24 once a year. Again, that's done walking every services in that
25 area.

1 The numbers, which is residential area, that's done --
2 that's divided into 3 years. The system is done -- one-third
3 every year gets done. After the 3-year program, which the whole
4 system would be done which entails about 350,000 services,
5 roughly.

6 MR. CHHATRE: 300- ?

7 MR. DiMICELI: 50,000.

8 BY MR. EMEABA:

9 Q. What is that figure again, please?

10 A. 350,000. That's roughly a number, I guess.

11 Q. What is that number?

12 A. 350,000 services that we actually walk every year -- not
13 every year -- every three years. That's --

14 BY MR. NICHOLSON:

15 Q. 350,000 services.

16 A. Yes.

17 Q. Is that what you're saying?

18 A. Individual private houses.

19 Q. Right.

20 A. All houses, yes. A service is a service going into a
21 house.

22 Q. Right.

23 A. Could be a one-family house, could be multi-family
24 house.

25 Q. That's every three years; is that what you're --

1 A. It's done once every 3 years, the non-business --

2 Q. Walking?

3 A. Walking, yes.

4 Q. Okay.

5 A. The mobile --

6 MR. STOLICKY: There's 1 million services in your
7 territory broken up into thirds?

8 MR. DiMICELI: Right.

9 MR. STOLICKY: I think that's what I'm understanding.

10 BY MR. EMEABA:

11 Q. So your business district is annually?

12 A. Annually, yes.

13 Q. Okay. And the area that cover Park Avenue, meaning the
14 area of incident --

15 A. Yes.

16 Q. -- where does that fall in?

17 A. That particular one -- 116th Street south is considered
18 business. 116th through 117, I believe it was, it was not
19 considered business because there was no business in that
20 particular block over there. The corner store wasn't a 116
21 address. It wasn't a Park Avenue address.

22 MR. NICHOLSON: So, I'm sorry, 116 in south is business.

23 MR. DiMICELI: Right, in other words, this is 116. See
24 this here. This particular block is not considered business
25 because you don't have any stores here. There's a store here, but

1 it has a 116 address.

2 MR. CHHATRE: But wasn't there a piano store?

3 MR. DiMICELI: Yeah, but it has to be 50 percent or

4 more.

5 MR. CHHATRE: Say that again.

6 MR. DiMICELI: Fifty percent or more. If you don't have

7 50 percent or more it's not considered business.

8 MR. CHHATRE: So this is --

9 MR. NICHOLSON: Fifty percent or more --

10 MR. DiMICELI: Houses. So in other words, you don't

11 want --

12 MR. NICHOLSON: Okay. You count the number of homes; 50

13 percent or more have to be businesses.

14 MR. DiMICELI: Right.

15 MR. NICHOLSON: Okay.

16 MR. DiMICELI: Otherwise it will not be considered

17 business. So one business does not make it a business district.

18 MR. CHHATRE: So buildings are actually the

19 (indiscernible) places are 50 percent?

20 MR. DiMICELI: The what?

21 MR. DiMICELI: There may be only four buildings --

22 MR. DiMICELI: Right.

23 MR. CHHATRE: -- so two will qualify business or because

24 you have two buildings --

25 MR. DiMICELI: Yes. If you have four buildings, two

1 will qualify business, yes.

2 MR. CHHATRE: Okay. So it is building not number of
3 people. It's --

4 MR. DiMICELI: No. No. No.

5 MR. CHHATRE: You may have 55 people living in, so you
6 are not really counting those as --

7 MR. DiMICELI: We don't count meters. We don't count
8 people who (indiscernible) --

9 MR. CHHATRE: Business.

10 MR. DiMICELI: Right.

11 MR. CHHATRE: Thank you.

12 BY MR. EMEABA:

13 Q. Okay. I'm happy for your analysis or with the analysis.
14 But let's look at this way, the block between 116 and 117 --

15 A. Right.

16 Q. -- the other one has actually two addresses. One of
17 them is on 116; that be at 116 deli.

18 A. Right the deli.

19 Q. It's an angled house.

20 A. Yes.

21 Q. One segment of his place is 116 and one segment of his
22 place is Park Avenue, and on the Park Avenue it does have an
23 address which is [REDACTED], so --

24 A. Our record shows that as being a 16th Street address.
25 That's all I can say.

1 Q. All right. Okay. Then you said about 50 percent.

2 A. Right.

3 Q. So if you look at 50 percent you have the church -- the
4 church is business, correct?

5 A. No.

6 Q. You don't -- that is just -- place of your assembly is
7 not -- you don't see that as business?

8 A. No.

9 Q. So virtually it's the piano shop that you consider being
10 business?

11 A. Exactly.

12 Q. Okay. So as a result, where does it put that segment?

13 A. NBD in the three-year cycle.

14 Q. Three year cycle.

15 A. But the mobile --

16 MR. NICHOLSON: NBD?

17 MR. SINGH: Non-business district.

18 MR. DiMICELI: Not business district, I'm sorry. But
19 the mobile is done annually in that block. The mobile survey, the
20 main, the gas main is done annually.

21 BY MR. EMEABA:

22 Q. Okay. So you have the mobile --

23 A. That's annually.

24 Q. That's annually.

25 A. Right.

1 Q. And you have the walking --

2 A. Which is to consider NBD, be done every three years.

3 Q. Walking, three-years.

4 A. Right.

5 Q. Okay. When you conduct annual, mobile survey, leak
6 survey --

7 A. Right.

8 Q. -- how is that normally performed?

9 A. Beg your pardon? Say again. I didn't quite --

10 Q. When you conduct your mobile survey --

11 A. Right.

12 Q. -- or when -- if you conduct it, how is it normally
13 done? Can you describe how it's done?

14 A. How it is normally done? It's given to an individual
15 that works for me, which is qualified, op qualled, to --

16 Q. What do you give to an individual? Just --

17 A. We give him a map, a general mains map and M&S plate
18 affiliated with the general mains map, which shows where the main
19 is located, what side of the street is the main located, the north
20 side, the east side.

21 Depending on where it is located, the individual, the
22 technician, has to mobile over the main or as close to the main as
23 possible. Now you're seeing -- you cannot consider a double park
24 being close to the main. If you have double parked cars we go
25 back and we do the survey either later on during the day or the

1 following day or whatnot. You have to, you got to be the -- one-
2 car distance to be considered a good survey for us.

3 MR. NICHOLSON: Say that again. I'm sorry. You have to
4 be what?

5 MR. DiMICELI: In other words, if the main is under the
6 -- 6 feet from the curb, and you have a car parked over it.

7 MR. NICHOLSON: Right.

8 MR. DiMICELI: You still consider that a good survey.
9 But if you have a double-parked car, two cars in there, that's not
10 considered -- we have to go back and do it again either later on
11 or during the day or at another time. So we don't take credit for
12 that particular plot.

13 BY MR. CHHATRE:

14 Q. This is Ravi. So you are saying you can be 6-foot away
15 from your main --

16 A. Right. Right. Driving 5 miles an hour.

17 Q. And that survey still will be good?

18 A. Yes.

19 Q. Okay.

20 A. We drive approximately 5 miles an hour down the block.
21 We have -- in the vehicle itself there's a pump, an external pump,
22 and in the unit itself, the DP-IR, the Detecto Pak unit has an
23 internal pump. But the external pump is the main pump that draws
24 the sampling into the vehicle and passes it on to the DP-IR which,
25 in turn, with the internal pump takes whatever it needs to sample

1 the air, which is -- the only thing that the Detecto Pak is
2 looking for is methane. Methane. That's the only thing it's
3 looking for. Any other gases it would not alarm. So
4 -- but it once it detects methane -- and that's parts per million.
5 We usually just set up our unit about 3 parts per million, one
6 part above the ambient reading of New York City.

7 MR. NICHOLSON: Oh, that's what you set them -- that's
8 what you calibrate to?

9 MR. DiMICELI: Exactly.

10 MR. NICHOLSON: Three ppm -- what did you say?

11 MR. DiMICELI: Three parts per million.

12 MR. NICHOLSON: And that's about the background --

13 MR. DiMICELI: It's a 2 in New York City. Let's just
14 say it's about a 2.

15 MR. NICHOLSON: Okay.

16 MR. CHHATRE: But you don't do that survey walking on
17 the line?

18 MR. DiMICELI: When you're mobiling, you're mobiling the
19 main.

20 BY MR. EMEABA:

21 Q. You are describing the mobile.

22 A. Okay. When your mobile unit -- actually you're sitting
23 in a vehicle.

24 Q. Correct.

25 A. It has four cones in front of it. Those four cones goes

1 into a manifold inside under the hood, and then goes from four to
2 one and the hose goes inside a vehicle which is connected to a
3 pump which draws about 10 liters per, you know, 10 liters per
4 second -- per minute. From that pump it gets drawn into another
5 hose into the unit itself, which has a pump, an internal pump.
6 That internal pump is about 2 liters and it draws the sampling
7 itself into the -- into itself --

8 Q. Okay.

9 A. -- and it analyzes.

10 Q. The sensing device, where is that actually located?

11 A. In the unit, a DP-IR unit itself.

12 Q. Where is that mounted?

13 A. It's mounted in -- it's in a cradle in the vehicle
14 itself.

15 Q. In the vehicle.

16 A. Yes.

17 Q. How does the -- and I put it that way, magnetic or
18 sensing mechanism, is it something that goes horizontally or
19 drop to the floor, or how does it go for you to pick up the --

20 A. It's cones. Actually it's a hose about a quarter inch
21 in diameter. There's four hoses evenly separated from the --
22 starting from the left to right; we put it in equally separated.
23 So in other words, you got four different hoses, plastic hoses
24 going down quarter diameter-wise. At the end of that you have --
25 do you know what (indiscernible) ball looks like cut in half?

1 Q. Yeah.

2 A. We attach it to that -- to the bottom of that. And then
3 a hose goes, like I say, inside a hood itself into a manifold
4 which from -- all four hoses from the front go into this manifold.

5 From that manifold only one hose comes out of it, and
6 that one hose goes inside a unit which is attached to the internal
7 pump which is drawing 10 liters at all times. And there's a liter
8 flow attached to the stand which tells you that that pump is
9 working good. At all times you can look at it and you know that
10 pump is working good by just looking at the liter flow.

11 Q. Okay.

12 A. And then from that -- from the pump it's given -- it
13 goes to the unit that's identified methane or not.

14 Q. How is that instrument calibrated?

15 A. It self-calibrates itself every time you turn it on. We
16 don't calibrate, we don't touch, we don't open it. Every time you
17 turn the unit on, the unit goes through a period of about 5 to 20
18 minutes warm-up time, they call it. It will calibrate itself.

19 Before you go proceed with the actual survey, whether it
20 be walking or mobiling, you have to go through -- you have to put
21 the unit through a self-test, they're called.

22 Q. Okay.

23 A. The self-test is you push the button, the manual goes
24 into self-test. There's a prison inside a unit which is sealed
25 you cannot see it. You hear the click in front of the light.

1 Inside the prison there's methane gas, 2.5 -- I'm not quite sure
2 how much the percentage is, but it's enough to have the unit
3 calibrate itself. Once it does its own calibration the unit tells
4 you, yes, calibrated okay or fail. If it failed, the unit cannot
5 be used.

6 That particular calibration memory is retained in the
7 unit. We have about 2,000 -- the unit could retain about 2,000
8 calibrations. So we could go back, say, and that particular date,
9 if it's not -- as long as less than -- no more than 2,000, you can
10 look at it, this given day it was calibrated.

11 Q. Okay.

12 A. And this is done at least once a day as long as you
13 don't shut the unit off, or as many times as you want. If you're
14 not quite certain, you know, if you're not sure, you could
15 calibrate the unit as many times as you want.

16 Q. Okay. Are there times when the equipment is actually
17 taken back to the manufacturer for a calibration?

18 A. Absolutely. At least once a year the manufacturer comes
19 to us and he calibrates -- we have a self -- they come and
20 calibrate all the units and they give us certificates which we
21 have on record for that. Every unit is calibrated by an
22 independent contractor.

23 Q. Okay. When was the last time that mobile leak survey
24 was done between the segment of 117 and 116?

25 A. Well, the only thing I can tell you, this particular

1 year was a little different than any other year. That particular
2 segment was done three times this year; twice in the winter months
3 because of the of the severity of the winter because it was so
4 cold and the fluctuations in weather, we initiated what they call
5 high speed patrol, which is done about 15 miles --

6 Q. I speed what?

7 A. High speed patrol.

8 Q. I speed?

9 MS. HUNDLEY: High speed.

10 BY MR. EMEABA:

11 Q. Oh, high speed?

12 A. Yes. In other words we do right now, we first start at
13 5 miles an hour -- 5 to 8 miles an hour. This particular survey
14 is done 15 miles an hour.

15 MR. NICHOLSON: One-five?

16 MR. DiMICELI: One-five. We are trying to capture any
17 possible broken mains. They call it cast iron patrol where we
18 want to make sure there's no cracked mains and whatnot. This was
19 done twice this year prior to the regular survey which, was done
20 about a few weeks ago.

21 BY MR. EMEABA:

22 Q. Okay. When were those -- do you have an idea dates of
23 those surveys that were done?

24 A. Which ones? The three of them?

25 Q. So you said the three of them that were done.

1 A. Yes, they were done in February. The actual dates, I
2 don't have here, but there was two done in February specific.
3 They were a couple weeks apart.

4 MR. SINGH: We have provided that information already.

5 MR. NICHOLSON: Okay. So we have the leak surveys?

6 MR. HUNDLEY: Um-hum.

7 BY MR. EMEABA:

8 Q. February of?

9 A. Of 2014. But the actual survey that is -- which we put
10 on personal record was done in June. Because what we do is we
11 start --

12 Q. That is post, okay, post-accident.

13 A. No. That's a yearly survey that we -- in other words --

14 Q. No, no, we're actually discussing the mobile.

15 A. Yeah, I'm discussing the mobile ran, too.

16 Q. Okay.

17 A. The whole system has to get done within a period of 12
18 months.

19 Q. Yes.

20 A. Now, picture this. We start from the lower end of
21 Manhattan, which is Wall Street. By the time we get to 116th
22 Street it's about June.

23 MR. NICHOLSON: Okay.

24 MR. DiMICELI: Which was done in June, like I said.

25 BY MR. EMEABA:

1 Q. June of 2013?

2 A. '14.

3 Q. Okay. For this year?

4 A. For this year.

5 Q. After you've done it in February?

6 A. That was done because of the high speed patrol. It was
7 not considered record -- we don't keep that record, per se, for an
8 annual survey but we keep it for our high speed patrol. We do
9 keep a record of it, but for different reasons. For high speed
10 patrol, we keep in our record, we say we initiated a high speed
11 patrol. But we also keep the main record, which is -- we keep it
12 for forever actually.

13 Q. Okay.

14 A. Our survey record, which is for the year, was done in
15 June.

16 Q. Okay. I thank you for that.

17 What I was actually trying to get at is to also know the
18 mobile survey that was done pre -- before the accident.

19 A. That was the two of them that we did in February.

20 Q. Two of them or three of them?

21 A. Huh?

22 Q. Two or three?

23 A. In February -- we did two before the --

24 Q. And then June?

25 A. And then June we did it because we had to do it because

1 it's our yearly survey, not because anything what happened there,
2 because that's when we got to that location, to that particular
3 area to do our regular yearly survey.

4 Q. If I -- just back up a little bit. When you conducted
5 the first one in February --

6 A. Yeah.

7 Q. -- okay, what made you do it a second time?

8 A. Because of the whether fluctuation, the temperature and
9 weather, so we're not in the -- and the frost.

10 Q. Okay. Okay. Do you have an idea the kind of readings
11 that was obtained the first time?

12 A. The kind of what?

13 Q. Readings, kind of --

14 A. We have no record of anything detected in that area for
15 the two surveys.

16 Q. Nothing detected?

17 A. No. We have no reading to give you just because, as I
18 say, no leaks were found in that area.

19 BY MR. NICHOLSON:

20 Q. What levels -- what kind of leak would I have to have to
21 pick it up at three times the calibrated speed?

22 A. You could pick up 1 percent.

23 Q. It has to be 1 percent.

24 A. I mean at 15 miles an hour?

25 Q. Yeah.

1 A. If you have plume of gas you can pick up anything. It
2 doesn't have to be a percentage of gas. You just -- what you're
3 looking for is --

4 Q. I no longer get the 3 ppm resolution, do I, at 15 miles
5 per hour?

6 A. The ppm doesn't change. It's just the speed you're
7 changing. The only reason you're going faster, you're looking to
8 capture the big leaks, per se, the broken main patrol they call
9 it.

10 BY MR. EMEABA:

11 Q. That's why you go faster?

12 A. Yes.

13 Q. So the slow is for the small leaks?

14 A. The slow is the survey they would do annually that's
15 mandated as per spec. The speed is mandated. Our specs state you
16 cannot go past from 5 to 8 miles an hour.

17 Q. Okay. The ones you did in February, what speed were you
18 going at?

19 A. Fifteen miles an hour.

20 Q. Fifteen miles. You mentioned the same speed.

21 A. One-five.

22 Q. Okay.

23 A. Cannot pass that. That's per spec. You cannot pass 15
24 miles -- depending on traffic. Now, don't misunderstand. If the
25 traffic allows you, you go 15 miles an hour. If the traffic

1 doesn't allow, you go less. Maybe in that given area it might
2 have been less. I don't know what traffic he encountered at a
3 given time. But there is no guarantee you're going 15 miles an
4 hour, but you cannot pass 15 miles an hour. You could go less,
5 but you cannot go more.

6 Q. Thank you. Prior to the February mobile survey, which
7 you conducted two times --

8 A. Yeah.

9 Q. -- you said the first one you didn't get any reading,
10 nothing?

11 A. Nothing.

12 Q. And you did it again the second time in February.

13 A. The same time towards the end of the month. One was the
14 beginning and the other one was at the end.

15 Q. The second one did you -- what readings did you get?

16 A. There was no indication of anything.

17 Q. Nothing. So what does that tell you?

18 A. It tells me there wasn't a leak at that point.

19 Q. There is no leak. Okay. Before the February --

20 A. Excuse me?

21 Q. No, I said before the February --

22 A. Yes.

23 Q. -- when was the -- what was the previous or when was the
24 previous one?

25 A. I can tell you it was done approximately the same period

1 of time in 2013 as it was done in 2014 because, like I said, a 12-
2 month window we have. I would say it was around June of 2013. I
3 can give you a specific date. If you want a specific date, I'd
4 have to go get my records, and I could provide the records, no
5 problem, but it was done in 2013.

6 MR. NICHOLSON: How far back did you give us?

7 MR. SINGH: I don't remember. Certainly the two in
8 February.

9 MR. NICHOLSON: Okay.

10 MR. EMEABA: It should be the two in February. So in
11 about --

12 MR. SINGH: If you want the one from 2013, we can get
13 that, too.

14 BY MR. EMEABA:

15 Q. Okay. So in about June 2013?

16 A. Approximately. I'm not sure exact date, but --

17 Q. Approximately.

18 A. You got to go back 12 months and at least try to get
19 back to that area within a 12-month period because it's PSE
20 mandated that we take it 12-month period.

21 Q. Okay. Approximately --

22 A. Right.

23 Q. -- June 2013.

24 A. Right.

25 Q. You had one done. Can you tell us how was it done? Was

1 it a high speed one or --

2 A. No, that was a regular 5 miles an hour -- 5 to 8 miles
3 an hour.

4 Q. Five miles an hour.

5 A. Yes.

6 Q. And from your recollection, what did you --

7 A. I cannot answer that question because I didn't go back
8 to look at the record. I'll have to dig it up.

9 Q. Okay.

10 A. I can look it up and then get back to you with no
11 problem. I have records of everything.

12 Q. Okay. So you'll not be able to tell us if there was a
13 leak found or not?

14 A. Not at this moment, but I will give it to you. Given
15 time I could go back to the office and give you specific.

16 Q. I would like to get that information for that June '13.

17 Now, how sensitive is this instrument to pick up the
18 least leak from your pipeline --

19 A. Parts per million.

20 Q. -- if there is any one?

21 A. Parts per million, sir. Parts per million.

22 Q. You said 3?

23 A. Three parts -- the unit said 3 parts per million, 1 part
24 per million above the ambient reading of New York City.

25 Q. Okay. So if there is a pinhole leak --

1 A. As long as the leak is able to escape -- let me explain.
2 If you have 100 percent paving with absolutely no crack in the
3 street or in the sidewalk or anywhere between the street and the
4 building, you won't be able to pick up anything. There's nothing
5 escaping. It's a plume of gas that we're looking for. Even a
6 little crack in the street will let the gas escape and that would
7 be picked up.

8 Q. So if there is no crack at all, you will pick nothing
9 up?

10 A. There's no -- in New York City that's like almost
11 impossible.

12 Q. You would pick up nothing?

13 A. If the street is 100 percent sealed, which is a -- I
14 don't see that happening because you always have expansion joints
15 everywhere, you would pick up -- if there's a leak there, we'll
16 pick it up, without a doubt.

17 Q. Okay. So as I mentioned, we need the result for the
18 2013 leak survey. And but are you -- does it -- your result that
19 you have, does it come in form of graphs or --

20 A. No what happened is, as my tech drives along the street
21 or walk for that matter, it makes no difference, but let's say
22 he's driving -- once the alarm goes off in the unit, he has to
23 stop. There's no proceeding forward or backwards. You stop.
24 You'll go out, and what they do is they call it an investigation,
25 where they use a GMI for classification. The unit in the vehicle

1 is only for -- to give you there's an idea that there might be a
2 leak there.

3 Then once they go out there they actually have the pogo
4 stick or they use -- they have to drill or make holes
5 approximately the size of my pinky, and then they put this long
6 plastic probe into the ground which is attached to a GMI. That
7 gives you percentage of gas. That's how you investigate.

8 But you do that from -- you could go as far as 10 blocks
9 if the migration takes you that far. But you have to check the
10 whole vicinity of where you are at that moment and you have to
11 check manholes, catch base, telephone, anything in the vicinity,
12 curb line reading, building line reading, 5-foot, you name it, you
13 have to check it. It's mandatory you have to check it and
14 document anything you do.

15 Q. Okay. Does depth of pipe affect your being able to pick
16 up any leaks?

17 A. I haven't seen that happen. No. If there's a leak
18 there, our unit will pick it up.

19 Q. Okay. The month of June 2013, from your recollection,
20 do you see that it was a good month to conduct leak survey and --

21 A. Leak survey, the best time to conduct a leak survey is
22 all year round, but June is perfect because it's the weather. But
23 year round you conduct leak survey. As long as it's not raining.
24 If it is raining, we don't do survey. We shut down. We do other
25 things.

1 Q. So if there is any leak at all you expect supposed to
2 have caught it?

3 A. I am pretty much 100 percent sure that if there's a leak
4 there we will detect it, pick it up.

5 Q. Okay. Your result which we'll be looking at will be
6 very important.

7 If somebody should tell you that a leak was there that
8 was not picked up, will you agree to that? On between the block
9 of 116 and 117?

10 A. I don't know how to answer that question, to be honest
11 with you. I'm confident with my machine that if there was a leak
12 that it would have been picked up. That's all I can tell you. If
13 somebody says there's a leak there, how do they know there's a
14 leak there? Honestly, how do they know?

15 Q. What I'm asking you, if one was --

16 A. I will say I don't know how to answer that question,
17 other than to say I'm confident with my unit if there was a leak
18 that it would have been picked up.

19 Q. If there was a leak there, it would have been picked up?

20 A. Yes.

21 Q. If there was. Now --

22 BY MR. McCARTON:

23 Q. Hold on a second though. I just wanted to make sure
24 that what I heard before, correctly, is depending on if a leak was
25 found, depending if there's some way for that leak to escape from

1 underground. Right?

2 A. There's no such thing as a perfect street in Manhattan.
3 You know it as well as I do.

4 Q. Right.

5 A. There's cracks. So the possibility of having a perfect
6 street, it doesn't exist in Manhattan.

7 Q. So if that street wasn't perfect and there was a leak --

8 A. It would have been picked up.

9 Q. You would have smelled -- you would have picked it up?

10 A. We would have picked it up with the machine. I don't
11 know about smell, but you would have picked it up --

12 Q. Oh, I'm sorry. I correct myself. The machine would
13 have picked it up?

14 A. Yes.

15 MR. SINGH: I think the record states that that street
16 wasn't perfect.

17 MR. McCARTON: Yeah, I just wanted to qualify what the
18 investigator said.

19 MR. EMEABA: Which record?

20 MR. SINGH: Public record.

21 BY MR. EMEABA:

22 Q. Anyway, yes, a leak was there; it was not picked up in
23 front of [REDACTED] that's why I'm asking you -- on your cast iron.

24 A. I can tell you for when I went in February there was no
25 leak.

1 Q. Okay.

2 A. What happened after I left in February, I could not
3 begin to tell you.

4 MR. SINGH: I'm sorry. Can we go off the record for a
5 second?

6 MR. CHHATRE: Off the record.

7 (Off the record.)

8 (On the record.)

9 MR. CHHATRE: Back on the record.

10 BY MR. EMEABA:

11 Q. Okay. Can you tell me also about your walking survey?

12 A. The walking survey is based on -- let's say, using 116th
13 Street, we have M&S plates which gives you specific location of
14 gas service which comes from the main which goes to the building.
15 What we do is, my technician, the same unit every year used for
16 mobile purposes becomes a strap hold and you put it on your
17 shoulder with attachment, which it goes through the same process
18 of self-testing before walking, by the way. Anytime the unit gets
19 turned on, whether you're walking or mobiling, the unit has to go
20 through a self-test. You cannot bypass that. There's no --

21 Q. Self-test?

22 A. Self-test they call it.

23 Q. The one you also hang?

24 A. It's the same unit. Once the unit gets turned on, it
25 has to go through as self-test. Yeah, it's automatically. You

1 can't bypass it even if you wanted to.

2 Q. What do you call that instrument?

3 A. A DP-IR. Detecto Pak-Infrared.

4 Q. Okay.

5 A. Okay? Once they have proven that the unit is ready to
6 -- for walking purposes, my technician has in his possession an
7 M&S plate which has a specific location of services, where they
8 could be at 116th Street or any other place in the system.

9 The individual walks to the service to the specific
10 measurement, which it gives right -- specific measurement and he
11 walks from curb to the building. Or if there's a meter set, if
12 there's an outside meter set, they need to walk the whole piping
13 from where the pipe comes out of the ground, where the elbow comes
14 out of the ground, until he goes into the building, including
15 meters. Everything is checked with the DP-IR.

16 Walking survey, we set our unit at 5 parts per million,
17 a little higher than mobile survey because you're walking at a
18 lower rate of speed, you know -- you know, it's a normal speed.
19 So we set our unit a little higher. And because you're so close
20 to where you're -- when they're located, you don't need to have it
21 at 3 parts per million; you set it at 5 parts per million, and
22 that's per spec. Nobody makes it any --

23 BY MR. CHHATRE:

24 Q. Is there a harm in setting up at 3 ppm?

25 A. I beg pardon?

1 Q. Is there any harm setting it up at 3 ppm?

2 A. There is no harm whatsoever. Our spec calls, we walk on
3 3 -- mobile on 3, walk on 5. So we follow our spec to the letter.
4 There's no difference -- there's absolutely no difference whether
5 you walk on 3 or 5. You're trying to eliminate -- I shouldn't
6 even say that. It doesn't make any difference. It doesn't make
7 any difference. We walk on 5 because our spec calls for 5 and we
8 do that.

9 Q. That's internal spec, right?

10 A. Beg your pardon?

11 Q. That is internal spec?

12 A. It's an internal spec, right.

13 BY MR. EMEABA:

14 Q. Please, when was the last walking survey performed in --
15 of this section?

16 A. I'll need to go back and look at it to see when it was
17 done. I don't know if it was by the '13 or '12. I'm not sure,
18 but it was done in the period 3 -- 116 -- wait a minute, hold on.
19 Let me think back.

20 MR. SINGH: We can get the records.

21 BY MR. EMEABA:

22 A. We could get the -- it might have to be walked this year
23 but I have to look at my record.

24 (Simultaneous conversation.)

25 Q. The one we're interested (indiscernible) --

1 A. I have record of everything. I can tell you exact when
2 it was done.

3 Q. Give me the -- get me the (indiscernible) prior to gas
4 event when the --

5 A. (Indiscernible.)

6 Q. Okay. How qualified are your personnel that conduct
7 these leak surveys?

8 A. They're very qualified. I have a hundred percent
9 confidence of my personnel that what they do, they are
10 professionals without a doubt. Without any -- any hesitation. I
11 give my -- I have no doubts whatsoever.

12 Q. Okay. As you mentioned, the walking survey just from
13 the curb --

14 A. Right.

15 Q. -- pipe to the house -- to the house.

16 A. To the house or anything above ground until it gets into
17 the house.

18 Q. Okay. So you -- you never walk the main?

19 A. No, that's done by the mobile.

20 Q. Okay. So only pipe by mobile. Have you had situations
21 of walking a service with your instrument and later, you know, a
22 leak was found not a few days after that?

23 A. I couldn't answer that question because I only do my
24 survey. I don't follow what's happening afterwards because it's
25 not my -- I don't know. I couldn't even answer that question even

1 if I wanted to answer it.

2 Q. Okay. Are you --

3 A. I could tell you what I found or what my technician
4 found when they walked it. I can't tell you what somebody else
5 found yesterday or the day before or whatever. I can't tell you.

6 Q. Okay. If we may go a little bit into your Con Edison
7 system. How do your department or unit work together with the Gas
8 Emergency Response group who are called out for gas leaks and gas
9 (indiscernible) --

10 A. Exactly. What happens is we are -- actually it's a
11 major part of that. Once we identify a leak, you know, walking or
12 mobile, a leak is identified the first call is made to the
13 Emergency Response Center which will generate a ticket with a
14 specific address where we found that particular leak and that
15 ticket is dropped on the MDTs that they carry in their vehicle.
16 Every vehicle has an MDT, you know, like a computer. Once the
17 investigation completely a hundred percent completed,
18 management-wise, migration-wise, (indiscernible) migration,
19 classification, everything else, it gets drawn in electronically
20 into the MDT. Once everything is done and checked, it's sent back
21 to RC and they will designate a crew, if needed, or whatever is
22 needed to either surveil it, work it or whatever it is. Once we
23 submit it to the RC, the -- they take over to do what they need to
24 do with that.

25 Q. Okay. Thank you for the answer and that goes back to my

1 first question have you had a situation you finished your
2 3-year walk survey and you're gone and customers call for leak and
3 it happened to be -- is that area you just finished?

4 A. I don't answer leaks like that. It's not my department.
5 I don't answer those leaks.

6 Q. Okay. Thank you so much. I'll pass on to
7 (indiscernible).

8 MR. CHHATRE: Chris?

9 BY MR. STOLICKY:

10 Q. Hi, Chris Stolicky. A couple questions for you. Your
11 high speed mobile procedure, as I understand, you do in the
12 winter.

13 A. We do it when it's necessary. Per Spec 11806 states if
14 you -- if the temperature varies from, from freezing and below for
15 7 straight days and you have a consistent of three broken mains 2
16 days in a row, we initiate -- they're called high speed patrol.
17 If that doesn't happen you're not going to initiate the high speed
18 patrol.

19 Q. When you're talking about number of broken mains, what
20 area does that cover?

21 A. It could be anywhere in the system, sir. It could be
22 anywhere in the system.

23 Q. Okay.

24 A. And also the frost and so there's a lot of things has to
25 be in place before we initiate that particular speed.

1 MR. NICHOLSON: What's that procedure again? I'm sorry?

2 MR. DiMICELI: 11806.

3 MR. SINGH: I'll send -- I'll resend it --

4 MR. NICHOLSON: SO 11806. Okay.

5 MR. EMEABA: Send it by e-mail, please.

6 BY MR. STOLICKY:

7 Q. How long does it take you to cover the system?

8 A. Once we initiate that we have to work 7 days a week. We
9 actually work about 10 hours a day. To finish the system with my
10 14 technicians -- now mind you, gentlemen, the only thing gets
11 survey is 4, 6 and 8-inch cast iron main. Not the system itself,
12 only cast iron mains get survey at this speed. No plastic, no
13 nothing.

14 MR. NICHOLSON: Only cast iron 4, 8 and 6.

15 MR. DiMICELI: Four, 8 and 6.

16 MR. NICHOLSON: Okay.

17 BY MR. STOLICKY:

18 Q. How do you know it's cast iron main?

19 A. We have maps which identifies the 4, 6 and 8 which
20 engineering supplies us with it.

21 Q. All right. You said that the device has to be within 6
22 feet over the main.

23 A. It could be right over or, at the most, you know, next
24 to the car which is parked -- it could be less. If the main is
25 right in the center of the car it's less than 6 feet but we don't

1 let nobody go beyond one car parked in other words, that's not
2 going to be good for us.

3 Q. Okay. What do you do in a situation where there's more
4 than one main on a street?

5 A. We double -- we go both sides. In other word, if the
6 mains are in the same -- if in the same trench we do it once.
7 There's no need to but if the main is on one side and the other
8 one is on the other side we do both sides of the street. If the
9 main goes under the sidewalk he has to physically get out of the
10 vehicle and walk that main.

11 Q. Okay so in the area around this incident, on Park Avenue
12 and on 116 even over around 117, all those mains were surveyed.

13 A. Everything was surveyed.

14 Q. In February.

15 A. Anything with cast iron with the size I just mentioned
16 was surveyed.

17 BY MR. NICHOLSON:

18 Q. Where -- just while we're on that subject, where is the
19 main between 116 and 117? Is it within 6 feet of the curb or --

20 A. It's about 6 feet -- if I remember right it's about 6
21 feet from the curb.

22 MR. SINGH: Um-hum. [Affirmative]

23 BY MR. NICHOLSON:

24 Q. Okay. So you wouldn't have -- you could be one lane
25 out.

1 A. Well, no the car parked -- when your car parks over the
2 main and you're right there I mean there's no way --

3 Q. So it was 6 feet -- it was beyond one car.

4 MR. SINGH: Most of our mains (indiscernible) majority
5 (indiscernible).

6 BY MR. STOLICKY:

7 Q. Do you have any mains that are not in the street?

8 A. Yes, I just said if anything on the sidewalk the
9 individual has to physically get out of the car, take the unit out
10 and walk whatever length of pipe is in the street, is inaccessible
11 to a vehicle, a motor vehicle. For example, in Manhattan, I'll
12 give you a perfect example. If the -- if you have the bike lanes
13 and you cannot drive on it, we had two individuals one flagging
14 and another one walking that particular portion because no vehicle
15 could go on the bicycle lane. But we have to physically walk it.
16 We consider that part of the sidewalk. So there's nothing that
17 you could say, well, too far away. We will walk that.

18 Q. What happens at the bus lanes?

19 A. Bus lanes, we get tickets but it gets done. It gets
20 done. We don't just skip it because it's a bus lane or the city's
21 going to give us a ticket. We really get it done. Sometimes what
22 we'll do is any time before 7:00, I believe it is, before the
23 speed thing gets into place -- we start at 6:00, by the way. Our
24 hours are from 6:00 to 2:00. So if we know there's a bus lane on
25 (indiscernible) Avenue, we make sure we send technicians there so

1 we don't get tickets, not because of anything just because we
2 don't want to get tickets, to get done before 7:00 and then get
3 off the bus lane and come back the following day and continue on.
4 But it gets done, without a doubt.

5 Q. Okay. Back to the annual survey requirement for
6 business districts.

7 A. Okay.

8 Q. How do you leak survey the gas distribution system
9 that's not in the street?

10 A. I'm sorry, say again. I lost you there for a second.

11 Q. Any mains or services that are not in the streets --

12 A. We walk it.

13 Q. -- in the business district.

14 A. We walk it.

15 Q. They get walked.

16 A. Everything that is in the system will be the mobile or
17 that we walk whether it's in the business or residential. It
18 doesn't make a difference.

19 Q. So would you do services in the business district
20 annually?

21 A. We do annually. Yes. That's an annual thing.
22 Absolutely.

23 Q. And that's walked.

24 A. And walked.

25 Q. So outside the business district you would do the

1 3-year.

2 A. Yes.

3 MR. STOLICKY: Okay. All set.

4 MR. CHHATRE: Frank?

5 MR. McCARTON: I'm good.

6 MR. CHHATRE: Lenny?

7 BY MR. SINGH:

8 Q. A couple quick questions. John, I'm not sure you
9 mentioned, how many years have you been in the company?

10 A. I been in the company 42 years.

11 Q. How many years you been doing leak survey?

12 A. Twenty-five years

13 Q. And did you do it as a mechanic?

14 A. I did it as a mechanic and as a -- now I'm charge of,
15 well, I'm the senior supervisor, whatever you want to call it.

16 Q. Have we made any improvements in our leak survey program
17 since the Harlem incident?

18 A. Absolutely. What we're doing right now is we are
19 surveying 7 days a week, first of all. We do 300 miles of mains
20 but that's not considered our regular survey. It's above and
21 beyond our regular survey. What we do is we do 300 miles a week
22 of main and, plus, our regular survey that we need to be done for
23 our calculation for the year. We do this 7 days a week, every
24 day.

25 Q. High speed, low speed?

1 A. Now that's done on a high speed, 15 miles an hour.

2 Q. Any other technologies that you're looking at?

3 A. We have in-house what they call a RMDL (indiscernible)
4 it's a laser technology where -- this is only being approved by
5 the PSC only for above-ground piping for bridges for anything
6 above that you cannot reach with a DP-IR. We have that in-house,
7 yes.

8 Q. Anything else?

9 A. We tried already the -- what they call that --

10 Q. Picarro.

11 A. Thank you. I couldn't think of it. We just brought in
12 and we didn't buy it yet, we have a pilot with a Picarro
13 (indiscernible) and --

14 BY MR. NICHOLSON:

15 Q. What's a Picarro?

16 A. It's a new technology. I can't even begin to tell you
17 because I'm not quite a hundred percent familiar. I can only tell
18 you what I was involved with for 2 days and the technology is
19 extremely sensitive. It has to be done a certain day and at a
20 certain time of night and has to be -- it's something that I can't
21 get into details. I'm not quite familiar with it. I'm not using
22 it but we are trying to determine if we could bring it in and get,
23 of course, once we bring it in we're going to be trained on it.
24 But this technology we are looking for with this technology we
25 already tried. There's different ways we're already mobiling at

1 nighttime, to try to keep crews at nighttime at all times.
2 (Indiscernible) present in the street 24/7, if possible. So we
3 are trying and next year we're adapting a new way of survey, not
4 meaning not speed-wise, meaning, like I said, 7 days a week survey
5 and doing different things at all times to capture that particular
6 leak that we might not be capturing doing 5 miles an hour or we're
7 not going to get to that street months from now because we start
8 in lower in so high speed patrol (indiscernible) sooner, so we try
9 to capture that leak if it's in existence.

10 MR. SINGH: That's all I have, Ravi. Thank you.

11 MR. CHHATRE: Okay. Matt? You haven't asked any
12 questions.

13 BY MR. NICHOLSON:

14 Q. Yeah, I've got -- most of them have been asked but the
15 low temperature threshold that triggers a high speed survey
16 (indiscernible) --

17 A. It's 32 and below.

18 Q. Thirty-two and below.

19 A. Right. Seven days a week, 7 days straight and two and
20 three broken mains consistent back to back or a depth of -- 7 days
21 of freezing weather and frost 27 inches deeper that initiates
22 that, too.

23 Q. It's an and. So you had to have the 7 days and three
24 broken mains --

25 A. No, there's three different ways.

1 Q. (Indiscernible) --

2 A. You got the 7 days with a frost of 27 inches that it
3 triggers it. You could have fluctuating temperature between
4 freezing to and above 40 for a period of time that triggers it,
5 too.

6 Q. Okay.

7 A. There's a few things that trigger the high speed patrol.

8 Q. What specifically triggered it in February? Do you
9 remember?

10 A. I think it was the freezing weather.

11 Q. Okay.

12 A. I can't be sure a hundred percent.

13 Q. But you did two surveys in this area so did that -- does
14 that mean --

15 A. Not only that area --

16 Q. -- you got triggers --

17 A. -- the system.

18 Q. Well, I mean the system (indiscernible) cover that.

19 A. Yeah.

20 Q. Does that mean you hit the cold weather trigger twice in
21 February?

22 A. It could have been because once we finish our high speed
23 patrol the clock resets itself.

24 Q. Okay.

25 A. So if you happen to get the same scenario, like I just

1 told you --

2 Q. Yeah.

3 A. -- we kick it again. It could happen more than once.
4 It could happen more than 10 times a year. If the trigger comes
5 to play once that trigger is played you have to finish the system
6 and the trigger -- I mean the clock starts all over again.

7 Q. Right.

8 A. If you don't finish the system the clock doesn't start
9 until you actually finish the system.

10 Q. Right.

11 A. And then a day later or a week later you --

12 Q. Okay.

13 A. -- it could initiate again because everything came to
14 pass.

15 Q. So I take it that sounds like two triggers occurred
16 (indiscernible) --

17 A. Absolutely. Yes.

18 Q. Okay.

19 A. The two trigger (indiscernible) --

20 Q. And that's not unusual. Okay.

21 A. Well, it is unusual to have two back to back like that.

22 MR. SINGH: Just off the record for a minute.

23 **(Off the record.)**

24 BY MR. NICHOLSON:

25 A. Engineering has the right to request a high speed

1 patrol.

2 Q. That was my next question. Who decides that? Gas
3 engineering?

4 A. Well, the trigger we try to keep it in-house but
5 engineering --

6 MR. SINGH: Do you want to get --

7 MR. NICHOLSON: Oh, I'm sorry. Yeah, back on the
8 record.

9 **(On the record.)**

10 BY MR. NICHOLSON:

11 Q. How -- who decides when the trigger is going to --

12 A. Engineering could be one.

13 Q. Okay.

14 A. Or (indiscernible) we get a (indiscernible) every day in
15 the winter months. We get, of course, every day we get the broken
16 main count. We keep focus on everything to see if we have to
17 trigger a high speed patrol and, of course, engineering can say
18 well I believe we should do one for whatever reason and that's --
19 we do it.

20 Q. I didn't hear the make and model you were saying it's --
21 the equipment is DP-IR infrared.

22 A. Detecto Pak-Infrared. Yes.

23 Q. And who makes that?

24 A. Heath.

25 MR. SINGH: Heath Technology.

1 BY MR. NICHOLSON:

2 Q. Heath. Okay. I guess Heath, also, is that both the
3 mobile and the walking?

4 A. The same unit, yes.

5 Q. The same unit. Okay.

6 A. Identical unit. You could use it -- you could take it
7 out of the cradle and walk with it and put it back in the cradle.
8 It doesn't make any difference.

9 Q. Okay. It's actually the same --

10 A. The same exact unit. Yeah.

11 Q. Okay.

12 A. Usually my department -- my department -- my people
13 carry two units for that purpose. They don't want to keep taking
14 it out in and out so we have one unit standing by for any walking
15 that would need to be done and the other unit sits in the cradle,
16 or in case that unit goes bad there's a unit to back-up with. So
17 every one of my individuals would have a two units in their
18 vehicles.

19 Q. Okay. And I know you went through this before. I
20 wasn't following it. The -- when a leak surveyor is in the field
21 and they capture a leak or they've located something they believe
22 is a leak --

23 A. The alarm goes off.

24 Q. The alarm goes off. And then where do they enter it
25 from there? We mentioned -- you talked about the GERC, the

1 Emergency Response Center and I thought I heard something about
2 NDT or another system.

3 A. No what happens is (indiscernible) once the alarm goes
4 off we don't simply call the GERC. We call the GERC only when we
5 have an actual leak. If we go out there and even though the alarm
6 goes off and after investigating and check everything in that area
7 but yet we still don't find no gas, we just continue on. We don't
8 inform anybody because there's no need. There's no gas there.

9 Q. Okay.

10 A. But if a gas leak is determined as being present,
11 percentage of gas and it could be one percent, 100 percent, it
12 doesn't make any difference, once they determine and we establish
13 the migration, we establish the classification then the GERC --
14 first of all, if it's a class 1 the GERC gets called right away.
15 Let me put it to you that way. Anything below class 1 we finish
16 our investigation then we call it.

17 Q. Okay.

18 A. All right. And they, the GERC, will initiate a ticket.

19 Q. Okay.

20 A. Once they initiate a ticket they will drop on my -- on
21 the technician into the MDT which is the computer --

22 Q. Well, yeah. What's the MBT?

23 A. MDT it's the computer -- it's the Toughbook (ph.). You
24 ever seen (indiscernible) Toughbook?

25 MR. SINGH: Mobile device.

1 BY MR. NICHOLSON:

2 A. Yeah, it's a computer right.

3 Q. Okay.

4 A. Just like you have right here. Right. That's all it
5 is.

6 Q. Sort of like an acronym, sorry.

7 A. Right it's a computer like you have there. You could
8 use that particular computer to do the same thing.

9 Q. Okay.

10 A. But whatever. It's a computer. They're dropped on the
11 computer in the vehicle --

12 MR. SINGH: Mobile Display Terminal.

13 BY MR. NICHOLSON: That's good. Thank you.

14 A. But once the leak is discovered and identified --

15 Q. Right.

16 A. -- we call the -- they call the GERC --

17 Q. Okay.

18 A. -- giving them the specific location where they are. At
19 the same time the GERC uses that address, it assigns a ticket
20 number. That ticket number will follow that leak for the rest of
21 -- (indiscernible) that ticket would never be used again. Then
22 they drop on the computer which sits in the vehicle. The
23 technician opens it up, selects a background which could be
24 different it could be a block it could be the corner. There's a
25 different selection you could go to draw up a leak in there. To

1 fit in the area, the type of leak that you could draw it. Then he
2 draws in the migration, puts the (indiscernible), the percentage
3 of gas. He stores -- classifies the leak and, of course, puts his
4 name down and everything else. Once all that's finished he sends
5 it back to the RC.

6 Q. Okay.

7 A. And then that leak stays in the system forever. And
8 they assign a crew to repair the leak. From that point, once we
9 send it back I don't get involved. I couldn't tell you. I know
10 what the procedures it goes through but I can't tell you exactly,
11 you know what I mean.

12 Q. No, that's perfect. At first you said you could get a
13 hit or an alarm get out of your vehicle and look for the leak and
14 not find anything.

15 A. For whatever reasons, if a unit has -- just going off
16 for whatever reason, you know, something. It's a machine. But we
17 don't say this is not -- we don't want to investigate it.
18 Anything -- once your unit goes off, the alarm goes off on that
19 unit, the individual has to get out of the vehicle, has to
20 investigate the area.

21 Q. Okay.

22 A. Not small -- it has to -- if he finds a leak and he can
23 determine where the leak is right away, okay fine. But otherwise
24 he has to really go far from the vehicle. It has to be
25 satisfactory there is no leak that he's leaving behind.

1 Q. Okay. But that's not captured anywhere so there's
2 really --

3 A. We don't capture that, no. My department we don't write
4 nothing up we just continue on.

5 Q. Okay. So for instance if someone found a leak, got out
6 of their car and looked for it and didn't find it --

7 A. They won't make no -- there will be no record of it.

8 Q. Okay.

9 A. There will be no record of it.

10 Q. Okay. And just to confirm all the leak survey personnel
11 are Con Edison employees. You don't contract out to a --

12 A. At this time this is the first year in the history of
13 leak survey which we have contractors working with -- for us.

14 Q. Okay.

15 A. This is the first year

16 Q. Starting when?

17 A. Started -- they started in June of 2014.

18 Q. Okay.

19 A. Because of the heavy load -- the workload that we just
20 encountered we needed more people (indiscernible) where they're
21 bringing people in as contractors, well, with -- our department is
22 growing by bringing more people and then training them, of course,
23 but right now we have --

24 Q. Okay. So you've brought in contractors --

25 A. Absolutely.

1 Q. But not prior to the accident.

2 A. There was no contractor prior to the accident.

3 Q. Okay. And then I'm not sure you mentioned this before,
4 but how often do the surveyors get requalified?

5 A. Every 3 years.

6 Q. Every 3 years. Okay. Terrific. Thanks. That's all I
7 got.

8 BY MR. CHHATRE:

9 Q. Just a couple of questions (indiscernible) I need
10 clarification. What is the detection limit of the instrument?

11 A. The limits.

12 Q. Detection limit.

13 A. You could go up the percentage, I guess, if you want to
14 but we don't use that for our purpose. We're using parts per
15 million.

16 Q. (Indiscernible) ppm or any other -- what is the
17 detection limit? How low a gas it can detect?

18 A. One part per million.

19 Q. One part --

20 A. Per million.

21 Q. -- ppm.

22 A. Yes.

23 Q. Okay.

24 A. Absolutely.

25 Q. And what is the background you said in New York City was

1 that 2 ppm.

2 A. Two ppm. I didn't -- that's what we were told and
3 that's what document is in the city (indiscernible) --

4 Q. Pardon me for -- so really any time you will turn your
5 machine on you should hear alarm.

6 A. The machine will not alarm when it's just going to a
7 self-test mode. Only goes on after you put it on --

8 Q. (Indiscernible) --

9 A. But you already have it set at 3. The alarm doesn't
10 fluctuate. Once you set it, it will stay at 3 for as long as the
11 unit doesn't need any calibration. So if you have it at 3 it will
12 not alarm because the ambient reading is 3 -- is 2.

13 Q. So if you have a leak that is one ppm the machine won't
14 see it.

15 A. (Indiscernible.)

16 Q. (Indiscernible) get a leak which is a low leak, small
17 leak and the leak is registered, hypothetically say it's one ppm.
18 (Indiscernible) leak at one ppm. Your machine didn't
19 (indiscernible) --

20 A. Not if the background is 2 ppm. I --

21 Q. (Indiscernible.)

22 A. No. I said --

23 Q. So simple answer, yes.

24 A. I -- I would say no because we -- our machine is set at
25 3. Anything below 3 it will not pick it up. No.

1 Q. So that's no.

2 A. Right. Right.

3 Q. (Indiscernible) the four suction cups that you send the
4 gas --

5 A. It's the cones. It's not suction cups. It's cones
6 dangling 2 inches off the ground.

7 Q. Two inches off the ground.

8 A. Two inch off the ground which, like I say, it goes into
9 the manifold which is under (indiscernible) --

10 Q. And how wide is the span between --

11 A. The length of the bumper whatever the bumper is, 6, 7, 6
12 feet. Whatever bump -- the vehicle. You think of a vehicle, you
13 put one on one side and another one, another one, another one on
14 the other side.

15 Q. Equally spaced.

16 A. Equally, oh, absolutely. Equally spaced.

17 Q. And this one-car distance you mentioned if it's more
18 than one car distance you had to back again --

19 A. We will go back again.

20 Q. -- (indiscernible) distance.

21 A. Yes.

22 Q. And what is the logic for that?

23 A. Because we are farther than we -- we don't feel -- we
24 want to make sure we don't leave anything behind. Let me put it
25 to you that way. And the only way we are sure that we don't leave

1 nothing behind we have to be as close, if not on top of the main,
2 as possible not because the unit will not pick it up we just want
3 to make sure we don't leave --

4 Q. No, I'm not questioning. I'm just saying what is the
5 logic for that one-car distance comes from --

6 A. Because most of the time in the city it's always car
7 parked on the curb. There's no logic. You go over to Westchester
8 County. We're on top of the main all the time. There's no car.
9 Everybody has driveways. In New York City everybody has car
10 parked in the street.

11 Q. Again, (indiscernible) have you done any calibration
12 tests when you find more than one car, I don't see it? With a
13 calibrated leak, if I'm more than two cars I will not see it but
14 up to one car I can see -- I'm trying to understand how the
15 machine --

16 A. Okay. Let me put it this way and this is like a -- it's
17 we don't do this and this is -- if the wind is blowing towards
18 that -- our cups and it sucks -- and you got a plume of gas going
19 towards you, you're going to pick it up and it could be --

20 Q. My wind direction can go against the cups and they may
21 not pick it up.

22 A. (Indiscernible.)

23 Q. (Indiscernible.)

24 A. You're right that's the reason why we want to be over
25 the main and as close to the main as possible but the wind would

1 have effect on it.

2 Q. (Indiscernible) arbitrarily picked distance.

3 A. Because we didn't pick it -- we just did it because of
4 the fact that -- if you have to do the city survey in New York
5 City --

6 Q. I understand --

7 A. -- it's impossible to get everybody off the curb. It's
8 impossible. So we determined that one car length is satisfactory.

9 Q. Okay.

10 A. I don't know to say there. I don't know the answer to
11 that.

12 Q. (Indiscernible) find out is the calibration
13 (indiscernible) I understand the practical logic of having one car
14 distance, two car distance.

15 A. Right.

16 Q. I'm just trying to find out -- okay. I'll get the
17 answer.

18 MR. EMEABA: Is that from test or prior experience?

19 MR. DiMICELI: No I would say prior experience. I don't
20 know what the -- that's -- the only thing --

21 BY MR. CHHATRE:

22 Q. I'm trying to understand triggers again and --

23 A. The what?

24 Q. Repeat that one more time for (indiscernible) either 32
25 degrees for 5 days --

1 A. For high speed patrol?

2 Q. Right.

3 A. Anything below freezing for a period of 7 days --

4 Q. Okay. Seven days. Okay.

5 A. -- right, and three -- and three broken mains
6 consistently -- one day after the other trigger a patrol.

7 Q. Okay.

8 A. Twenty-seven-inch frost triggers a patrol or engineering
9 could trigger a patrol or a fluctuated in weather from freezing to
10 40 degrees a period of time, like a few days, that would trigger a
11 patrol.

12 Q. These are all independent. They're not and. They are
13 not --

14 A. No. No. They could be independent of each other, yes.
15 Absolutely.

16 Q. Now this three main, they can be any diameter or they
17 have to be 4, 6 and 8-inch?

18 A. For the cast iron patrol, for the high speed patrol.

19 Q. (Indiscernible) --

20 A. (Indiscernible) --

21 Q. -- consistent rates.

22 A. We only survey 4, 6 and 8. That -- when that trigger is
23 -- if once we trigger the high speed patrol the only thing we are
24 surveying is 4, 6 and 8.

25 Q. I understand. I guess the trigger for the survey is --

1 one of the criterion is three breaks in the main. Right. Did I
2 hear you correctly?

3 A. It's three broken main back to back.

4 Q. Back to back.

5 A. Yes.

6 Q. But those main can be of any diameter.

7 A. We don't consider -- yes, you're absolutely right. It
8 could be a 12-inch, too. Yes.

9 Q. So my question (indiscernible) if you have
10 (indiscernible) break in the winter why would you not go back and
11 survey all pipes and only restrict to 4, 6 and 8?

12 A. That's a question that engineering can only answer. We
13 only follow --

14 Q. So you only follow --

15 A. -- we only follow the spec.

16 Q. That's is fine.

17 A. That's how I can answer that question.

18 Q. Okay.

19 A. We follow spec to the letter. Any other question you
20 got to go to engineering.

21 Q. That's fine. I thought maybe you were -- came up with
22 that spec.

23 A. No.

24 Q. Okay.

25 A. No.

1 Q. Do you get to see the -- what triggers the criterion
2 like three broken mains back to back?

3 A. Do I get to see it? I don't understand.

4 Q. Who conveyed that to you that we have three broken mains
5 back to back?

6 A. Like I said we put -- we have it in place. Not put it.
7 We have in place come January 1st when our survey begins we have
8 in place a frost (indiscernible) that they give us every day. We
9 listen to the reports. We have reports how many mains was found
10 -- how many broken mains was turned in the day before. We have
11 records and we monitor all the records during the months -- the
12 winter months.

13 Q. So you guys monitor that.

14 A. Oh, absolutely and not only us, everybody does, but we
15 monitor especially because we have to consider the possibility of
16 a broken main (indiscernible) high speed patrol.

17 Q. And how -- how would you know that three mains are
18 broken back to back?

19 A. Because if they're visually found by construction and
20 they're turned in as -- in other words a leak comes in not by us
21 by the -- whatever you know what I mean and it was determined was
22 they physically go, they dig it up and they find a broken main.
23 They put it on the record the following day that last night three
24 broken mains were found and repaired and that's how we keep a
25 record. We don't physically go out there. (Indiscernible.)

1 Q. But that number three has to be like one every
2 consecutive day, not three in one day. Am I correct?

3 A. Three in one day. In a 24-hour period, three in one day
4 and then it has to happen again the following day twice in a row
5 and then that would trigger.

6 Q. Okay.

7 A. So in other words in a period 48 hours you got to have
8 six broken mains.

9 Q. System-wide.

10 A. No. No. System-wide. I'm talking about now
11 Westchester, the lower end of Manhattan, Queens and the Bronx.
12 This is not just a given area.

13 Q. Right, but those can be any diameter but then that
14 triggers the survey (indiscernible) --

15 A. We don't ask what size main it was. We ask --

16 Q. Okay. I got ya.

17 A. Right.

18 Q. (Indiscernible) do you do surveys these days?

19 A. I do QA, they call it. I will go out and do about 20
20 percent of all my people do, the QA.

21 Q. (Indiscernible.)

22 A. I could pick an area if I'm -- and I will go out there
23 and do it, yes. Absolutely.

24 Q. As a cross-check.

25 A. I guess it's cross-check, yeah. Yes. I do.

1 Q. You do that.

2 A. Not only me but every supervisor in my group does.

3 Q. Right. But I mean you do also.

4 A. Well, me. Including myself, absolutely, yes I'm part of
5 the group. Yes, of course I do.

6 Q. So you're still current in the practice of doing surveys
7 (indiscernible).

8 A. I'm always (indiscernible) in survey.

9 Q. Good. Nothing. You (indiscernible) question. No
10 contractors.

11 MR. EMEABA: Up to this year.

12 BY MR. CHHATRE:

13 A. Until June or -- June or May I'm not sure of the exact
14 month but they came in this year. Had none before that.

15 Q. And you said, I guess I just want to confirm the mains,
16 once every 3 -- or once every 3 years you do mains.

17 A. No. Mains are done annually.

18 Q. Annually and they are never done by walking on the main.
19 They're always by (indiscernible) --

20 A. Only if they're found to be in the sidewalk or an area
21 that our vehicle cannot go to. In other words, if you can't
22 physically get the vehicle to it --

23 Q. (Indiscernible) walk --

24 A. You have to walk otherwise there's mobile, yeah.

25 MR. EMEABA: So you're talking about main in a business

1 district.

2 MR. DiMICELI: It could be anywhere in the system.
3 System-wide, 4,300 miles of system-wide we do annually. It could
4 be business or not business. They get done annually.

5 MR. EMEABA: Okay. And the (indiscernible) between 16
6 -- 116 --

7 MR. DiMICELI: That was done annually. It's done -- the
8 main was done it was done '13, '14 it was done '12, it was done
9 '11, blah, blah, blah, going back. Every year it was done.

10 BY MR. CHHATRE:

11 Q. And you do bar holes once the machine gets triggered.

12 A. We use a pogo stick, they call it. (Indiscernible) bang
13 a hole down the size of my pinky --

14 Q. (Indiscernible) --

15 A. -- (indiscernible) be able to --

16 Q. -- (indiscernible) --

17 A. Well, it's attached to the GMIs and that --

18 Q. Okay.

19 A. -- give us a percentage of gas that it's in the ground.

20 Q. (Indiscernible) sometimes -- so unless you see the bar
21 hole test with the gas you -- at least we got the machine giving
22 you a trigger. Correct?

23 A. If we investigate a leak -- investigating means you got
24 to put, could be hundreds of different little balls. It could be
25 -- I don't know the amount exactly (indiscernible) whatever. Once

1 my technician's satisfied, by not just doing one or two, but
2 satisfied that he went everywhere checking manholes, they got
3 absolutely no reading with the GMI, zero reading, not 0.1, no not
4 zero reading, then he moves on. If he finds as much as 0.1
5 percent we have to document it and classify it.

6 Q. At that point does the machine (indiscernible) a check
7 as to why the machine didn't give you a signal and --

8 A. It's a machine. Maybe it hit a bump. I don't know the
9 answer today. It could be anything. Sometime with all these
10 vehicles out there now they got methane vehicles, they got gas
11 vehicles. It could be (indiscernible) one of these maintained
12 vehicles, you know, natural gas vehicles. I don't know the answer
13 to that. It just happens. It doesn't happen constantly. I mean
14 just happens. Most of the time when the alarm goes off there's
15 something to be investigated but it does happen.

16 MR. STOLICKY: This is Chris Stolickey.

17 (Indiscernible) --

18 MR. DiMICELI: You got to repeat I was coughing.

19 MR. STOLICKY: -- (indiscernible) can't pick up
20 incomplete combustion from CNG vehicles.

21 BY MR. CHHATRE:

22 Q. No I understand that but (indiscernible) the machine you
23 are using to identify the leak so he cannot just discard the
24 (indiscernible) on your machine and so --

25 A. We use a different machine to classify or to investigate

1 a leak. We're not using a DP-IR. The DP-IR is only used for
2 mobile survey to identify the possible leak that might be there.
3 But a GMI is the actual machine that we use for classifications.
4 Two different units. So you can't say that the unit is not
5 working correctly. That's a separate unit itself so --

6 Q. I guess last question is I know your hours are 6:00 a.m.
7 to 2:00 p.m. Are the technicians' hours the same?

8 A. They're exactly the same.

9 Q. Okay. So no (indiscernible).

10 A. I beg pardon?

11 Q. No other shifts except for --

12 A. We work overtime. We can work until 6:00. We can work
13 until 10:00. But our hours -- our regular hours -- normal hours
14 are 6:00 to 2:00.

15 Q. (Indiscernible) --

16 A. We don't have a --

17 Q. Okay.

18 A. But now with what's happening now we are working,
19 whatever.

20 MR. CHHATRE: Okay. That's all from me. Any follow-up
21 questions?

22 BY MR. NICHOLSON:

23 Q. Real quick before we go on you just said -- I thought
24 earlier you said it was the same device, mobile or walking survey,
25 that was used by your surveyors.

1 A. Yes I said that and it is right.

2 Q. Okay. And then I just thought I heard you say that what
3 you're using as the pogo stock is a totally different --

4 A. To identify and classify a leak we use a different unit,
5 GMI. It has nothing to do -- that GMI does not -- we don't use
6 that --

7 Q. It's not the DP-IR.

8 A. Oh, absolutely not.

9 Q. Okay.

10 A. It's GMI. Totally different unit.

11 Q. What's GMI stand for?

12 A. Gas Detecto Pak which -- not -- it's what do they call
13 it? GMI it's gas measurement instrument. Thank you. And the
14 only thing that unit picks up is the scent of the gas, not parts
15 per million. This actually picks up -- it'll actually go from one
16 percent to a hundred percent. It doesn't pick parts per million.

17 Q. Okay. At that point we're (indiscernible).

18 A. Right.

19 Q. Okay. I just want to be sure we got that clarified.

20 Thanks.

21 A. So there's (indiscernible) --

22 MR. CHHATRE: Chris?

23 BY MR. STOLICKY:

24 Q. What does Heath recommend as the maximum speed you
25 should drive with the device for mobile?

1 A. Heath is satisfied with 3 and 5 miles an hour. I mean
2 not (indiscernible) speed. Five miles an hour they're very
3 satisfied. Actually they do their own survey at that speed, too.

4 Q. So do they recommend a maximum speed?

5 A. Eight miles. That's only my guess. I never asked that
6 question but --

7 MR. STOLICKY: Okay.

8 MR. NICHOLSON: Did you have a follow-up?

9 MR. CHHATRE: No I don't have any follow-up.

10 MR. NICHOLSON: We're waiting on Chris. Because there's
11 sort of a question hanging out there.

12 MR. CHHATRE: Yeah, it looks like he's thinking
13 (indiscernible).

14 BY MR. STOLICKY:

15 Q. You mentioned use of the RMLD.

16 A. They haven't used it yet. We just now got trained by
17 Heath but we haven't used it yet.

18 Q. My question is (indiscernible)?

19 A. What?

20 MR. CHHATRE: Off the record.

21 **(Off the record.)**

22 MR. STOLICKY: (Indiscernible.)

23 MR. NICHOLSON: No. No. We're still on the record.

24 MR. STOLICKY: On the record.

25 **(On the record.)**

1 BY MR. STOLICKY:

2 Q. You said the Commission approved use of the RMLD.

3 A. For above ground piping. We're in the processing of
4 being qualified. We will not use the unit until we get
5 (indiscernible).

6 Q. Can you provide that documentation?

7 A. Of what?

8 Q. Of the approval to use the RMLD.

9 A. You have to ask my manager. I can't approve that.
10 That's my manager's has (indiscernible). We haven't used it
11 anyhow. We haven't had the use of it.

12 Q. Okay.

13 A. All right. It was (indiscernible) --

14 MR. CHHATRE: (Indiscernible) document.

15 MR. SINGH: I think we're working with the Commission on
16 this, Ravi.

17 MR. STOLICKY: As far as I know it's -- there's not a
18 document so --

19 MR. DiMICELI: Like I said we haven't used it. We have
20 it in-house but we haven't used it.

21 MR. SINGH: (Indiscernible) some discussions about this.
22 Right? I think we're having those discussions. Right?

23 MR. DiMICELI: Right.

24 MR. STOLICKY: Okay.

25 BY MR. NICHOLSON:

1 Q. I'm just going to have to jump in because I just heard
2 Heath recommends a maximum speed of 8 miles per hour but I heard
3 also the mobile the high speed inspections were performed at 15.
4 So I have to ask --

5 A. As a regular survey -- a documented regular survey
6 meaning, in other word, if you want -- this is my survey for the
7 year.

8 Q. Um-hum. [Affirmative]

9 A. This is the speed I go. A broken main patrol is consist
10 of to capture once again the serious leak the leak that main, the
11 gas line broke. When you have a cast iron broke you got blowing
12 gas so at that speed you would pick up everything.

13 Q. Oh, you're looking for blowing gas.

14 A. Blowing gas, yes.

15 Q. Very large leaks.

16 A. Yeah, we're not looking for type 3's or anything. We're
17 looking -- that's why it takes us 2 weeks to do a survey while the
18 regular survey takes us 4 months. And we only do in certain -- in
19 only cast iron. We're not doing the system.

20 Q. Do you catch leaks at 15 miles per hour?

21 A. Oh, we catch a lot of leaks. (Indiscernible.)

22 MR. CHHATRE: Frank?

23 **(Simultaneous conversation)**

24 MR. CHHATRE: Kelly.

25 BY MR. EMEABA:

1 Q. You said earlier on that your leaks survey comprises
2 4-inch, 6-inch and 8-inch.

3 A. (Indiscernible.)

4 Q. You said earlier that your leak surveyor covers 4-inch
5 pipes, 6-inch pipe and 8-inch pipe.

6 A. That's the high speed patrol but otherwise everything
7 gets covered yearly. That's only for high speed patrol, sir.
8 Only for high speed patrol.

9 Q. So you're --

10 A. My regular survey get everything, on one-inch pipe to
11 36-inch pipe. Our system-wide patrol that we keep and if we're
12 going 5 miles an hour, a hundred percent of the system gets
13 covered. A hundred percent.

14 Q. Okay.

15 A. The high speed patrol is 4, 6 and 8-inch. Only the high
16 speed patrol. We keep a record of it but we don't keep it as a
17 yearly survey. It does not count as a yearly survey.

18 Q. Why do you pick only these three?

19 A. Why what?

20 Q. Why do they pick only these three size of pipe?

21 A. You'd have to ask engineering for that.

22 MR. SINGH: So that's considered leak prone pipe. That
23 small diameter cast iron is susceptible to breaks with ground
24 heaving.

25 MR. EMEABA: Okay.

1 MR. SINGH: That's the reason why.

2 MR. EMEABA: All right. Thank you. That

3 (indiscernible) we'll have to ask.

4 MR. NICHOLSON: You just said small diameter pipe.

5 MR. SINGH: Small diameter cast iron pipe is prone to

6 breakage --

7 MR. NICHOLSON: Yeah.

8 MR. SINGH: -- due to ground movement.

9 MR. NICHOLSON: Right.

10 MR. SINGH: So in the wintertime that's why we do high

11 --

12 MR. NICHOLSON: So 4, 6, 8 are considered small

13 diameter.

14 MR. SINGH: Small diameter.

15 MR. NICHOLSON: Oh, okay. So you don't have 2.

16 MR. SINGH: No.

17 MR. NICHOLSON: Okay.

18 MR. DiMICELI: Cast iron, no, they don't.

19 MR. SINGH: Could be three inch.

20 MR. DiMICELI: They got 12, they got 10.

21 MR. NICHOLSON: Yeah. Okay. Small (indiscernible).

22

23 MR. EMEABA: Okay. That's a question I have.

24 MR. SINGH: Okay.

25 MR. CHHATRE: Thank you so much for coming in and

1 spending time with us. Appreciate. We were on (indiscernible) --

2 MR. NICHOLSON: Are we off the record?

3 MR. CHHATRE: Off the record.

4 (Whereupon, the interview was concluded.)

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

CERTIFICATE

This is to certify that the attached proceeding before the

NATIONAL TRANSPORTATION SAFETY BOARD

IN THE MATTER OF: NATURAL GAS DISTRIBUTION PIPELINE
 LEAK AND MULTISTORY STRUCTURE
 EXPLOSION IN HARLEM, NEW YORK
 MARCH 12, 2014
 Interview of John DiMiceli

DOCKET NUMBER: DCA-14-MP-002

PLACE: New York, New York

DATE: August 7, 2014

was held according to the record, and that this is the original,
complete, true and accurate transcript which has been transcribed
to the best of my skill and ability.

Beverly A. Lano
Transcriber