

UNITED STATES OF AMERICA

NATIONAL TRANSPORTATION SAFETY BOARD

* * * * *

Investigation of:

*

*

NATURAL GAS DISTRIBUTION PIPELINE

*

LEAK AND MULTISTORY STRUCTURE

*

EXPLOSION IN HARLEM, NEW YORK

*

MARCH 12, 2014

*

*

* * * * *

Interview of: JOSEPH MADIA

Con Edison

4 Irving Place

New York, New York

Tuesday,

August 5, 2014

The above-captioned matter convened, pursuant to notice.

BEFORE: RAVI CHHATRE

Investigator-in-Charge

APPEARANCES:

RAVI CHHATRE, Investigator-in-Charge
National Transportation Safety Board
Washington, D.C.

KALU KELLY EMEABA, Accident Investigator
National Transportation Safety Board

MATTHEW NICHOLSON, Accident Investigator
National Transportation Safety Board

FRANK McCARTON, Deputy Commissioner
Office of Emergency Management
New York, New York
(Party Representative)

ANASTASIOS GEORGELIS, Director of Field Operations
Bureau of Water and Sewer Operations
Department of Environmental Protection
New York, New York

LEONARD SINGH, Chief Engineer
Gas Distribution Services
Con Edison
(Party Representative)

CHRIS STOLICKY, Utility Supervisor (Safety)
New York State Department of Public Service
(Party Representative)

DOUG McKAY, Esq.
(Representative on behalf of Mr. Madia)

<u>ITEM</u>	<u>I N D E X</u>	<u>PAGE</u>
Interview of Joseph Madia:		
By Mr. Chhatre		6
By Mr. Emeaba		18
By Mr. Stolicky		20
By Mr. Georgelis		22
By Mr. Singh		24
By Mr. Chhatre		27
By Mr. Nicholson		32
By Mr. Emeaba		40
By Mr. Stolicky		43
By Mr. McCarton		44
By Mr. Singh		45
By Mr. Chhatre		52

MR. MADIA: My name is Joseph Madia, M-a-d-i-a. I work

1 for Con Edison. My title is section manager, and my address is
2 [REDACTED]. Business phone
3 number [REDACTED] And I have brought with me Doug McKay.

4 MR. CHHATRE: Okay. Now, I'd like to go around the room
5 and have each person introduce themselves to you for the record.
6 State your name, spelling of your name, title and organization
7 that you represent, and your business contact information.
8 Starting from my right.

9 MR. NICHOLSON: Matthew Nicholson, NTSB investigator;
10 spelled M-a-t-t-h-e-w, N-i-c-h-o-l-s-o-n. E-mail

11 [REDACTED]

12 MR. EMEABA: Kalu Kelly Emeaba; K-a-l-u, K-e-l-l-y, E-m-
13 e-a-b-a, NTSB investigator. My e-mail address is

14 [REDACTED]

15 MR. McCARTON: Good morning. My name is Frank McCarton.
16 I'm Deputy Commissioner for Operations in the Office of Emergency
17 Management here in the city. I'm a party member for New York
18 City's -- I'm New York City's member on the investigation, party
19 member. And my e-mail address is [REDACTED]

20 MR. GEORGELIS: My name is Anastasios Georgelis, A-n-a-
21 s-t-a-s-i-o-s, G-e-o-r-g-e-l-i-s. I'm here with Frank. I work
22 for the New York City Department of Environmental Protection. My
23 title is Director of Field Operations, and my e-mail address is

24 [REDACTED]

25 MR. CHHATRE: Okay, Doug.

1 MR. McKAY: My name is Doug McKay. E-mail is

2 [REDACTED] I'm an attorney with Con Edison.

3 MR. SINGH: Leonard Singh, L-e-o-n-a-r-d, S-i-n-g-h.

4 Chief Engineer, Gas Distribution Services; NTSB party rep
5 representing Con Edison on this team. [REDACTED]

6 MR. STOLICKY: Chris Stolicky, S-t-o-l-i-c-k-y. I am
7 the New York party rep. I'm Utility Supervisor with the New York
8 State Department of Public Service. E-mail address is

9 [REDACTED]

10 MR. CHHATRE: Thank you.

11 INTERVIEW OF JOSEPH MADIA

12 BY MR. CHHATRE:

13 Q. Mr. Madia, for the record, can you give us some
14 educational background, formal/informal, your experience with Con
15 Edison, and your description as to what you do at your position?

16 A. Yes. My educational background is I went to Columbia
17 University School of Engineering, applied science. Graduated with
18 a bachelor's of science in 1982 and a master's of science in 1983.
19 I am a licensed P.E. engineer in the state of New York.

20 I joined Con Edison as a management intern in 1983, had
21 various different capacities in the engineering department for the
22 first 15 to 17 years. And then from there I moved on to a senior
23 planning analyst position in energy management of Con Edison,
24 predicting, forecasting electric load. And from there I joined
25 the Con Edison gas department in the year 2005 as a planning

1 analyst and then engineer, and then managing the gas development
2 lab, my present position.

3 Q. Okay. And as a manager of the lab, what do you do? Or
4 what does your group do?

5 A. Yes. Okay, as a section manager of the gas development
6 lab, the gas development lab is tasked with various different
7 activities: principally, test and acceptance of new product for
8 the gas delivery system, pipes, fittings and valves; failure
9 evaluation of various components on the gas delivery system;
10 prefabrication of specialty piping components, particularly the
11 polyethylene piping systems; and then, of course, live tapping of
12 the gas mains in the gas delivery system.

13 Q. Okay. So can you tell us how many gas service tee
14 failures your lab have investigated?

15 A. On the average, we get about, maybe one or -- once a
16 month we get one. So approximately 12 on the, on that for a year.

17 Q. And what does a typical component looks like when it
18 come to you in your lab?

19 A. Yeah, the actual -- sometimes we get the actual tee.
20 Sometimes we get the tee with the main. And it looks like the --
21 we basically see the failure of services between the tee and that
22 which is on the main, and we make a visual observation and we may
23 conduct tests as needed.

24 Q. Okay. Who does that work?

25 A. Our gas development lab team itself.

1 Q. Okay. And how big is your lab?

2 A. The lab team is approximately six weekly employees, plus
3 my operating supervisor and myself at this time.

4 Q. Are these weekly employees qualified to do analysis, or
5 are they degreed?

6 A. Yeah, they're all operator, they're all -- some are not
7 degreed; some are. They're all operator qualified, however.

8 Q. Okay. In doing what?

9 A. In performing fusion.

10 Q. Okay.

11 A. Plastic fusion.

12 Q. And what is the typical procedure for analyzing the
13 service tee failures?

14 A. Service tee failures, if we get -- if that is the
15 failure, it will come to our lab from the operating area. And the
16 question will be is, what happened? And we will -- basically we
17 have a particular person who does the failures, our senior
18 engineering technician. He will catalog it, log it in, take
19 photographs, examine the failure surfaces, principally visual, and
20 make a rendering as to what could have happened to -- on the
21 surfaces, based on the many other experiences that we have.

22 After he's made a rendering and my operating supervisor
23 examines it as well -- he's also operator qualified -- and makes a
24 rendering as well, and then the engineer, in this case, who I, in
25 my case, I will make the final call as to what actually happened

1 to the tee.

2 Q. Okay. And then what happens? After all you guys have
3 done your analysis, what is the final end product?

4 A. It is a simple e-mail report --

5 Q. Okay.

6 A. -- to a fellow in gas distribution engineering who
7 handles the piping failure database, plus interested parties in
8 the operating area that was impacted by it.

9 Q. Okay. Do they get the e-mail with photos or no photos?

10 A. They'll get an e-mail with photos, depending on how we
11 want to explain it to -- for clarity.

12 Q. And how you document -- do you keep a record of --

13 A. Yes, we do.

14 Q. -- what each --

15 A. Yes, we do. We keep a record. It's called a GT file
16 number, in our gas development lab files, both in our lab server
17 drive and in our paper file.

18 Q. Okay. And who makes these requests to you?

19 A. The operating area.

20 Q. I mean, who in operating area? Is there a protocol for
21 that, or anybody can send you samples?

22 A. Yeah, there's a procedure protocol for that. It's in
23 the GIS web.

24 Q. Okay.

25 A. When operating forces respond, there's a protocol in the

1 GIS web to send the product to the lab for examination.

2 Q. What is the title of the person who sends you the
3 sample?

4 A. It could be as simple as a mechanic.

5 Q. Okay.

6 A. It could be an operating supervisor.

7 Q. Okay. And how does the sample comes to you?

8 A. It -- usually delivered by either a supervisor mechanic.
9 It's --

10 Q. So hand delivered?

11 A. Hand delivered, yeah. There's not interoffice mail.

12 Q. And is there a protocol issued by your lab as to how to
13 handle the evidence? Or you just look at it, whatever --
14 whichever way it comes to you?

15 A. Yeah, we -- there's no particular protocol. It comes to
16 our senior engineer technician. He looks at it and renders --
17 takes a series of photographs and renders a data sheet with the
18 analysis.

19 Q. And what is the typical findings? If there is a typical
20 finding.

21 A. For the most part, in my experience, installation error
22 is a typical finding.

23 Q. Can you elaborate any more?

24 A. Installation error could be that the fitting or pipe
25 fitting valve was not put properly together. For example, if a

1 tubing has to be stabbed in a certain depth to engage the O-ring,
2 the tubing was not stabbed in all the way and hence there was a
3 leak path.

4 Q. Okay.

5 A. Stuff like that. Or, you know, if there was excessive
6 bending, we can see distress on the fitting and we can determine
7 that the fitting was subject to extensive distress or stressing.

8 Q. What about the fusion?

9 A. Fusion, we look at the -- we'll look at a fusion joint
10 and see how -- see where in the fusion joint the crack developed
11 or failed across, and then make a determination based on whether
12 it was adequate enough or was it -- was there enough heat applied.
13 If insufficient heating, we would call that installation -- an
14 installation error.

15 Q. Okay. So improper fusion is installation error?

16 A. Yes. It will be categorized as that, installation
17 error.

18 Q. And does the fusion joint -- I guess, with service tee,
19 comes with the main or it just comes as a separate?

20 A. Most of the time -- it depends, because if the main
21 needs to be preserved for the sake of continuity of main service,
22 then our team is also qualified to do in-situ repair of that main.
23 So the hole that's finally left when the tee is removed, we have
24 special practices -- operator qualified, of course -- that allows
25 us to repair that main in situ. So the best we'll have at that

1 point is photographs. Our mechanics will take photographs and
2 bring that with the tee, that physical tee that's in our lab.

3 Q. Okay. And what is the prevalent failure mode for the
4 those fusion service -- fusion tees?

5 A. Installation error.

6 Q. Okay. Meaning cold fusion or --

7 A. Insufficient fusion, yeah.

8 Q. Okay, insufficient fusion. And how many of those you
9 look at weekly, monthly?

10 A. They don't happen that frequently, but -- I don't have
11 an exact precise number to tell you -- I -- to tell you that.

12 Q. Okay. Does it happen frequently, infrequently?

13 A. It's tends to be infrequent.

14 Q. Infrequent?

15 A. Tends to be infrequent.

16 Q. Okay. And those reports are available also?

17 A. Yes. We do have the e-mail reports on those.

18 Q. Do you recall in last few years -- like, let's just say
19 go back to 2011, onwards, how many you have generated?

20 A. How many reports we generated?

21 Q. Fusion service tees.

22 A. We generated maybe a half a dozen or so.

23 Q. Okay.

24 A. Yeah.

25 MR. CHHATRE: Can we get a copy of those reports?

1 MR. SINGH: Um-hum. You just want the -- any service
2 tee failure --

3 MR. CHHATRE: Service tee failure.

4 MR. SINGH: -- reports from that time?

5 MR. MADIA: Any service tee?

6 MR. CHHATRE: At this point. At this point.

7 MR. MADIA: Okay.

8 MR. SINGH: Joe, will you send those to me, please?

9 MR. MADIA: Send those to you? Okay.

10 MR. SINGH: Just go back from 2011 to date.

11 MR. MADIA: All right.

12 MR. SINGH: Service tee failure reports.

13 MR. MADIA: All right.

14 MR. CHHATRE: And we're interested in getting
15 photographs and findings and the whole, whole report.

16 MR. SINGH: I'll give you the actual report. The actual
17 report.

18 MR. CHHATRE: No, I guess, what I understand is
19 sometimes only your e-mail might go --

20 MR. MADIA: Yeah.

21 MR. CHHATRE: -- but you can still have the photographs,
22 right?

23 MR. MADIA: Right.

24 MR. CHHATRE: So what I'm saying is in case there is no
25 documentation being delivered by the lab, I would like to get the

1 photographs.

2 MR. MADIA: Okay.

3 BY MR. CHHATRE:

4 Q. And do you use -- does the lab select or identify the
5 qualified vendor for the plastic pipe or service tee or any of
6 that things?

7 A. Yes. That's part of our test and acceptance.

8 Q. And how do you do that?

9 A. We do it through a series of tests and review of their
10 literature, examination of their product, make sure it's usable in
11 the field. And then we make a -- we render our conclusion.

12 Q. Okay.

13 A. We also run our own tests in the lab as well, which --

14 Q. Okay, to qualify the product?

15 A. -- extended testing. To qualify the product. We have a
16 -- we can do burst testing, sustained tank. We do tensile pulls.
17 Whatever we need to do as an extended test to the industry tests
18 that were done, to convince ourselves that the product is safe --

19 Q. Is safe.

20 A. -- and has integrity on our system.

21 Q. And does the lab also develop the procedure to do the
22 fusion welding, or you just take the procedure from the
23 manufacturer?

24 A. We take the procedure from the manufacturer, yes.

25 Q. And does the lab verify it to make sure it's correct, or

1 nobody verifies it?

2 A. We actually conduct the joint -- we actually put the
3 joint together per the manufacturer to make sure it works, and
4 then we go ahead and test it.

5 Q. And how do you test that?

6 A. We can do it through a -- with pressurization.

7 Q. Okay.

8 A. So you have the burst test. We try to burst it to
9 failure.

10 Q. Okay.

11 A. We'll put it in our sustained tank, to see how long it
12 lasts. It's an accelerated aging test, if you like.

13 Q. Okay.

14 A. And then if necessary we do a pull test. If it's a
15 coupling, we try to pull it apart and see if it comes apart at the
16 coupling or along the pipe.

17 Q. Okay. What about the -- again, the service tee, do you
18 try to pull it to see how much force you need to pull it apart?

19 A. No, we don't do any pull tests on the service tees.

20 Q. And do you do any drop test or, you know, like --

21 A. We do an impact test.

22 Q. Impact test, okay.

23 A. Impact test, to assess when a tee is knocked off what
24 happens to the joint itself. Does it -- is it intact? Does it go
25 across the joint? We assess that.

1 Q. And that is all done before the product is qualified to
2 put in service?

3 A. Right.

4 Q. Okay. Now, the incident on Park Avenue, I'm sure you
5 didn't receive the part because we took it.

6 A. Uh-huh.

7 Q. But was there any discussion with the lab as to what
8 happened or do you know what --

9 A. No, we couldn't discuss it. We didn't have the
10 evidence.

11 Q. Okay, so no --

12 A. It would all be conjecture.

13 Q. So you had no discussion with anybody --

14 A. No.

15 Q. -- from Con Edison as to we at least know that it was
16 service tee issue?

17 A. It was a -- all we know is it was service tee, right.

18 Q. Okay. Do you know which pipe was involved in the
19 incident?

20 A. Right. Per the M&S plate, it was an 8-inch PE pipe that
21 was installed in 2011.

22 Q. And the service tee?

23 A. The service tee? It was a service tee that was
24 installed to a new building at 1642 Park Avenue.

25 Q. Okay. But do you know the manufacturer of the service

1 tee also?

2 A. The service tees manufacturer is Central Plastics, yes.

3 Q. And both products were qualified by the lab?

4 A. Right.

5 Q. Do you recall when they were qualified?

6 A. No. I'll write down a note to find that out.

7 Q. With the service tee failure analysis you have
8 performed, you said roughly about six in the last 2-year, 3-year
9 period, do you recall any of those involved the pipe involved in
10 Park Avenue and the service tee involved in Park Avenue?

11 A. No.

12 Q. So if you do not -- I mean, none were involved or you
13 don't recall?

14 A. None were involved in -- for the service tee at Park
15 Avenue.

16 Q. Okay.

17 A. These are other service tees.

18 Q. Okay.

19 A. That's how I'm answering you there.

20 Q. And typically, how long it takes to do an analysis?

21 A. A couple of days.

22 Q. A couple of days?

23 A. A couple of days, yeah. It depends on our workload.

24 Q. Sure. And do you aid in the training department in
25 developing the procedures, OQ procedures?

1 A. I aid in the sense of commenting. If I'm asked to
2 comment on it, then of course we'll render comments, but I don't
3 author any.

4 Q. Okay. But they don't have to come to you, ask for your
5 comments?

6 A. No. They do not.

7 Q. Do they?

8 A. At times they do. If there's certain opinions about how
9 to fuse certain items, want to make sure that we're doing it
10 right, so the training department will check in with us.

11 Q. Okay.

12 A. It's up to them.

13 Q. And do you recall if the service tee procedure came to
14 you for comments?

15 A. No, I don't recall that. No.

16 Q. Okay.

17 MR. CHHATRE: And that's all I had. Thank you so much.

18 MR. MADIA: Oh, okay.

19 MR. CHHATRE: Kelly?

20 BY MR. EMEABA:

21 Q. I don't have much, and Ravi already asked a lot. A few
22 of them. Can your PE pipe, polyethylene pipe, after passing a
23 pressure test later fail in the system tee?

24 A. You're talking about a service tee?

25 Q. Yes. Can your service tee PE --

1 A. Yes. After it -- there are instances, and if you --
2 those instances where if the piping is subjected to external
3 loads, forces and moments, it can fail. You can have a failure.
4 You know, you can pass a pressure test, but if the piping is
5 subjected to external loads severe enough, you can fail the PE.
6 After all, the yield stress is only 3600.

7 Q. 3600?

8 A. Yeah.

9 Q. Okay. So the result of the failure, will it be as a
10 result of the external load or will it be as a result of the
11 fusion?

12 A. The external load.

13 Q. The external load?

14 A. In my opinion, yeah.

15 Q. It will have nothing to do with the fusion --

16 A. No.

17 Q. -- joint itself?

18 A. It's the external load.

19 Q. Okay. And have you considered the pressure placed on
20 the joint during the cut when a service tee is installed on a main
21 and the tapping occurs when the blade go through? Prior to it
22 cutting through, have you examined the pressure that is exacted,
23 is put between the two piece?

24 A. No.

25 Q. Okay. That's all I want to ask you. Thank you.

1 MR. CHHATRE: Okay.

2 MR. STOLICKY: It's Chris Stolicky.

3 BY MR. STOLICKY:

4 Q. In your experience with testing different types of
5 fuses, both in analysis in the past plus troubleshooting failures,
6 what have you seen personally would cause a joint to fail as far
7 as improper procedure followed or contaminants?

8 A. Yeah --

9 Q. Can you explain what would make a bad fuse?

10 A. Okay.

11 Q. Or a fuse that's not properly made the way it's design
12 intended to be made?

13 A. Usually the -- the installation errors you're referring
14 to?

15 Q. Yes.

16 A. Installation errors could come from a wide variety of
17 sources. Contamination is one of the worst ones.

18 Q. What could happen with contamination?

19 A. If the pipe is not wiped clean, using a denatured 96
20 percent isopropyl alcohol, you're going to have residue remaining.
21 Even human sweat that remains on the joint could be deleterious to
22 long-term service life of the joint. So you may pass a pressure
23 test initially but that eventually will get up -- catch up to it
24 because --

25 Additionally the earth loading, if there's significant

1 earth loading, you can start imposing deleterious and large
2 strains on the pipe and stresses that could begin imposing and
3 approximating the yield stress of polyethylene.

4 Then, of course, third-party damage. That has always
5 been a bane with --

6 Q. What about the fuse itself? What about --

7 A. The fuse?

8 Q. I mean, the Con Ed procedure requires 500 plus or minus
9 25 degrees.

10 A. Right.

11 Q. Have you experimented with temperatures and/or pressures
12 outside of your current procedure to see what would happen in test
13 fittings?

14 A. Yes, we have.

15 Q. And what have --

16 A. And there is latitude. There is no definitive -- I
17 can't put a definitive finger on what's the optimal temperature
18 range is. You go to PPI, there's a certain range. Con Edison has
19 used 500 for decades. It appears that there is latitude and
20 forgiveness in the act of plastic fusion. If you get a high
21 strength, high integrity joint across different temperatures,
22 provided it's done per the manufacturer's procedure.

23 Q. S, when you test a new fitting, do you automatically go
24 to the manufacturer's suggestion and just test it that way, or do
25 you test a series of fuses to see what would work best for Con

1 Edison?

2 A. We test per our operating -- per our own procedures,
3 which is the -- there's a specification for it.

4 Q. So that would be any fuse fitting, you would see if it
5 fits within your current generic fuse fittings?

6 A. Right. Because that's the way our operator qualified
7 mechanics shall do it in the field so we need to test it to make
8 sure it's proper.

9 Q. Okay. And in your experience, if you see like a
10 sidewall fuse done and it has the proper beads, can it still be
11 bad fuse? I mean, have you seen those fail?

12 A. I can't say I've seen those. You know, we can --
13 talking about with the middle bead visible, the three beads?

14 Q. Yeah, um-hum.

15 A. I haven't seen.

16 Q. Okay.

17 A. I can't say.

18 MR. STOLICKY: All right. That's all I have.

19 MR. CHHATRE: Frank?

20 MR. McCARTON: I don't have anything.

21 BY MR. GEORGELIS:

22 Q. I'm a little confused, and I apologize.

23 A. That's okay.

24 Q. You're certainly a better an expert at this field than I
25 am. But when Kalu asked you if you have a joint, if it fails,

1 would it be an external load or the fuse joint, you said it would
2 be the external load. But when Chris asked you could it be
3 anything with the way it was installed, you indicated that it
4 could be sweat or something when it was fused; it would have
5 passed a pressure test, but could fail because there was some kind
6 of improper installation.

7 A. Right.

8 Q. So what --

9 A. It depends -- when Chris was asking the question, he was
10 asking it from the fusion point, from the act of fusing point of
11 view only.

12 Q. Okay.

13 A. Okay? When he asked the question, he was asking for a
14 properly fused joint, can you take it out? So you can take it out
15 through external loading and stuff like that.

16 Q. Okay. So --

17 A. That's how I was answering the questions.

18 Q. All right. So, let's -- so just clarify for myself.

19 A. Okay.

20 Q. If you fuse a joint, could it pass the pressure test,
21 even though it wasn't properly fused?

22 A. If it's improperly fused, it may not pass the pressure
23 test.

24 Q. Could it pass the pressure test?

25 A. I don't know. That's a tough one.

1 Q. Okay. And then you said that you've had occasions where
2 fused service tees did fail for improper installation?

3 A. Yes.

4 Q. And I think you said it was -- you have about six, a
5 half a dozen of them, you said, since 2011?

6 A. Of the service, of the service tees.

7 Q. Of the service tees.

8 MR. GEORGELIS: Could we go off the record for a second?

9 MR. CHHATRE: Off the record.

10 (Off the record.)

11 (On the record.)

12 MR. CHHATRE: No, no, we can go on -- back on the
13 record.

14 MR. NICHOLSON: Back on the record.

15 MR. CHHATRE: Any more questions?

16 MR. GEORGELIS: No further questions.

17 MR. CHHATRE: Lenny?

18 MR. SINGH: Yeah, a couple of questions, Joe.

19 BY MR. SINGH:

20 Q. Kelly -- going back to Kelly's point about a fuse that's
21 done, pressure tested and, you know, it -- let's say it passes.
22 And I guess the question Kelly asked, let's say, for a lack of a
23 better number, one is tapping that tee and exerts a force, let's
24 say, 110 pounds per square -- foot pounds of torque. Is that a
25 good test in your professional opinion, from an engineering

1 perspective, that could say that that tee -- that fuse is somewhat
2 sturdy and can -- in good shape, that level of stress on it and
3 strain?

4 A. It does subject the tee to additional torsional load.

5 Q. Uh-huh.

6 A. And pull-up, you know, because -- but one of the things
7 I've learned on these cutters is there's actually a screw within
8 the cutter. So while you may have an initial thrust load up as a
9 cutter begins to bite and cut in, it finally starts to screw
10 itself into the parent material. So it actually winds up
11 assisting; it actually provides an assist. So now the tee is just
12 basically seeing a torsional loading, as opposed to a heavy thrust
13 load. So, it actually relaxes. Because if you look -- that's how
14 the coupon is held in the tee. It's screwed -- the cutter screws
15 itself onto the coupon.

16 Q. You're talking at the very end of that --

17 A. Yeah, if you --

18 Q. -- the torquing process, when you're cutting through the
19 main material --

20 A. Yeah, when you begin the initial cut.

21 Q. -- instead of an upward force --

22 A. You might have it initially.

23 Q. Right.

24 A. But then as it starts --

25 Q. It's converted to a rotational or torquing --

1 A. Yeah, it -- well, it starts to grab the pipe.

2 Q. Right.

3 A. So it screws itself into the pipe.

4 Q. Okay.

5 A. Because there's internal cutting edges on the inside of
6 a cutter.

7 Q. Right.

8 A. I don't know if you've seen it.

9 Q. Yes, I've seen it.

10 A. Okay. So, it actually assists and starts to screw
11 itself in. And that's how it grabs the cutter -- the coupon, and
12 then takes it out when you unscrew it.

13 Q. Okay.

14 A. And remains in the steel.

15 Q. You're saying the loading drops at that point on the --

16 A. Well, no, actually, it should -- it declines. I can't
17 tell you what percentage it drops by.

18 Q. Okay.

19 A. But there's a decline. Because I spoke to a
20 manufacturer about this, you know, how does it work.

21 Q. Okay.

22 A. It's something they, you know, they tell me.

23 MR. CHHATRE: You're still on, Lenny.

24 MR. SINGH: Yeah. I lost my train of thought. I had
25 another question, but I -- I'll pass for --

1 MR. CHHATRE: If you want to come back, we'll come back.

2 MR. SINGH: Yeah. I'll pass for a second.

3 MR. CHHATRE: Chris?

4 MR. STOLICKY: I'm all done.

5 MR. NICHOLSON: I've got a follow-up.

6 BY MR. CHHATRE:

7 Q. A couple of follow-up questions. I'm going back to the
8 service tee again, the six number -- six or seven. Now, when you
9 get the component, in this case service tee, do they tell you
10 where it came from, how long it has been in service or what caused
11 a --

12 A. Yeah, they'll tell --

13 Q. The history comes to you?

14 A. Yeah, they'll tell us the address, the location. And
15 then we pull up the M&S plates, and that's how I know how long
16 it's been --

17 Q. How long it has been in there?

18 A. Right. Because we're able to click on the M&S plate and
19 see the attributes.

20 Q. But that information doesn't come from the person who is
21 sending you --

22 A. No. They just send us the tee, here's the address, take
23 a look at it.

24 Q. And from your database you know when it was installed?

25 A. Right.

1 Q. Okay.

2 A. From the M&S plate.

3 Q. Does any of the components come to you during the
4 installation itself? Like somebody is trying to install a tee,
5 the first thing fails, try to install again, second thing fails,
6 and they want to find out what happened?

7 A. Right. We do --

8 Q. Does that happen?

9 A. We do get some investigations. Typically, they'll send
10 us a butt fusion joint to see how well --

11 Q. Butt fusion.

12 A. -- to see how well their butt fusion joints are doing.
13 So, they, they might just -- the inspector over there has -- any
14 inspector has the power to say send that to the lab.

15 Q. Okay.

16 A. So we get it, we'll run a simple tensile pull on it to
17 see how well it did.

18 Q. Okay.

19 A. Bend test, whatever is necessary.

20 Q. Okay. So your report, when you send the report back,
21 has the information about this component and where the component
22 came from, the location --

23 A. It will be a simple e-mail response to the inspector or
24 the person interested how did the fuse do.

25 Q. Okay.

1 A. Yeah, very simple, nothing elaborate.

2 Q. Now, you say you -- when you qualify the pipe and the
3 service tees, you use the procedure developed by Con Edison?

4 A. Uh-huh.

5 Q. And you may or may not be participating, and in this
6 particular case, you say you don't have reviewed the procedure
7 given to you by the training center? Or whoever develop the
8 procedure.

9 A. Right. Yeah, if they choose to put us in the comment
10 field, we'll review it.

11 Q. All right. But now, when they develop the procedure do
12 you qualify the procedure in the lab before they issue the
13 procedure to technicians? Granted, they may not --

14 A. Yes.

15 Q. -- seek your input when they develop it. But when they
16 develop it, do you qualify that in the lab to make sure it's
17 working?

18 A. I have never qualified a procedure.

19 MR. SINGH: So, I think -- let me rephrase the question.
20 Let me -- I think I know what you're asking. Let's say a new
21 fitting comes along --

22 MR. CHHATRE: No, let me rephrase it myself.

23 MR. SINGH: Okay.

24 MR. CHHATRE: I don't need your help for that.

25 MR. SINGH: Okay.

1 MR. CHHATRE: I will just --

2 BY MR. CHHATRE:

3 Q. The department -- and I may not be correct here, the
4 training center -- who developed the procedure for fusion welding?

5 A. The procedure comes from gas distribution engineering.

6 Q. Okay. They develop the procedure. They may or may not
7 seek your input in developing the procedure when they develop it?

8 A. Yes.

9 Q. And earlier you said they -- in case of the service tee
10 fusion they did not seek your input.

11 A. I don't recall.

12 Q. Now -- so they develop the procedure. And my question
13 is, before you qualify the pipe suppliers or the service team
14 manufacturers, do you check the procedure to make sure the
15 procedure is working adequately? That the procedure is producing
16 the correct joint?

17 A. Yeah. We actually --

18 Q. You do that?

19 A. We perform the joints ourselves to make sure --

20 Q. Using their procedures?

21 A. Using the procedure in force.

22 Q. Okay.

23 A. Absolutely.

24 Q. Okay. Now, has it ever happened that a procedure did
25 not meet your testing and they had to redevelop it?

1 A. No, never happened during my time.

2 Q. Never happened. Okay.

3 A. No.

4 Q. Now, typically for the service tees again, going back to
5 service tee failures, for lack of a better word, typically how
6 long the service tee will be in service? The shortest, longest?
7 If you don't know the average --

8 A. It could be any one. I mean, the -- talking about the
9 service tees that come back to the lab for testing? It could be
10 any time. I mean, it --

11 Q. Do you recall the shortest -- I'm sure I'm going to get
12 a copy and we will have it, but I'm just trying to --

13 A. Yeah, a short one, maybe a few years.

14 Q. Okay.

15 A. A long one would be longer than that.

16 Q. Could be -- okay.

17 A. Various.

18 Q. So the very fact that they are fusions in service means
19 they initially passed the pressure test; did it not?

20 A. Yes. That's part of the procedure, service installation
21 spec.

22 Q. So, then, if it's an installation issue for the
23 failures, which we are classifying it cold fusion could be an
24 installation issue, but --

25 A. Uh-huh.

1 Q. So if an installation issue and the tee comes back to
2 you anywhere from couple of years to upwards --

3 A. Uh-huh.

4 Q. -- that means it did pass -- it's a service installation
5 issue, but it did pass the pressure test?

6 A. Right.

7 Q. Okay.

8 MR. CHHATRE: I guess that's pretty much it for me.
9 Thank you.

10 MR. MADIA: Okay. You're welcome.

11 MR. NICHOLSON: I've got some follow-up.

12 MR. CHHATRE: Okay.

13 BY MR. NICHOLSON:

14 Q. First off, you said we have dates that these fitting --
15 these Georg Fischer fittings were qualified by your lab?

16 A. Have date -- I'd have to check the record on that. When
17 they were first qualified?

18 Q. Yeah.

19 A. I'd have to go back. I don't have the, I don't have
20 the --

21 Q. You have the dates or the --

22 A. I don't know the dates.

23 MR. NICHOLSON: Do we have paperwork that would have
24 been --

25 MR. SINGH: Yeah, we're going to ask him.

1 MR. MADIA: Yeah.

2 MR. SINGH: That's one of the things we talked about in
3 Oklahoma, trying to find that information.

4 MR. NICHOLSON: You are -- okay, you are seeking it? I
5 wasn't sure if we had to ask for it, okay.

6 MR. SINGH: Yeah, we talked about that in Oklahoma.

7 MR. NICHOLSON: Oklahoma was --

8 MR. SINGH: Last week.

9 MR. NICHOLSON: -- ages ago.

10 BY MR. NICHOLSON:

11 Q. So, when you get these parts in the lab, you do the
12 analysis to find failure, and installation can be one of those.
13 Or lack of -- or fusion, poor fusion, I think was one. Can you
14 tell when you look at a joint whether you had a cold fuse or
15 contamination in the fuse joint? Can you make that distinction in
16 the analysis you do?

17 A. Yes.

18 Q. Okay. What would indicate contamination versus poor
19 fusion?

20 A. Contamination is particles or debris that seems to be
21 implicit in the joint, stuff that we would not expect. Example,
22 brown particles. You know --

23 Q. You shouldn't see that?

24 A. No.

25 Q. Okay. And what about a cold fuse? What does that look

1 like?

2 A. Cold fuse could be anything that is indicative of
3 insufficient bonding, such as maybe the failure going across the
4 body of the fuse as opposed to material. For example, the chimney
5 of the tee or the parent material.

6 Q. Uh-huh.

7 A. If you get failure, you want to see the pipe being taken
8 up.

9 Q. Okay.

10 A. Or the chimney structure. You want to see the fusion --
11 the joint itself being torn apart because that's where the crack
12 started.

13 Q. And you don't see that in a cold-fused joint; is that
14 what you're saying?

15 A. In a cold-fused joint you would see it.

16 Q. You would see it?

17 A. You would see it, because you don't have sufficient
18 bonding and as a result it came apart at the fuse itself.

19 Q. I see.

20 A. Because the fuse is supposed to be stronger than the
21 parent material.

22 Q. Okay. You're not taking a portion of the pipe material
23 off of the tee?

24 A. Right. Right.

25 Q. You're seeing the original surface of the tee?

1 A. Yes. We're seeing --

2 Q. Is that what I'll see?

3 A. -- we're seeing what looks like the joint itself.

4 Q. Okay.

5 A. When you look at the two pieces.

6 Q. I've seen the heater plates and they've got like

7 serrated edges on them.

8 A. Right.

9 Q. Right?

10 A. You get that signature as well.

11 Q. I'll get that signature on a cold fuse or -- when will I

12 see --

13 A. It could appear in a cold fuse, yeah.

14 Q. Okay. But I -- on a good joint, I shouldn't see it at

15 all?

16 A. No. You wouldn't see it.

17 Q. So, that goes away?

18 A. It goes away because you're lifting the -- either the

19 pipe material or the chimney structure. Right? So the --

20 Q. So, it doesn't leave those little marks?

21 A. That would -- those little marks associated with the

22 iron --

23 Q. Yeah.

24 A. -- are kind of like embedded in the fuse that was pulled

25 apart by -- that's still in the main.

1 Q. Okay. So that's a telltale sign right there, if I still
2 see the little iron marks, possibly?

3 A. Yeah, that could be -- that could possibly point in that
4 direction.

5 Q. Point in the direction of cold fuse or --

6 A. Insufficient fusing.

7 Q. Insufficient fusing.

8 You mentioned one of the tests you do is an impact test,
9 but I didn't hear when you -- that's where you drop a dead weight
10 from a specific height. Can you just tell us what the --

11 A. No, it's not.

12 Q. Oh, I'm sorry.

13 A. It's a little bit less rigorous. It's actually taking a
14 3-pound mallet and hitting it.

15 Q. Oh, okay. Is that done by you?

16 A. It's done by my operator qualified mechanics.

17 Q. Okay. Not really a calibrated test?

18 A. Not calibrated.

19 Q. It's just more of a sledgehammer test for --

20 A. Right.

21 Q. Okay. A 3-pound sledge?

22 A. Take a 3-pound mallet.

23 Q. Mallet.

24 MR. EMEABA: Mallet is rubber.

25 MR. MADIA: Yeah, it's not a sledge. A sledge is --

1 MR. NICHOLSON: Yeah, it's not a steel head. I
2 understand.

3 MR. MADIA: It's a 3 pound -- it's something you hold in
4 your hand.

5 BY MR. NICHOLSON:

6 Q. And I just want to clarify, I thought I heard two
7 things. Originally when you were asked about qualifying products,
8 I thought I heard you say you test to the manufacturer's
9 recommendations. Is that correct?

10 A. Yes.

11 Q. You do? But then later I thought I heard you also test
12 to Con Ed's procedures. So help me --

13 A. With regard to the fusion itself. If you have to fuse a
14 product, you have to use the temperature cited in our fusion
15 specification.

16 Q. Okay.

17 A. Right? So, for example, the --

18 Q. So when were you using --

19 A. -- for example, the Central Plastics 8 by 2 tee has
20 three numbers on it: 190.095. You have to use -- that's --

21 Q. Okay.

22 A. -- those are the numbers that we use by the
23 manufacturer. Then we use our own fusing procedure, the 500
24 degrees, to take the temperature -- to get the proper temperature
25 and fuse properly.

1 Q. Um-hum. So, your spec is only temperatures? It doesn't
2 call our pressure? Because I think I've seen --

3 A. Our spec -- yeah, our spec will call out the pressures,
4 but they lift from the manufacturer. They get lifted from the
5 manufacturer.

6 Q. Well, but the -- now, the procedure I saw at the time of
7 the accident actually had pressures that differed from the
8 manufacturer's. So, are we talking now or then? I mean, I want
9 to know what was in place in March of 2013.

10 MR. EMEABA: '14.

11 MR. NICHOLSON: '14. I apologize. Thanks.

12 MR. MADIA: March of 20- --

13 MR. NICHOLSON: '14, this year.

14 MR. CHHATRE: That's when the accident happened.

15 MR. MADIA: Yeah, yeah. Right, right.

16 MR. CHHATRE: When the accident --

17 MR. MADIA: I can only speak of the procedure I know.
18 So I don't know that one.

19 BY MR. NICHOLSON:

20 Q. Okay. So, which is it? I'm still confused. You tested
21 to the Con Ed procedure for installation, for --

22 A. Yeah, whenever -- when we install a tee, we use a Con Ed
23 procedure which specifies the pressures.

24 Q. Okay.

25 A. And we use those for our machines.

1 Q. It specifies the pressures, not the temperatures?

2 A. The temperature is also specified in the --

3 Q. Okay.

4 A. It's a series of specifications. You have the
5 temperature and the pressures.

6 Q. Okay. But those are Con Ed's, not manufacturer's?

7 A. Actually, the manufacturer is on, is -- it's matched.
8 The procedure I've seen, the two are matched.

9 Q. Okay. What if they're different? Do you do both? Does
10 the lab look at the manufacturer's versus Con Ed's to make certain
11 they are identical?

12 A. Yes. If there's a difference, then we contact the
13 specification SME.

14 Q. Okay.

15 A. Who is in gas distribution and engineering, and we
16 advise him of the difference, and what should we fuse to?

17 Q. Okay. So, you're looking at both.

18 A. Right.

19 Q. And if there's a discrepancy you actually do take it
20 back to somebody?

21 A. Yeah, we report to the SME.

22 Q. Okay.

23 A. Yeah, we alert them.

24 MR. CHHATRE: Are you done?

25 MR. NICHOLSON: Nope, sorry. I've got to go through my

1 notes here.

2 BY MR. NICHOLSON:

3 Q. Do you, do you check -- it wasn't clear to me either,
4 when you, when you have the procedure and you're given a new part,
5 and we'll confine our discussion to that 8 by 2 tee, do you look
6 for ways that it could be installed incorrectly? Do you take
7 temperatures outside certain boundaries?

8 A. No. We don't look for ways that it could be installed
9 incorrectly. If we do see a gross error that our operating forces
10 could do, we'll advise the SME. And --

11 Q. Okay.

12 A. So they can write it in the spec as a caution flag or
13 something like that.

14 Q. Okay. So you don't really test the procedure for its
15 tolerances or where it might be --

16 A. No.

17 MR. CHHATRE: For the record, just spell out SME.

18 MR. MADIA: Subject matter expert.

19 MR. CHHATRE: For the transcriber.

20 MR. MADIA: Right.

21 MR. NICHOLSON: Okay. That's -- I'll pass for now.

22 Thank you.

23 MR. MADIA: You're welcome.

24 BY MR. EMEABA:

25 Q. Have you --

1 MR. CHHATRE: Kelly.

2 BY MR. EMEABA:

3 Q. Based -- Kelly. Based on the failed tees you received,
4 based on what you stated earlier, how do you know the one that was
5 the failure resulted from human sweat being rubbed over the pipe?

6 A. No, that's -- I wouldn't know that. That's just a --
7 that's just information from literature.

8 Q. Okay. From literature.

9 A. But that could be one of the ways a fusing -- that would
10 be -- you would have to get that from literature.

11 Q. So you cannot --

12 A. For us to see that, that would be quite an undertaking.

13 Q. Okay. Because you stated that it could be one of the --

14 A. Yeah, I was speaking from literature at that point.

15 Q. From literature.

16 A. The general notion of contamination.

17 Q. Okay. And the other question, have you observed where
18 your employees, the employee of Con Edison, were being qualified
19 to do this fusion, plastic fusion?

20 A. Yes, I have observed them.

21 Q. You observed them? Okay. And can you say that the
22 qualification process they receive have been consistent with what
23 you, the lab analyst or -- expect, consistent with the proceeding?

24 A. I could say that, yes.

25 Q. Okay.

1 A. Because we have to follow the same thing.

2 Q. Okay. When they were qualified, based on your
3 observation, did you observe them test those joints that were
4 made?

5 A. Yes, I observed that.

6 Q. They tested them?

7 A. Yes.

8 Q. Okay. Okay, currently, do you also know the issue --
9 the fact that such tests have not always been occurring in your
10 system doing their qualifications?

11 A. Of the -- yes.

12 Q. You also know that too?

13 A. I am aware of that, yeah.

14 Q. Okay. Can you -- if you can remember, when last did you
15 make such -- observe in a requalification or qualification of your
16 employees to do fusions?

17 A. Well, they get qualified at the learning center. So I
18 wasn't there seeing them.

19 Q. That's what I'm saying, when last? Can you remember?

20 A. When last? No, I can't remember.

21 Q. How many years?

22 A. They get qualified every year.

23 Q. No, when last did you observe such activity?

24 A. Oh, when I -- I don't recall that.

25 Q. Twenty years? 15 years?

1 A. No, it was --

2 Q. Ten years?

3 A. Well, yeah, I started at the lab in 2007. But I
4 personally did not observe my own people getting qualified because
5 that's done at the learning center, not in the lab.

6 Q. Okay. So that's what I'm asking, if you --

7 A. Yeah, so --

8 Q. -- have observed them being qualified. You said yes.

9 A. I observed others being qualified in our lab.

10 Q. Okay.

11 A. Right. During the operator qualification.

12 Q. In your lab?

13 A. Right. But my physical employees, they were properly
14 qualified at the learning center.

15 Q. Okay. Did you observe them being completely qualified
16 in your -- at your lab?

17 A. No, not -- no.

18 Q. So you only observed them being, but you did not observe
19 the entire process?

20 A. Right.

21 Q. Is that what you're saying then?

22 A. Right.

23 MR. STOLICKY: Just a clarification.

24 MR. EMEABA: Thank you.

25 BY MR. STOLICKY:

1 Q. Were they doing the 3-year in your lab or was it the 12-
2 month requal?

3 A. The 12-month.

4 Q. Okay. And was that just that the more recent retesting
5 after the --

6 A. This is a recent retesting, yes.

7 Q. Was it any time before that?

8 A. No.

9 Q. Okay.

10 MR. EMEABA: Thank you.

11 MR. MADIA: You're welcome.

12 MR. CHHATRE: Frank? You had a question, I remember
13 that. Or you forgot?

14 MR. SINGH: No, that was me.

15 BY MR. McCARTON:

16 Q. During your failure investigations, do you know if --
17 whether the installation was either done by a contractor or in-
18 house forces?

19 A. Yes, we're advised. We're told.

20 Q. Have you seen one of the installations have more
21 prevalent issues than the other?

22 A. Cannot say.

23 Q. Okay.

24 MR. SINGH: I just want to go back to clarify the
25 conversation about qualification of materials and fittings, right?

1 You mentioned that the training center creates our procedures.

2 The training center doesn't create our procedures.

3 MR. CHHATRE: No, I think he clarified that.

4 MR. SINGH: Yes. Right. But I just want to --

5 BY MR. SINGH:

6 Q. Joe, so a new -- so, let's take an example, for
7 instance. Tomorrow, [REDACTED], Inc., creates a new tee. How does
8 that tee get onto our system and into our procedures?

9 A. We first have to take the tee --

10 Q. Who is we?

11 A. Oh, the gas development lab.

12 Q. What does the gas development lab do?

13 A. We take the tee and all the information associated with
14 it, and try to see -- understand how it was fabricated and to what
15 specifications in industry that it conforms to -- ASTM 2513; what
16 testing the manufacturer has done. We may even call on other
17 sister utilities to see how well this tee has done.

18 Then we'll take the tee and fuse it using our
19 procedures, and make sure it fuses to our various different host
20 pipes -- Performance Pipe, JM Eagle, MDOT -- to make sure it fuses
21 to our pipes. Because this is where it's going.

22 And once we've done, that we will take a sample, put
23 caps on the ends of the pipe and it, pressurize it, and put it in
24 our sustain tank and run it for -- I think it's a 1,000-hour test.
25 And just to see how it ages, okay? And once that is done, then

1 we'll take it --

2 MR. CHHATRE: What temperature? I'm sorry.

3 MR. MADIA: Hmm?

4 MR. CHHATRE: What temperature?

5 MR. MADIA: That about a -- I think 176. Yeah.

6 Okay. And then once we take it out of the sustain tank,
7 we'll put it in our burst tank and blow it up, to see if the joint
8 or its structure resists these pretty tough testing.

9 And once it -- once we -- or once that's passed, we'll
10 send it out to the field as a sample, see how well our field
11 forces fuse with that. We'll also fuse with it in our lab to make
12 sure it fuses well. And then we'll just write a report saying
13 that the piece has -- is acceptable for use. We'll present the
14 report to our chief distribution engineer for concurrence. He may
15 have some questions. We'll research that. And then it goes out
16 to purchasing as another item that can be used, can be picked up
17 by our field forces.

18 BY MR. SINGH:

19 Q. Let's say, for example, now, something changes in that
20 process where the fusing doesn't match our spec. What do you do
21 with that information? Let's say it's -- it has to do with a
22 higher temperature or a lower pressure. What would you do with
23 that information?

24 A. We would go back and use it on our accepted tees to make
25 sure that this is not damaging or deleterious to the fusion

1 quality.

2 Q. So let's say --

3 A. So we'll run our -- we'll run pressure --

4 Q. So let's say now that fitting -- it works, but -- it
5 passed your burst test, your extended life test, but some
6 parameters change but we want to put it in stock. What would we
7 change? How would that be changed?

8 A. When we -- repeat the question.

9 Q. So this fitting doesn't conform to our spec, some
10 parameters are different, but we feel it meets the needs to our
11 system. Some parameters are changed. How do you reflect that
12 change in the parameters, and where does it go?

13 A. Okay. The appropriate spec that gets impacted, you have
14 to go to their SME and present the new parameters for fusion, or
15 whatever the case may be, to make sure that the SME who is writing
16 the spec doesn't impact any other parts of the spec. So an
17 analysis is done on that end. And then if we need to conduct
18 additional tests to satisfy the SME who is writing the procedure
19 or the specification, we'll conduct those tests as well and report
20 back.

21 Q. So, that's when the spec would get changed and updated
22 and translated to all the areas for comments and eventually people
23 would be trained on the changes in the specifications?

24 A. Right.

25 Q. I just want to clear that up because it sounded like it

1 was a little --

2 MR. NICHOLSON: I'm not clear. This is Matt. The
3 scenario you just put out there was if the spec changed --
4 something in the spec changes.

5 MR. SINGH: As a result of a change in a new fitting or
6 a new part being qualified as different from our current spec.

7 MR. NICHOLSON: Okay. So, your scenario was a new part?

8 MR. SINGH: Right.

9 MR. NICHOLSON: That seems equivalent.

10 MR. SINGH: So the first -- right, the first part was
11 everything works within our spec.

12 MR. NICHOLSON: Yeah.

13 MR. SINGH: So, it qualifies, it goes up, it gets put
14 into stock. Now, here's -- it's qualified, but there's some
15 parameter changes that's required in the spec change. So that
16 would initiate a specification change. Right? So then folks
17 would have to be trained differently.

18 MR. NICHOLSON: For an equivalent part?

19 MR. SINGH: It could be equivalent, but some parameters
20 are different.

21 MR. NICHOLSON: Well, then you need a separate procedure
22 or --

23 MR. SINGH: It could be embedded within the same
24 procedure; for part X --

25 MR. NICHOLSON: Okay, I see.

1 MR. SINGH: -- you use this, right?

2 MR. NICHOLSON: Okay.

3 MR. SINGH: Hence, the new spec says follow the
4 manufacturer's recommendation.

5 MR. NICHOLSON: And that would be -- the lab drives
6 that --

7 MR. SINGH: Correct.

8 MR. NICHOLSON: -- back to the SME?

9 MR. SINGH: I just wanted him to clarify it didn't come,
10 it didn't come this --

11 MR. NICHOLSON: What if the SME just decides I don't
12 like 500, I want to use 250?

13 MR. SINGH: There would have to be some basis for that.
14 Because eventually it has to get signed off by different levels.

15 MR. NICHOLSON: Is there a control in place that says
16 because the spec changed it has to go to the lab?

17 MR. SINGH: No, it comes the other way, right? The lab
18 makes recommendations on new materials and fittings.

19 MR. NICHOLSON: But he said he doesn't write the
20 procedures.

21 MR. SINGH: No, what --

22 MR. NICHOLSON: The procedures --

23 MR. SINGH: The SME does.

24 MR. NICHOLSON: Right.

25 MR. SINGH: Right. So there would be a discussion as to

1 what would change. And as Joe mentioned, what else would be
2 impacted if we change? So we might decide to say, no, we don't
3 want that fitting. Right? Because there's too many other things
4 would be impacted.

5 MR. NICHOLSON: But the SME can change a procedure -- he
6 owns the procedure -- can't he?

7 MR. SINGH: Not just, not just on his own, just make a
8 change for no reason. There's got to be some reason why he would
9 change it. There's comments from other folks, and you have to
10 communicate those changes.

11 MR. NICHOLSON: So, there's a workflow --

12 MR. SINGH: Yes.

13 MR. NICHOLSON: -- is what you're trying to say?

14 MR. SINGH: Correct.

15 MR. NICHOLSON: Is part of the workflow the lab?

16 MR. SINGH: Yes.

17 MR. CHHATRE: I think the question Matt had was really
18 is a process in place? Does it happen informally or does it --
19 that they had to follow a formal procedure before they do that?
20 Do they have a procedure?

21 MR. SINGH: There's a process in place, right. So some
22 -- Tasos, Inc. comes to the lab and says, hey, I have this new
23 part; I want to -- you know, I think it makes -- it meets Con
24 Edison's needs. Joe does all the testing, proves it, comes to
25 engineering and says, you know, I want -- you know, chief

1 engineer, can you approve this part? Makes -- looks at all the
2 specs, you know. We make the changes. It's applicable. No
3 change is required or a change is required in our specs to adopt
4 that material. So there is a process in place.

5 MR. NICHOLSON: Forget [REDACTED], Inc.

6 MR. SINGH: Uh-huh.

7 MR. NICHOLSON: I was actually asking about an existing
8 part, where the procedure is changed --

9 MR. SINGH: Right.

10 MR. NICHOLSON: -- by an SME. Does that get routed
11 through the lab?

12 MR. SINGH: There's -- it's circulated to all for
13 comments, including the lab.

14 MR. NICHOLSON: Okay. That's what he was --

15 MR. SINGH: Right.

16 MR. NICHOLSON: -- referring to earlier?

17 MR. SINGH: Correct. Right. There's an opportunity to
18 comment before any changes are made to the specs.

19 MR. NICHOLSON: He can -- okay, he can comment, but he
20 doesn't necessarily have to run the tests?

21 MR. SINGH: Well, he can choose to say, well, you know,
22 I would like to subject it to these tests before.

23 MR. NICHOLSON: Okay.

24 MR. SINGH: Right? That's his -- that would be his
25 recommendation.

1 MR. NICHOLSON: Okay.

2 MR. CHHATRE: Do you still have --

3 MR. SINGH: No, that's it for me.

4 MR. CHHATRE: Any questions? Normally we don't go three
5 rounds, but you gave -- so much information you have, so we've had
6 to go the third round here.

7 BY MR. CHHATRE:

8 Q. The slow crack growth, have you seen any evidence of the
9 slow crack growth in your service tees?

10 A. No, I haven't.

11 Q. Okay. And as far as the procedure goes, your
12 technicians who test all these products are qualified by gas
13 engineering, you said? Which -- who qualifies the procedures
14 again? Repeat that. Not -- I know training center doesn't do it.
15 Who develops the procedures?

16 A. The specifications?

17 Q. Right.

18 A. That's gas distribution engineering.

19 Q. Gas distribution engineering. Okay. So they develop
20 the procedure. It comes to you for comment. It may not come for
21 you -- come to you for comment. But you are still required to
22 test that procedure to make sure it's adequate?

23 A. Right.

24 Q. Okay. Now, your people go and get trained on that
25 procedures.

1 A. Um-hum.

2 Q. Who do the testing?

3 A. That's the operator qualification program at the
4 learning center.

5 Q. Okay. Now, there's an ELE requirement. Was that in
6 effect at the time of accident, that you will do the ELE test in
7 your lab?

8 A. The?

9 Q. ELE requal, if you want to call it.

10 A. In the lab itself?

11 Q. Yeah.

12 A. No, that was in the learning center.

13 Q. The learning center.

14 A. That was -- no, it wasn't in the lab. It was the
15 learning center.

16 Q. The learning center. But now it is in the lab?

17 A. As a satellite, overflow.

18 Q. Okay. Oh, you overflow?

19 A. Overflow.

20 Q. Okay.

21 A. As things go back to normal, it will go to the normal,
22 it will go to the learning center, where it belongs.

23 Q. Yes. Okay. Now -- let me phrase the question properly
24 here. Why there is no requirement that each failure has to come
25 to you?

1 A. It's a protocol in the procedure that's -- they call it
2 the GIS web, and there's a -- if you look at the GIS system that
3 the mechanics use, there's an item called "plastic failure, send
4 to lab." There's a protocol in there.

5 Q. But, I mean, but it's up to them whether to send it to
6 you or not.

7 A. It's up to them, right.

8 Q. Right. And my question is, was the lab's input asked
9 for? Or who made the decision that it's an option and that not
10 every failure will be looked at? I guess my -- let me rephrase
11 the question.

12 How would you know a certain part has a more frequency
13 of failures if you don't see each and every one of them?

14 A. Yeah, I wouldn't know that.

15 Q. Okay.

16 A. I wouldn't know that.

17 MR. CHHATRE: That's all. Thanks.

18 MR. MADIA: Okay. You're welcome.

19 MR. CHHATRE: Anybody have any follow-ups? Thank you so
20 much for coming.

21 MR. MADIA: My pleasure.

22 MR. CHHATRE: I appreciate all the time.

23 MR. MADIA: Okay.

24 MR. CHHATRE: Off the record.

25 (Whereupon, the interview was concluded.)

CERTIFICATE

This is to certify that the attached proceeding before the

NATIONAL TRANSPORTATION SAFETY BOARD

IN THE MATTER OF: CON EDISON NATURAL GAS RELEASE
 WITH IGNITION
 HARLEM, NEW YORK
 MARCH 12, 2014
 Interview of Joseph Madia

DOCKET NUMBER: DCA-14-MP-002

PLACE: New York, New York

DATE: August 5, 2014

was held according to the record, and that this is the original,
complete, true and accurate transcript which has been transcribed
to the best of my skill and ability.

Jane W. Gilliam
Transcriber