

## UNITED STATES OF AMERICA

## NATIONAL TRANSPORTATION SAFETY BOARD

\* \* \* \* \*

Investigation of:

\*

\*

NATURAL GAS DISTRIBUTION PIPELINE

\*

LEAK AND MULTISTORY STRUCTURE

\*

EXPLOSION IN HARLEM, NEW YORK

\*

MARCH 12, 2014

\*

\*

\* \* \* \* \*

Interview of: ANTHONY LETO

Con Edison  
 4 Irving Place  
 New York, New York

Tuesday,  
 August 5, 2014

The above-captioned matter convened, pursuant to notice.

BEFORE: RAVI CHHATRE  
 Investigator-in-Charge

## APPEARANCES:

RAVI CHHATRE, Investigator-in-Charge  
National Transportation Safety Board  
Washington, D.C.

KALU KELLY EMEABA, Accident Investigator  
National Transportation Safety Board

MATTHEW NICHOLSON, Accident Investigator  
National Transportation Safety Board

FRANK McCARTON, Deputy Commissioner  
Office of Emergency Management  
New York, New York  
(Party Representative)

ANASTASIOS GEORGELIS, Director of Field Operations  
Bureau of Water and Sewer Operations  
Department of Environmental Protection  
New York, New York

LEONARD SINGH, Chief Engineer  
Gas Distribution Services  
Con Edison  
(Party Representative)

CHRIS STOLICKY, Utility Supervisor (Safety)  
New York State Department of Public Service  
(Party Representative)

ROBERT ALBANO  
(Representative on behalf of Mr. Leto)

<u>ITEM</u>	<u>I N D E X</u>	<u>PAGE</u>
Interview of Anthony Leto:		
By Mr. Chhatre		6
By Mr. Kelly		10
By Mr. Stolicky		14
By Mr. Chhatre		15
By Mr. Nicholson		16
By Mr. Stolicky		19
By Mr. Nicholson		19
By Mr. McCarton		21
By Mr. Singh		22
By Mr. Georgelis		22
By Mr. Singh		23
By Mr. Nicholson		23

I N T E R V I E W

MR. CHHATRE: Good afternoon. Today is Tuesday, August 5, 2014. We are currently in Con Edison's facility located at 4 Irving Place, New York, and we are meeting regarding the investigation of natural gas distribution pipeline leak and multistory structure explosion that occurred on March 12, 2014 in Harlem, New York.

My name is Ravi Chhatre. I'm with National Transportation Safety Board located in Washington, D.C., and I'm Investigator-in-Charge of this accident. The NTSB investigation number for this accident is DCA-14-MP-002.

I would like to start by notifying everyone present in this room that we are recording this interview, and we may transcribe it at a later date. Transcripts will be provided directly to the interviewee for review and identifying any typographical errors. The transcripts may be posted in NTSB's public docket.

Also, I would like to inform Mr. Anthony Leto that you are permitted to have one other person present with you during the interview. This is a person of your choice: your supervisor, a friend, family member, or if you choose no one at all.

Please state for the record your full name, spelling of your name, organization you work for, your title, business contact information such as mailing address, and whom you have chosen to be present with you during your interview today.

1           MR. LETO: Okay. My name is Anthony Leto, L-e-t-o. I'm  
2 the Section Manager of Gas Transmission Planning and Pipeline  
3 Integrity here at Con Edison. I have Bob Albano with me today.  
4 My phone number? What else did you want?

5           MR. CHHATRE: Your phone number, e-mail --

6           MR. LETO: My e-mail address is --

7           MR. CHHATRE: But only business.

8           MR. LETO: Yes, [REDACTED]

9           MR. CHHATRE: Thank you.

10           Now, we'll go around and introduce ourselves. Please  
11 state for the record your name, spelling of your name, your title,  
12 organization that you represent, and your business contact  
13 information, starting from my right.

14           MR. NICHOLSON: Matthew Nicholson, Investigator, NTSB.  
15 Spelled Matthew, M-a-t-t-h-e-w, Nicholson, N-i-c-h-o-l-s-o-n. My  
16 e-mail is [REDACTED].

17           MR. KELLY: Kalu Kelly Emeaba, K-a-l-u, K-e-l-l-y, E-m-  
18 e-a-b-a. I'm an investigator with NTSB. My e-mail address is  
19 [REDACTED]

20           MR. McCARTON: My name's Frank McCarton, Deputy  
21 Commissioner for Operations of the Office of Emergency Management  
22 for the City of New York. I'm a New York State party member on  
23 this investigation. My e-mail address is [REDACTED]  
[REDACTED]

25           MR. GEORGELIS: My name is Anastasios, A-n-a-s-t-a-s-i-

1 o-s, G-e-o-r-g-e-l-i-s. I'm here with Frank. I work for the New  
2 York City Department of Environmental Protection. My title is  
3 Director of Field Operations. E-mail address is

4 [REDACTED]

5 MR. SINGH: Leonard Singh, L-e-o-n-a-r-d, S-i-n-g-h,  
6 Chief Engineer of Gas Distribution Engineering, the NTSB party rep  
7 representing Con Edison on this team. [REDACTED]

8 MR. STOLICKY: Chris Stolickey, S-t-o-l-i-c-k-y. I am  
9 the New York State party rep on this investigation. I'm Utility  
10 Supervisor (Safety) for the New York State Department of Public  
11 Service. E-mail is [REDACTED]

12 MR. ALBANO: Robert Albano, R-o-b-e-r-t, A-l-b-a-n-o.  
13 I'm accompanying Mr. Leto.

14 MR. CHHATRE: Thank you.

15 INTERVIEW OF ANTHONY LETO

16 BY MR. CHHATRE:

17 Q. Mr. Leto, for the record, can you describe your  
18 education, formal trainings and background, and what you do with  
19 Con Edison?

20 A. Okay. I've got a bachelor's of science degree in  
21 chemical engineering. I also have a master's in business  
22 administration. I'm also a registered gas distribution  
23 professional from GTI. I've been with Con Edison almost 28 years.  
24 I'm currently the section manager of gas transmission planning and  
25 gas transmission pipeline integrity in our engineering department

1 here at Con Edison.

2 Q. Thank you. Can you tell us what happened on the day of  
3 the accident? When you did you report on the scene? I guess walk  
4 us through what you did.

5 A. Okay. The day of the accident, I reported to scene late  
6 that day or the next day. I'm trying to think. It was after the  
7 NTSB was on site.

8 Q. Okay.

9 A. That's when I arrived for the first time to the scene.  
10 So at which time, I met the NTSB and I was introduced as the  
11 liaison between the NTSB and the operations group at Con Edison.

12 Q. Can you tell us what you saw on the scene when you  
13 arrived?

14 A. When I arrived, I saw the collapse of -- the buildings  
15 were collapsed, the debris pile. They were in the process of  
16 using heavy equipment to remove the debris from the site. The  
17 fire department was still on location making sure that there was  
18 no flare-ups or anything, and the clean-up was continuing at that  
19 time.

20 Q. Now, when you arrived, did you see any break in the  
21 water main? Was the main already broken and -- or?

22 A. I did not see the water main break.

23 Q. Okay. When you arrived, did you know there was a water  
24 main break?

25 A. I was informed of that.

1 Q. Okay. Did you see where the break was?

2 A. No, I did not.

3 Q. So tell us about the fire banks and what was done in  
4 terms of the fire bank and the other work that we did, excavation  
5 work.

6 A. Okay. Prior to my arrival, they had excavated one, two  
7 -- three fire banks to physically isolate the affected section of  
8 main. The fire banks were located far enough away from the  
9 incident so that the workers' safety was ensured. We continued  
10 after we got access. We excavated over the services to gain  
11 access and we pressure tested sections of the affected piece of  
12 pipe.

13 Q. Okay. Do you recall how many pressure tests were done?

14 A. No, not offhand.

15 Q. Okay. Do you know the pressure held?

16 A. On the main? No.

17 Q. Yes, on the main.

18 A. No.

19 Q. Now, we also tried to locate the possible leak by using,  
20 I guess like Lenny said, some new technique that was used for the  
21 first time? Len?

22 A. Yes, PFT.

23 Q. And can you describe that for the record?

24 A. Okay. PFT is a gas that we use when we look for leaks  
25 on the gas -- on the electric transmission system. It was



1 introduced into the gas main that has -- was previously isolated.  
2 And specialized equipment ride over the main looking for where  
3 this PF -- where there's trace of gas may escape from the gas  
4 main. So we had two vehicles that rode over the main. The  
5 technicians were in the vehicle monitoring their readings, and  
6 they did get one very high reading just south of the affected  
7 building.

8 Q. Can you use the map, and maybe describe for the  
9 transcriber what you are seeing? This is not --

10 A. Oh, okay. I'm looking upside down.

11 Q. Turn the map around if you want.

12 A. Oh, okay. No, this is all right. So these are the two  
13 buildings. So the two vehicles were riding over the main. They  
14 rode along Park Avenue and also along 116th Street, the isolated  
15 section of distribution main. They received a higher reading in  
16 front of 1642 Park Avenue.

17 Q. Okay. Now, were you there when the excavation was done,  
18 because the ground kind of gave way and the --

19 A. Yes.

20 Q. Maybe you could then go on to describe that. What  
21 happened?

22 A. Okay. When we got access to excavate over the gas  
23 distribution main, we noticed a number of voids in the ground. At  
24 one point we actually had to put a harness on the individual  
25 performing the excavation, the hand excavation, for his safety.

1 There was a lot of heavy concrete or roadway asphalt over the gas  
2 facilities. When they were removed, we did end up seeing a  
3 damaged section of gas distribution piping that was plastic and  
4 the associated service T.

5 Q. Okay.

6 MR. CHHATRE: And I'll just go around on this particular  
7 issue. Then I will talk to you on the integrity management.

8 MR. LETO: Okay.

9 MR. CHHATRE: Kelly?

10 MR. KELLY: Um-hum.

11 BY MR. KELLY:

12 Q. You mentioned the banks and the test and you did state  
13 that at 1642 you observed high readings.

14 A. Of the PFT, correct.

15 Q. Of the PFT. Now, which indicates what, please?

16 A. That the tracer gas was escaping -- it's from within the  
17 gas main.

18 Q. Okay. What does that mean?

19 A. It means that the tracer gas was no longer being  
20 contained within the gas facility. Because it was injected at one  
21 of the fire banks on 116th Street, and as these -- as this  
22 specialized equipment rides over the main, they look for evidence  
23 of the gas coming out, leaking out of the gas main. So at that  
24 point, they got a high reading of this tracer gas coming out, a  
25 plume being developed at that location.

1 Q. Okay. Which indicates what?

2 A. That there was a breach in the pipe.

3 Q. Thank you. That's what I --

4 A. Okay.

5 Q. -- I wanted to hear.

6 And you mentioned that you were not very much early at  
7 the site after the incident. I wanted to ask you more questions.  
8 I know you've answered some of them and though which Ravi already  
9 asked concerning what you saw, but since you came the next day,  
10 you were already there, that makes it different. Can you tell us  
11 other activities you performed while you were on site?

12 A. Basically, any -- I coordinated any of the operations  
13 piece: the testing of the gas main, the excavation, the removal  
14 of the gas main, the testing of the gas services, the removal of  
15 the gas services, making sure that they were properly handled and  
16 packaged, the testing, and that's about it.

17 Q. Okay. So what did you observe from the whole field and,  
18 you know, activity that would help in this investigation?

19 A. What did I observe that would help in this  
20 investigation?

21 Q. Yeah.

22 A. I guess the biggest observation was the abnormalities,  
23 in that the voids under the ground, that's very rare to see that  
24 number of voids. And the thickness of the concrete and roadway  
25 that was present in the area, that's out of the ordinary that I

1 observed.

2 Q. Okay. So based on such observations, could you have  
3 thought of the water breakage being in existence? Would that have  
4 been noticed before this incident? The water breakage, the water  
5 main breakage?

6 A. Would it have been noticed?

7 Q. Yeah, noticed.

8 A. Probably not if the water had -- the water tends to go  
9 down. If it had a path to go down and not up into the roadway,  
10 and then it's not uncommon to see -- to not see evidence of water  
11 at street level. Number of times we excavate and we don't notice  
12 water leakage until you actually dig down. You don't always see  
13 the water rising to the surface of a street.

14 Q. Okay. In your prior activities as well during this  
15 incident, how deep do you have to go to see any water in the  
16 ground?

17 A. Typically, 3, 4 feet. And it depends upon the area.  
18 I've worked in areas with a high water table, which is known, and  
19 it's less. Other places we can go down 12 feet and not see any  
20 evidence of water. So it really varies on the water table and the  
21 location of the water main. A lot of times the water main is on  
22 the opposite side of the street from the gas main in New York  
23 City.

24 Q. Okay. So at this point of the incident along Park  
25 Avenue, do you see it as an area that could have held underground

1 water passing through it by itself, you know, as a result of water  
2 from a water main? Do you see it as an area that could have  
3 water, actually water flowing through the --

4 A. Groundwater?

5 Q. Yes.

6 A. No. No, not that part of Manhattan you wouldn't see  
7 normal groundwater. It would only come from a water main. If you  
8 excavated and had evidence of water, it would probably be from a  
9 leaky water service, a water main leak, or something of that  
10 effect.

11 Q. Thank you. And from your job descriptions, I'm told --  
12 you mentioned you were in pipeline planning and integrity,  
13 correct?

14 A. Yes, gas transmission, pipeline integrity, correct.

15 Q. Oh, transmission?

16 A. Yes.

17 Q. Not distribution?

18 A. No. No, I don't do -- the only time we overlap is in  
19 terms of public awareness. I've participated or I've given a  
20 number of presentations. We -- Con Edison's public affairs has a  
21 program where we educate public officials, community boards, and  
22 we give presentations to them, and it covers all aspects of Con  
23 Edison, not just gas. So I typically give that portion of the  
24 presentation. We do it both in New York City and up in  
25 Westchester.

1 Q. Okay. So as a result of your job description, in this  
2 area of the incident, were you in any form involved in the  
3 pipeline construction installations in any form?

4 A. Not in my present position, no.

5 Q. Okay. Do you work with contractors in your area?

6 A. No.

7 Q. Did --

8 A. Oh, yes, I do. I do have a contractor doing some ECDA  
9 work.

10 Q. ECDA work?

11 A. Yeah, external corrosion direct assessment.

12 Q. Okay.

13 A. On the transmission system.

14 Q. Okay. Thank you.

15 A. Okay.

16 MR. CHHATRE: Chris?

17 BY MR. STOLICKY:

18 Q. In the public awareness efforts, you said it's a general  
19 plan across the board with all commodities. Is there anything  
20 specifically you would do differently in regard to the  
21 transmission system? I mean, it may be more towards emergency  
22 responders and the public, but is there anything you do  
23 differently?

24 A. As part of this presentation?

25 Q. Um-hum.

1           A.    It's an overall gas presentation.  It covers both  
2   transmission and distribution.  We talk a lot about third-party  
3   activity and contractor damage; call before you dig.  We try to  
4   educate the public on that, being that third-party contractor  
5   damages are our biggest threat of concern.  So that's where we  
6   focus a lot about.  But it's really a general overview of the gas  
7   transmission and distribution system, all our safety programs that  
8   we perform, and it was just general conversation, presentation  
9   about those safety programs.

10           MR. STOLICKY:  I don't have any questions regarding your  
11   experience on the site.

12           MR. CHHATRE:  Frank?

13           MR. McCARTON:  I'll defer to the committee.  I don't  
14   have -- I'm good.

15           MR. CHHATRE:  Okay.  Lenny?  Okay.

16           BY MR. CHHATRE:

17           Q.    Just one question.  When the DIMPs became effective, did  
18   you have any interaction with the people handling DIMPs versus the  
19   transmission integrity management?

20           A.    When it became effective, I did not have pipeline  
21   integrity at the time, transmission pipeline integrity.  I only  
22   received that about 2 years ago.  So when it first became  
23   effective, I wasn't part of that.

24           Q.    But when you became responsible for transmission  
25   integrity, did you have any interaction with the DIMPs people?

1 A. No, only in terms of public awareness.

2 Q. That's it?

3 A. That's it.

4 Q. Okay. So when the program was developed by Con Edison,  
5 were you consulted in the development part of the DIMPs?

6 A. No, I wasn't.

7 Q. Okay. That's all I have.

8 BY MR. NICHOLSON:

9 Q. I want to go back to the day of. I did have some  
10 follow-up questions, Tony, and I want to go to the map. Because  
11 you said you introduced the perfluorocarbon tracer gas to look for  
12 leaks?

13 A. Right.

14 Q. And I wasn't quite clear, you said you did it at one of  
15 the fire stops. Can you just point out -- we had understood from  
16 a previous interview that these squares represent the fire stops.  
17 I believe there was one there and I think he identified --

18 A. One here and one here.

19 Q. -- one here and there. Yep. So where was it  
20 introduced?

21 A. This one.

22 Q. Okay. So the main's intact at this point still?

23 MR. CHHATRE: But for the record, just --

24 MR. LETO: Yeah.

25 MR. CHHATRE: -- describe where --



1 MR. NICHOLSON: Oh, yeah.

2 MR. LETO: That would be west side of Park Avenue at  
3 116th Street.

4 UNIDENTIFIED SPEAKER: East side.

5 MR. LETO: East side. East side.

6 MR. CHHATRE: At fire bank 2?

7 MR. LETO: Well, I don't see numbers on this, but, yeah.

8 BY MR. NICHOLSON:

9 Q. Okay. I'm sorry. So it was introduced there. The  
10 main's still intact at this point, right?

11 A. The main was isolated, the gas from the gas.

12 Q. Okay.

13 A. It is continuous from in between the three fire banks.

14 MR. SINGH: Other than three fire banks, no other  
15 excavations were done at that time.

16 MR. LETO: Correct.

17 BY MR. NICHOLSON:

18 Q. I see. Okay. And that's why you had to introduce a  
19 tracer gas through the methane. Okay.

20 A. Yes.

21 Q. And when you detected it, you detected it front of 1642.  
22 That was the only place that it came out?

23 A. Well, that was the largest plume.

24 Q. Largest plume.

25 A. You know, it's --

1 Q. Are you using a sniffer?

2 A. Yes, basically, the vehicles have like a sniffer-type  
3 device --

4 Q. Okay.

5 A. -- that they analyze the readings coming out.

6 Q. And so does the reading translate to a rate of leakage  
7 at all?

8 A. No, it doesn't.

9 Q. Okay. It's just a go/no-go --

10 A. Yes.

11 Q. -- either you got something or you don't?

12 A. Well, it has an intensity.

13 Q. Oh.

14 A. It does have -- it's like if you saw a graph, you have a  
15 lot of noise and then it was -- you would see --

16 Q. A spike or --

17 A. A spike.

18 Q. Okay.

19 A. Right.

20 Q. Okay. But that -- there's not a value associated with  
21 it? It's not --

22 A. No, there is no --

23 Q. -- parts per million or --

24 A. No.

25 Q. Okay.

1 BY MR. STOLICKY:

2 Q. Can you talk a little bit about what you did prior to  
3 running the PFT gas to ensure that there was continuity in the gas  
4 mains? I think we just mentioned that, but I don't think we  
5 discussed that process.

6 A. Okay. Between the three fire banks, we insert -- and  
7 before we actually tested, pressure tested the gas main, we  
8 inserted gas into one fire bank, which is the one on the east side  
9 of Park Avenue at 116th Street, and we went to the other two fire  
10 banks to ensure that air was coming out, to ensure that we had a  
11 continuous path between the three fire banks.

12 Q. Okay. You inserted air?

13 A. Air.

14 Q. Yeah.

15 A. Yeah.

16 Q. Right.

17 A. So that's what we did to ensure -- to make sure we  
18 didn't have a solid blockage at that time, so that when we did the  
19 pressure test we knew that were pressurizing from in between the  
20 three fire banks.

21 BY MR. NICHOLSON:

22 Q. Well, so there was a pressure test as well?

23 A. Yes, after we ensured --

24 Q. That's what you're saying is the air test?

25 A. Yes.

1 Q. Oh, okay.

2 A. Yes.

3 Q. All right, you're calling that a pressure test. All  
4 right. Okay. I didn't have any other questions on that.

5 I did want to ask you though, a little later on you  
6 talked about asphalt on the pipe, and I didn't get a clear picture  
7 of where was it on the pipe and how big are these pieces. What --  
8 when was that, that you saw the asphalt?

9 A. When we were excavating in front of 1646, 1644, and  
10 1642, in that area, there was asphalt and concrete.

11 Q. Like small pieces, big pieces?

12 A. Big pieces.

13 Q. Big pieces. And they were -- where were -- they were on  
14 the main or on the --

15 A. Yes.

16 Q. -- service line?

17 A. Yes. Everywhere.

18 Q. Everywhere?

19 A. Yes. There were big pieces over it.

20 Q. So was there something specifically on the T or near the  
21 service line T?

22 A. There was -- let me think. There was a piece of asphalt  
23 in the -- very close in the vicinity of the T and the plastic  
24 main.

25 Q. Did you see it removed or --

1 A. Yes, I was there for it.

2 Q. Okay. How did they remove it?

3 A. Carefully. They lifted up --

4 Q. Did they use equipment?

5 A. Well, it was big enough to -- I believe they had to put  
6 a sling on it and lift it up, or some of it they tried to do by  
7 hand.

8 Q. Did you actually see it fall?

9 A. No.

10 Q. Okay.

11 A. No, I did not see it fall.

12 MR. NICHOLSON: Okay. That's all I had. Sorry, Ravi.

13 MR. CHHATRE: Okay. Any follow-up questions? Go ahead.

14 BY MR. McCARTON:

15 Q. Anthony, when you say pieces of asphalt, was that the  
16 pavement you were seeing or there was pieces, individual pieces of  
17 asphalt that you saw on top of the gas main?

18 A. What was in the -- it was pieces that were broken away  
19 when we were excavating.

20 Q. Could that have been during the excavation for the  
21 building debris pile that they were moving around?

22 A. Possibly. I mean, I don't -- I wasn't there when the  
23 water main occurred -- when the water main break occurred, so I  
24 don't know what transpired at that time and what they needed to do  
25 in order to bring in that big crane.

1 BY MR. SINGH:

2 Q. Tony, you mentioned there was abnormal conditions where  
3 there was lots of asphalt. You know, in your career and with your  
4 time working -- you were in construction at one time, right?

5 A. Yes.

6 Q. Have you ever seen multiple layers of street or asphalt  
7 piled up and could what you described before be sections of that  
8 that fell or dropped?

9 A. The only time I've ever seen something like that is when  
10 the city has built a street over a street. That's the only time  
11 you really see something like that. But this was -- and really it  
12 -- then you see like a separation in between; you get the new  
13 street, the old street. But in this area, you actually saw thick  
14 asphalt in that one area in front of 1646, 44, and 1642 Park  
15 Avenue.

16 Q. So those large segments that Matt was referring to  
17 before, you think those could have been segments of those asphalt  
18 that somehow dislodged itself or separated itself?

19 A. Could be. Yes, it could be.

20 BY MR. GEORGELIS:

21 Q. Just to follow up. So, Anthony, so it was like layers  
22 of asphalt? Can you describe it like that?

23 A. When we excavated, the solid piece in the bank along the  
24 trench, you actually saw the asphalt being extremely thick. And  
25 if you looked closely, you can probably see -- you can almost

1 detect when each layer was added.

2 Q. And then where was that? That was the whole length of  
3 the street?

4 A. It wasn't the whole length. I don't -- I mean, there's  
5 pictures of it exactly. I guess it was more in the -- in front of  
6 44, in the middle area.

7 Q. Was that the same condition for the service connection  
8 for 1642?

9 A. No.

10 Q. Okay.

11 BY MR. SINGH:

12 Q. So, on that note, as you excavated to expose the plastic  
13 section of the gas main and service, what type of backfill did you  
14 find around the main and services?

15 A. Oh, when we got down to the actual main, there was the  
16 sand.

17 Q. Okay. Is that typical of what Con Edison uses?

18 A. Yes. Sand around plastic.

19 MR. CHHATRE: You have a question?

20 BY MR. NICHOLSON:

21 Q. I'm sorry. When you got down to the level of the  
22 main --

23 A. The plastic main.

24 Q. -- it was sand?

25 A. It was evidence of sand being there.

1 Q. Did you excavate any deeper than that?

2 A. No, we only excavated enough to --

3 Q. To the main.

4 A. -- remove the facility.

5 Q. Okay. I thought the water line was exposed?

6 MR. SINGH: It was adjacent to it.

7 MR. NICHOLSON: It was? Okay.

8 MR. LETO: Yeah.

9 MR. NICHOLSON: Okay.

10 MR. SINGH: The top of it was exposed.

11 MR. NICHOLSON: So they didn't go deeper than 3 or 4

12 feet?

13 MR. SINGH: Yeah, at some point we did. I mean --

14 MR. NICHOLSON: Okay. But --

15 MR. SINGH: The city did.

16 MR. NICHOLSON: The city did?

17 MR. SINGH: Um-hum.

18 MR. NICHOLSON: Okay. Okay.

19 MR. CHHATRE: Okay.

20 MR. McCARTON: Can I ask a question?

21 MR. CHHATRE: Sure. Go ahead.

22 MR. McCARTON: Did we take pictures of that asphalt?

23 Did we --

24 MR. SINGH: Yes.

25 MR. McCARTON: -- remove that asphalt?



1 MR. CHHATRE: We do have pictures.

2 MR. SINGH: And I think some sample --

3 MR. CHHATRE: There was some confusion, I think. There  
4 are two asphalt pieces, I guess, discussed. One was in the ditch.  
5 What I think Frank was referring to is on the road that you can  
6 see from the cut, the thickness of the asphalt.

7 MR. LETO: Right.

8 MR. CHHATRE: Am I correct, Frank?

9 MR. LETO: Tony.

10 MR. CHHATRE: Tony? Yeah.

11 MR. LETO: Yes.

12 MR. CHHATRE: So, Frank, what is different too is the  
13 layer of asphalt on the road.

14 MR. LETO: Yes, in the bank, along the trench.

15 MR. McCARTON: Not that was found, not that was found in  
16 the hole itself.

17 MR. CHHATRE: In the hole, also, there was a piece of  
18 asphalt --

19 MR. LETO: Right, correct.

20 MR. CHHATRE: -- that Frank -- or Tony is referring to.

21 MR. LETO: Right, yeah.

22 MR. CHHATRE: So Tony is referring to two different --

23 MR. McCARTON: Two different --

24 MR. LETO: Yeah.

25 MR. CHHATRE: -- asphalts.

1 MR. McCARTON: And you took samples of both those?

2 MR. CHHATRE: We have a sample of the one that was on  
3 the T.

4 MR. LETO: T, yes.

5 MR. CHHATRE: Not the entire one piece, just a small  
6 section.

7 MR. LETO: A chunk, yeah.

8 MR. CHHATRE: A chunk.

9 MR. LETO: We broke off a piece for --

10 MR. CHHATRE: And we have photographs of asphalt layers,  
11 a thick layer.

12 MR. McCARTON: All right.

13 MR. SINGH: I think some core samples were done also of  
14 different parts --

15 MR. CHHATRE: I didn't take the core sample.

16 MR. SINGH: Yeah, but we did, and I think we sent some  
17 results. If --

18 MR. CHHATRE: Okay. Yeah, these are -- but not samples.

19 MR. SINGH: Right.

20 MR. CHHATRE: Okay. No questions? Thank you very much  
21 for being here.

22 MR. LETO: Oh, my pleasure.

23 MR. CHHATRE: Off the record.

24 (Whereupon, the interview was concluded.)

25

CERTIFICATE

This is to certify that the attached proceeding before the

NATIONAL TRANSPORTATION SAFETY BOARD

IN THE MATTER OF:           NATURAL GAS DISTRIBUTION PIPELINE  
                                  LEAK AND MULTISTORY STRUCTURE  
                                  EXPLOSION IN HARLEM, NEW YORK  
                                  MARCH 12, 2014  
                                  Interview of Anthony Leto

DOCKET NUMBER:           DCA-14-MP-002

PLACE:                    New York, New York

DATE:                     August 5, 2014

was held according to the record, and that this is the original,  
complete, true and accurate transcript which has been transcribed  
to the best of my skill and ability.

---

Shari K. Doyle  
Transcriber