

UNITED STATES OF AMERICA

NATIONAL TRANSPORTATION SAFETY BOARD

* * * * *

Investigation of:

*

*

NATURAL GAS DISTRIBUTION PIPELINE

*

LEAK AND MULTISTORY STRUCTURE

*

EXPLOSION IN HARLEM, NEW YORK

*

MARCH 12, 2014

*

*

* * * * *

Interview of: JENN DELANEY

New York, New York

Monday,

August 4, 2014

The above-captioned matter convened, pursuant to notice.

BEFORE: RAVI CHHATRE

Investigator-in-Charge

APPEARANCES:

RAVI CHHATRE, Investigator-in-Charge
National Transportation Safety Board
Washington, D.C.

KALU KELLY EMEABA, Accident Investigator
National Transportation Safety Board

MATTHEW NICHOLSON, Accident Investigator
National Transportation Safety Board

FRANK McCARTON, Deputy Commissioner
Office of Emergency Management
New York, New York
(Party Representative)

ANASTASIOS GEORGELIS, Director of Field Operations
Bureau of Water and Sewer Operations
Department of Environmental Protection
New York, New York

LEONARD SINGH, Chief Engineer
Gas Distribution Services
Con Edison
(Party Representative)

CHRIS STOLICKY, Utility Supervisor (Safety)
New York State Department of Public Service
(Party Representative)

ROBERT ALBANO, Esq.
(Representative on behalf of Ms. Delaney)

<u>ITEM</u>	<u>I N D E X</u>	<u>PAGE</u>
Interview of Jenn Delaney:		
By Mr. Chhatre		6
By Mr. Emeaba		22
By Mr. Stolicky		30
By Mr. McCarton		36
By Mr. Singh		37
By Mr. Chhatre		39
By Mr. Nicholson		44
By Mr. Emeaba		58
By Mr. Stolicky		62
By Mr. Chhatre		64

I N T E R V I E W

MR. CHHATRE: Good morning. Today is Monday, August 4, 2014. We are currently in Con Edison's facility located at 4 Irving Place, New York. We are meeting regarding the investigation of natural gas distribution pipeline leak and multi-story structure explosion that occurred on March 12, 2013 in Harlem, New York.

MS. DELANEY: 2014.

MR. EMEABA: 2014.

MR. CHHATRE: I'm sorry, I would like to say year 2014.

My name is Ravi Chhatre. I'm with National Transportation Safety Board located in Washington, D.C. and I'm Investigator-in-Charge of this accident. The NTSB investigation number for this accident is DCA-14-MP-002.

I would like to start by notifying everyone present in this room that we are recording this interview and we may transcribe it at a later date. Transcripts will be provided directly to the interviewee for review and identifying any typographical errors. The transcripts may be posted in NTSB public docket.

Also, I would like to inform Jennifer Delaney that you are permitted to have one other person present with you during the interview. This is a person of your choice: your supervisor, friend, family member or, if you choose, no one at all. Please state for the record who you have selected to be with you during

1 this interview.

2 MS. DELANEY: Bob Albano.

3 MR. CHHATRE: Please state for the record your full
4 name, spelling of your name, organization you work for and your
5 title, business contact information, such as mailing address, and
6 whom you have chosen to be present with you during the interview,
7 with spelling.

8 MS. DELANEY: Okay. My name is Jennifer Delaney,
9 spelled J-e-n-n-i-f-e-r; the last name, D-e-l-a-n-e-y. I am the
10 manager at the Con Edison Learning Center of gas training,
11 customer operations training, and driver's training. My e-mail
12 address is [REDACTED].

13 And Bob Albano is with me. Robert Albano, R-o-b-e-r-t,
14 last name Albano, A-l-b-a-n-o.

15 MR. CHHATRE: Thank you for that. And I'd like to go
16 around the room and have each person introduce themselves. Please
17 state your name, spelling of your name, your title and the
18 organization you represent and your business contact information.
19 We'll start from my right.

20 MR. NICHOLSON: Matthew Nicholson. I'm an investigator
21 with the NTSB. That's spelled M-a-t-t-h-e-w, N-i-c-h-o-l-s-o-n.
22 [REDACTED].

23 MR. KELLY: My name is Kalu Kelly Emeaba. I'm
24 investigator with NTSB. Kalu Kelly Emeaba spelled K-a-l-u, K-e-l-
25 l-y, E-m-e-a-b-a. And my e-mail address is

1 [REDACTED]

2 MR. MCCARTON: My name is Frank McCarton. It's M-c-C-a-
3 r-t-o-n, F-r-a-n-k. My e-mail is [REDACTED], and I'm
4 the city rep, New York City's rep.

5 MR. GEORGELIS: Anastasios Georgelis, G-e-o-r-g-e-l-i-s.
6 I'm with the New York City DEP, Department of Environmental
7 Protection. My e-mail is [REDACTED].

8 MR. SINGH: Leonard Singh with Con Ed, Chief Engineer of
9 Gas Distribution, the NTSB party rep representing Con Ed. It's
10 singhl, [REDACTED]. Correct spelling of the name is
11 Leonard, L-e-o-n-a-r-d; last name Singh, S-i-n-g-h.

12 MR. STOLICKY: Chris Stolicky. My title is Utility
13 Supervisor (Safety), New York State Department of Public Service.
14 Email address is christopher.stolicky, [REDACTED]
15 [REDACTED].

16 MR. ALBANO: Robert Albano, R-o-b-e-r-t, A-l-b-a-n-o,
17 Con Edison. I'm accompanying Ms. Delaney for the interview.

18 MR. CHHATRE: And just for the record, can you spell out
19 DEP, sir? What DEP stands for?

20 MR. GEORGELIS: Department of Environmental Protection.

21 MR. CHHATRE: Thanks.

22 INTERVIEW OF JENN DELANEY

23 BY MR. CHHATRE:

24 Q. What we will go through is each of us will ask a few
25 questions to you that we need to know for this accident and then,

1 time permitting, we might go through one more round of follow-up
2 questions just in case.

3 A. Okay.

4 Q. And for the record, can you tell us your duties and your
5 education background and how long you have been with the company
6 and all the general information?

7 A. Okay. I am, like I said, the manager at the learning
8 center for gas operations training, customer operations, which is
9 the -- CSRs and CFRs, customer service reps and customer field
10 reps, and the manager of driver's training for the company. So
11 anybody who needs vehicle training, they come through my
12 department as well.

13 I've been in this title since February 1st, 2014 and
14 this job since February 1st, 2014. I've been with the company
15 eight years. Prior to this, I had various jobs. My last one was
16 in work management for gas operations. Prior to that I was a
17 field operations planner in gas operations, and prior to that I
18 was a supervisor in gas operations.

19 My educational background --

20 Q. Formal education.

21 A. -- I have a Bachelor's of Science in Engineering
22 Management from West Point and I have an MBA in finance from NYU.

23 Q. Thank you. So for gas operators and OQ especially, how
24 do you guys accomplish the training? What is the procedure?

25 A. So we have a training program and we have career paths

1 that have been developed through committees made up of people from
2 gas operations, the learning center. There're a few teams that
3 make up these committees. These committees have come up with, as
4 I said, career paths that identify training, which is comprised of
5 training that's done at the learning center. It's formal training
6 done by instructors that are trained in gas operations and have
7 field experience in gas operations. It also combines some
8 e-learning courses, EH&S, environmental health and safety courses,
9 in conjunction with formalized training. There's also on-the-job
10 training, which is documented. And then there is testing, op qual
11 testing that's associated with that training.

12 So depending on how you come into gas operations, there
13 are set paths that you follow and you go through certain steps to
14 finally become operator qualified.

15 Q. So can you tell us how a person becomes operator
16 qualified for fusion welding of plastic pipes?

17 A. So first, I mean, if you come into the company as a
18 general utility worker, if you're hired off the street as a
19 general utility worker, you have a series of training and
20 promotions in order to become, I guess, eligible even to become
21 operator qualified in plastic fusion. So you're a general utility
22 worker. You have training in basic, you know, basic gas training.
23 You -- after going through certain training and certain OJTs, you
24 then become a B mechanic. You're still not qualified to do any
25 plastic fusion, but you are familiar with it. During our

1 training, even from the beginning when you're not qualified, you
2 go through training in which you see the plastic fusion being
3 done. You're familiar with procedures. At the learning center we
4 go through plastic fusion procedures.

5 Once you become a B mechanic, at that point there's a
6 series of classes. There's tapping classes, there are relight
7 classes, and then there's a whole class section on plastic fusion.
8 It's a four-day class. After that class, you're still not
9 qualified, but you've had the original training. You go out in
10 the field a bit more. You come back for promotional testing.
11 During that whole time you're not qualified to be performing
12 plastic fusion in the field. You come back, you take -- to the
13 learning center. You will take a written test. If you pass the
14 written test, you then take a skills assessment. And if you pass
15 -- and the skills assessment is not just on plastic fusing, it's
16 on all aspects of gas operations. Plastic fusion is part of that.
17 Once you pass that test, you're then qualified to perform plastic
18 fusion in the field.

19 Q. Now you said there's a formal education. How long that
20 training is, the formal training? You said there's a four-day
21 class at the training center where they actually perform the
22 welding?

23 A. Right.

24 Q. And in the formal training, how long that is?

25 A. Well, that's the four-day.

1 Q. So the four-day includes formal training and actual
2 performing welds?

3 A. Yes. I mean, there's many different modules of
4 training. There's an eight -- there's originally an 8-day course,
5 then an 18-day course, 4-day, and it's not all plastic fusion.
6 But there's blocks of training that each person goes through. The
7 plastic fusion module of training is a four-day.

8 Q. Four-day module? And who develops those classes?

9 A. The courses are developed really by gas operations in
10 conjunction with the learning center. So we kind of have a dual
11 responsibility of coming up with the curriculum and the course
12 material.

13 Q. So who in learning center is qualified to work with gas
14 operations?

15 A. Our gas operations instructors.

16 Q. Do they come from gas operations --

17 A. Yes.

18 Q. -- themselves?

19 A. Yes.

20 Q. Okay. And who in gas operations develop the classes?

21 A. The training committees. There's a construction
22 training committee who develops the construction training with the
23 learning center.

24 Q. And how are their qualifications?

25 A. The committee is made up of managers, basically, in gas

1 operations. So they're field operations managers. There's a
2 construction management representative on the team. There is a
3 training department representative on the team. So it's people
4 from within gas.

5 Q. And are these people qualified for plastic fusion? They
6 are the ones who are developing the class, correct?

7 A. Yes, they are. They're working to develop the
8 curriculum. Some of them are op qualled and -- operator
9 qualified, if that's what you mean?

10 Q. Yes.

11 A. And some of them are not. But really, the learning
12 center representative that's on the team is operator qualified and
13 they really are the SME from the learning center.

14 Q. Okay. And how does learning center, I guess, you know,
15 training development -- what is the title of the person by the
16 way?

17 A. Instructor or senior instructor.

18 Q. And how are those instructors re-qualified every year?
19 Or they are not?

20 A. They are. They're all operator qualified.

21 Q. And who re-qualifies them?

22 A. An operator-qualified instructor.

23 Q. So instructors themselves re-qualify each other?

24 A. Um-hum.

25 Q. Okay.

1 A. But they're all -- they've all -- they're all operator
2 qualified, they've all been operator qualified and they've all
3 taken -- here in Con Ed, they also have to take, it's called a
4 performance evaluator course. They also -- there's a couple
5 different training classes that you have to take in order to be an
6 instructor at the learning center. So there's a series of
7 different courses they have to take, and they're the ones who
8 qualify (indiscernible).

9 Q. Are there any outside courses that you guys are supposed
10 to take or there aren't?

11 A. No.

12 Q. Are you guys familiar with any outside courses that are
13 offered for the plastic fusion welding?

14 A. Am I familiar with any? Well, I know the NGA has people
15 who can qualify.

16 Q. Okay. And has any of the NGA people come and visit your
17 facility to review your program?

18 A. Recently they've been here, yes.

19 Q. After the accident or before the accident?

20 A. After.

21 Q. After --

22 A. We are members of the NGA and we are part of -- we have
23 representation on the training committees, the NGA training
24 committees, and we have representation on the NGA op qual
25 committees. We also have to get our operator qualification,

1 written plan, we submit that every year.

2 Q. Is your plan developed based on the NGA documents, or --

3 A. We do use the NGA written plan.

4 Q. And your instructors, are they re-qual with the plastic
5 weld, which is destructively tested or they're not?

6 A. They are operator qualified the same way, so they are
7 annually operator qualified. And since we began destructively
8 testing, they're tested the same way.

9 Q. The reason I ask that question is that I think one of
10 the issue was that some of your operators are not re-qualified with
11 destructive testing. And if -- am I correct on that or I am not
12 correct on that?

13 A. We've been doing 2-inch manual butt fusion destructive
14 testing. Most recently we've incorporated the other forms of
15 plastic fusion, which includes hydraulic butt fusion, sidewall
16 fusion and electric fusion.

17 Q. So going back to my, I guess, question again, the
18 instructors, are they re-qualified every year with -- based on the
19 destructive testing of their welding or they are not required to
20 have destructive testing?

21 A. Are they -- so the 2-inch butt fusion, they have been,
22 yes --

23 Q. Okay.

24 A. -- annually qualified on destructive testing.

25 Q. And you have the same process for the actual field

1 workers?

2 A. Yes. Same -- yeah, same process.

3 Q. Okay. What about the contractors? Do you contract the
4 plastic fusion work to outside people?

5 A. We do have contractors.

6 Q. And how do you verify that they are operator qualified?

7 A. All of our contractors have -- we operator qualify all
8 of our contractors. So they all come through -- historically,
9 they come through an 18-day training course with us. At the end
10 of that 18-day training course, they wait a period of 2 weeks, a
11 period of time, they come back and they qualify with us. So they
12 take the same test as we do.

13 Most recently, because of all of the contractors that we
14 are getting in, we're actually trying to look at their
15 qualifications and provide a more condensed course if they have
16 NGA qualifications for them.

17 Q. Okay.

18 A. So, you know, like I said, in the past it's been an 18-
19 day training program. Most recently, there have been a few --
20 we're attempting to make this a more condensed course, a 5-day
21 course, if they have the appropriate NGA qualifications.

22 Q. Can you elaborate the appropriate NGA qualification?

23 A. So we have a list of all of the operator qualified
24 covered tasks that are associated with our training. And if the
25 contractor can provide their NGA qualifications and we compare

1 that with the qualifications they need to operate on our system,
2 depending on what qualifications they have -- and we've kind of
3 earmarked those qualifications that they need. If they have those
4 qualifications, they will then be eligible for the 5-day course,
5 and they still need to completely op qual with us.

6 Q. And who keeps track of their qualifications?

7 A. Well, when they come through, we have a record of their
8 qualifications. But it's their responsibility to keep track of
9 their qualifications. And then we also, whoever's managing them
10 in the field, they're responsible for spot checking and monitoring
11 their qualifications.

12 Q. And you mentioned something about 2-inch destructive
13 testing for plastic. Now, what about the larger size pipe with
14 the fusion welding? Are these people qualified to do those also,
15 like, 8-inch plastic pipe, that will they fusion weld those?

16 A. If they are qualified, if they have been -- if they have
17 tested and are qualified to do so, then they are.

18 Q. But I thought your destructive testing only involves 2-
19 inch?

20 A. Right.

21 Q. Does it involve 8-inch or other different diameter
22 pipes?

23 A. Now, in the last -- since May 29th, we are destructive
24 testing all of our fusions for testing during the op qual.

25 Q. The larger diameter and the smaller diameter?

1 A. Yes.

2 Q. And prior to the accident?

3 A. Two-inch.

4 Q. Only 2-inch?

5 A. Butt fuse.

6 Q. Okay. And who keeps track of the person in the field
7 spot checks the qualification of the contractors?

8 A. Whoever is doing the contractor management. So the --
9 so if it's a construction representative or a supervisor, then
10 they would be spot checking.

11 Q. So is there a procedure developed by your department
12 that requires them to fill some form or inform somebody to
13 document that they have spot checked?

14 A. Not by my department.

15 Q. Do you know who might be responsible for that, if
16 anybody?

17 A. For coming up with specifications?

18 Q. No, to ensure that the supervisor has checked the
19 qualifications of the person doing the welding?

20 A. No. I mean -- yeah, no.

21 MR. CHHATRE: Len, can you take information request to
22 let us know --

23 MR. SINGH: Um-hum.

24 MR. CHHATRE: -- who that person is and if there is a
25 form, maybe you can send us a copy?

1 MR. SINGH: Yeah.

2 BY MR. CHHATRE:

3 Q. Now, what percent of your people do not pass your four-
4 day training? I mean, they are qualified to take the training,
5 they come in, they take their formal training, the actual joining
6 of the welds. What percent of the people don't make it?

7 A. I do not have that information. I can probably figure
8 that out for you, but I definitely do not have it right now.

9 Q. But does it happen?

10 A. Does it happen that people fail? Yes.

11 Q. Now, who do you use your -- this training program to
12 keep it up-to-date?

13 A. The curriculum is supposed to be reviewed every five
14 years. So part of that review is having the gas operations
15 training committee come through and kind of sit in on courses.
16 Also, as specs are updated, one of the responsibilities of the
17 instructors is to make sure that they're teaching the most up-to-
18 date information. So they're updated as specs change as well.

19 Q. And how -- now, focusing on this training committee, can
20 you tell me how big is the committee and what it is comprised of?

21 A. So the committee probably has seven or eight people on
22 it.

23 Q. So the number is kind of flexible? There is not firm
24 number in there?

25 A. Correct.

1 Q. Okay.

2 A. There's -- as I said, there's various construction
3 managers.

4 Q. Okay.

5 A. Gas engineering has representation.

6 Q. And can you elaborate on -- we are familiar who are
7 (indiscernible). So --

8 A. Okay.

9 Q. -- when you say gas engineering representation, who
10 these people are?

11 A. So right now there's two people from gas engineering who
12 are in -- who write the specs in gas engineering. They're part of
13 the team.

14 Q. Okay. And just for the record, all my questions really
15 are for pre-accident.

16 A. Okay.

17 Q. What you guys did after the accident will be a different
18 issue altogether.

19 A. Okay.

20 Q. Because we are trying to find out what happened before
21 the accident.

22 A. Okay.

23 Q. So on this committee, this training committee, prior to
24 the accident, you said seven, eight people? The number is still
25 valid?

1 A. I think so. Although, you know, I took this job in
2 February.

3 Q. I understand. That's --

4 A. No, no, so I like --

5 Q. -- fine. I'm asking like if --

6 A. Yeah, so I --

7 Q. -- you don't know, then maybe you guys can get back to
8 us on that.

9 A. Okay. We'll get back to you.

10 Q. And who decides who the committee people should be? Is
11 there a formal document that says these are the people, this is
12 the breakdown from different departments?

13 A. I don't know that.

14 Q. So do you have any input as to who these --

15 A. Do I have input? No. I mean, I can have one of my
16 instructors -- I'll decide which one of my instructors is on the
17 team.

18 Q. Right. But I mean, I'm talking about this training
19 committee comprises of seven, eight people. How many of these are
20 your people?

21 A. Me and one of my instructors.

22 Q. Oh, okay. So only two. Okay.

23 And are you OQ qualified for plastic fusion?

24 A. Yes.

25 Q. So you go through re-qual every year also?

1 A. Yes. I don't have to be. I'll point that out. Because
2 I don't --

3 Q. No, I understand.

4 A. -- do this, but I have it from my previous job.

5 Q. Okay. Now, does your program is reviewed by NGA?
6 Somebody or is there a process of peer review from outside people?

7 A. Is our program reviewed by the NGA?

8 Q. Your training committee develops a curriculum, I
9 thought. And that's how -- that's the curriculum you use to train
10 your people --

11 A. Um-hum.

12 Q. -- about OQ for plastic fusion. My question is, it
13 looks like, if I understand you correctly, the committee who
14 trains these people are internal. The program is developed
15 internally with all different managers --

16 A. Um-hum.

17 Q. -- and may not be OQ qualified?

18 A. Um-hum.

19 Q. How do you keep the program up-to-date?

20 A. Like I said, I mean, there's a five-year review, so we
21 continue -- we periodically review the curriculum.

22 Q. Right.

23 A. As specs are updated, the curriculum is updated.

24 Q. But if there are new developments in this field, new
25 products coming in, new techniques coming in, new tools coming in,

1 who keeps track? How does this thing gets incorporated into your
2 program in the review process?

3 A. Those types of things are discussed during the training
4 meetings. If something new -- if there's a new need for something
5 to be trained or if there's new equipment that needs to be trained
6 on, that's brought up through the training effectiveness
7 committee. Then the committee determines how we're going to train
8 that and then the learning center develops the courses.

9 Q. So committee meets every five years. How --

10 A. No, no, no. The committee meets quarterly.

11 Q. Okay.

12 A. The curriculum is reviewed every five years. So we have
13 a -- many, many courses that we teach. Each of those courses are
14 supposed to be reviewed every five years, so there's sort of a
15 rotational thing. So the committee meets every quarter.

16 Q. Okay. And what do they discuss in that quarterly
17 meeting?

18 A. Whatever needs to be brought up. So before the meeting,
19 if someone has something that needs to be brought up or something
20 new has come up, there's a training committee chair and those
21 topics are given to the chair to be discussed at the meeting.

22 Q. So there is an agenda --

23 A. There is an agenda.

24 Q. -- for each meeting?

25 A. Yes.

1 Q. Okay. And that's all for me. Thank you for all the
2 information.

3 A. You're welcome.

4 MR. CHHATRE: Matt?

5 MR. NICHOLSON: Kelly?

6 BY MR. EMEABA:

7 Q. Once again, good morning.

8 A. Good morning.

9 Q. I know that Ravi already asked most of the questions --

10 A. Okay.

11 Q. -- that I intended in the -- across. But a few of them,
12 just to clarify more, is, one, how do you verify that your
13 trainers know to follow the -- your stated procedure in the
14 training they are giving -- give to the employees?

15 A. How do we know if they follow --

16 Q. Yes. They are committed to follow?

17 A. So the training is based off specifications and
18 procedures, and there is a curriculum. There's instructor guides
19 that are associated with each course of topics that they should be
20 following. So that's what they should be doing. Through
21 checking, you know, through monitoring, you know, and visiting
22 classes and things like that, that's how we kind of verify that.

23 Q. Yeah. I mean, why I'm asking the question is -- I know
24 we've gotten a lot of information. We show that the past few
25 years some of your people who were OQ qualified in fusion, their

1 fusion were not tested and so on and so forth, no destructively
2 tested. So the question -- that's why I'm asking the question.
3 If your trainers have been trained to make them go through the
4 process of destructive testing, the part that they do fusions, why
5 were they not being done? And if they were not being done, how do
6 you verify that those trainers were following this procedure with
7 training? Because if they were following the procedure, those
8 fusions should have been destructively tested. So who monitors
9 what the trainer does?

10 A. So we do have, I guess, QA that can come in and monitor
11 our -- whether we're following the procedures. However, I mean,
12 our training is based on specifications and besides, kind of,
13 QA-ing --

14 Q. Okay. So --

15 A. -- I'm not --

16 Q. -- what you are saying, during the training process,
17 when a trainer is actually training your personnel, do a QA person
18 comes in to stand to watch over what the trainer is doing to make
19 sure that that trainer is actually following the procedure laid
20 out in that process? Is that what you're saying?

21 A. Yes. I mean, that's what I'm saying, yeah. I mean, we
22 do have a QA department and they can come observe our training.
23 That's what I'm saying. I don't know how often that -- like I
24 said, I got here in February. I don't know how often that was
25 done, so I can't answer that.

1 Q. Okay. Do Con Edison perform all plastic pipeline
2 qualification for both employee and the contractors' --

3 A. Yes.

4 Q. -- employee? You do?

5 A. Yes.

6 Q. Okay. And going through your procedure, you have the
7 three-year qualification?

8 A. Yes.

9 Q. And then the annual qualification?

10 A. Yes.

11 Q. Do Con Edison actually perform both the three-year and
12 the annual qualification for both contractors and employees?

13 A. Yes. Yes. So at the learning center, we have done --
14 we do all three-year qualifications at the learning center.
15 Annual qualifications have -- and contractors and company
16 employees, all parties involved, come to the learning center for
17 three-year qualifications.

18 Q. All right.

19 A. Annual qualifications, we can perform those at the
20 learning center. They can also be performed in the field by an op
21 qualified supervisor who has also had an additional course, which is
22 a performance evaluator course, which is an internal course to
23 teach people how to evaluate other people's performance. So you
24 have to have those two qualifications in order to be an evaluator
25 of the annual qualification. So both Con Ed employees and

1 contractors have to be annually qualified, but they can either
2 come through the learning center or they can have those
3 qualifications -- the qualification testing done in the field by a
4 qualified evaluator.

5 Q. Okay. And that is of concern also, which is the area of
6 the contractors being able to qualify themselves for the 1-year,
7 the annual re-qualification, which your procedure allows them to
8 do the qualification. And the question then comes is how do you
9 people keep the records of the qualification that a contractor do
10 for the annual re-qualifications?

11 A. So the annual qualification, there's a form that's
12 filled out.

13 Q. Okay.

14 A. Even if it's done in the field. Contractors will either
15 come to Con Ed in the field or they'll come to the learning
16 center. Either way, a form is filled out. That form is given to
17 the training committee -- not the training committee, I'm sorry,
18 the training department, the gas operations training department,
19 who then uploads that into our training records database.

20 Q. Okay. So how do you monitor to see when these people's
21 OQs elapses or is about to elapse?

22 A. So with our records database called e-train, for company
23 employees, you -- there's a report that you can run that you can
24 see when they last took their op qual and when they are coming up
25 to be due. We also have cards, op qual cards that are issued to

1 anyone who has op qualled. We're required to keep those on our
2 person, you know, as an op -- as a mechanic and a supervisor,
3 someone who's op qualled, you have to keep your cards on you and
4 those can be spot checked as well. So for company employees, we
5 have our database system.

6 The contractor employees, their information is added
7 into the same database. But really, in order to monitor them, you
8 need to look at their card and you can -- and that's it.

9 Q. So if you have to monitor their card, which means you
10 actually have to go to decide to see them before you know if they
11 are still qualified or not?

12 A. Um-hum.

13 Q. So there's no way that Con Edison knows, without going
14 to the field, that your contractors are no more qualified. Is
15 that what you're saying?

16 A. Well, as they get qualified, also, they come to the
17 learning center and we keep -- we maintain their records as well,
18 so if you want to check on their qualifications, you can also do
19 that. But basically, you can check their cards and you can check
20 our records and that's it.

21 Q. That's how you find out --

22 A. Yes.

23 Q. -- they are qualified or not qualified?

24 A. Yes.

25 Q. So, for instance, one of the personnel who was involved

1 who actually did the fusion of 1642, whose qualification was
2 already expired some time ago, how come were you not able to find
3 out that he was no more qualified?

4 A. Why were we not -- I mean, we could look at his card.

5 Q. Yeah. So that's my question. How come it was not
6 found, known that he was no more qualified?

7 A. I can't answer that.

8 Q. Okay. At the same time, since you keep the records,
9 from what you just said, and you know when they are qualified,
10 when they are not qualified, even though it was not possible to
11 find out the individual was not qualified, how are these employees
12 or contractors' employees notified about their OQ elapsing?

13 A. Well, they're responsible for their card. So they have
14 it on their person. So if they don't know their own
15 qualifications, that's a problem for them.

16 Q. So that's a problem for them? So the system, there is
17 no supervision in terms of somebody, an individual monitoring in
18 your database of the employees' qualification?

19 A. In our database, we keep the historical records.

20 Q. Okay.

21 A. So we have their historical records in our database.

22 Q. But it's not being monitored?

23 A. It is being monitored.

24 Q. So --

25 A. Are you talking about contractors or are you --

1 Q. Both. First of all, your employees?

2 A. Okay. There are reports in our -- for our employees
3 that we run. We monitor them. We have an entire department, a
4 training department that monitors and tracks the training history
5 and the qualifications of our company employees. So we have a
6 database and we have a department.

7 Q. Okay.

8 A. For contractors -- and we have reports that we can run
9 for our company employees that tell you who's coming due soon, who
10 is -- there's reports that come right from the system.

11 Q. Before an employee's OQ expires, what is the time period
12 or do you actually notify the individual of an upcoming or the
13 need to be re-qualified for certain task?

14 A. So there's a report that's sent on a monthly basis that
15 looks three months out that tells you if you're expiring within
16 three months.

17 Q. Oh, three months? Okay. And you mentioned the
18 contractors?

19 A. Um-hum.

20 Q. You said the contractors are responsible --

21 A. Yes.

22 Q. -- to make sure their OQs are correct?

23 A. Correct.

24 Q. So, and if they know it will expire maybe in a month
25 time or 1 month, who do they have to inform?

1 A. They then contact the learning center and request a date
2 to be tested, because they are responsible to make sure that they
3 are qualified to perform the work that they are doing. They
4 contact -- I have a person who puts the training and the testing,
5 who schedules that, puts it on the calendar for them and registers
6 them for classes. But they need to notify us that they need that
7 testing.

8 Q. Okay. So if they fail to notify you, they cannot to
9 work in the field unqualified?

10 A. Correct.

11 Q. Unqualified?

12 A. They cannot work in the field unqualified.

13 Q. Because there's no monitoring from you of their
14 information or their qualification in your system, so the
15 responsibility, from what you said, is left to these contractors'
16 employees?

17 A. Yes.

18 Q. And it means, from what you just said, if they fail to
19 notify you, they can be holding their OQs, even when it's expired,
20 and cannot work?

21 A. That's why we monitor -- I mean, that's why we check
22 their cards. Part of our process is to have people in the field
23 that were checking cards.

24 Q. Who does that?

25 A. Whoever's supervising or doing -- performing the

1 contractor construction management. Either it's a construction
2 inspector or a supervisor, but it's the person who is in the
3 field, you know, supervising the -- doing the contractor
4 administration.

5 Q. Okay. For the case of 1642, wherein the fusion was
6 performed by an individual at that point in time unqualified, why
7 was the OQ not found and that person not been qualified at that
8 time?

9 A. I do not know.

10 Q. Okay. Thank you. I rest at this time.

11 MR. STOLICKY: I take it --

12 MR. CHHATRE: Identify yourself.

13 MR. STOLICKY: Chris Stolickey, New York State Department
14 of Public Service.

15 BY MR. STOLICKY:

16 Q. Okay. I listened to Ravi's questions and I jot some
17 notes down here. You talked about the process that the gas
18 mechanics go through from the beginning, OJT and being a B
19 mechanic, the four-day class and so on, and those training
20 requirements for your in-house employees. Roughly how long does
21 that take? Is it two years, three years?

22 A. Probably -- yeah, a general timeline is two to three
23 years.

24 Q. So then what do you look at for contractors?

25 A. Contractors, it's an 18-day training course. I mean, we

1 -- it's an 18-day training course they come through and then they
2 test. If they pass the test, we are looking at their test
3 results.

4 Q. So in that 18-day training course, how many tasks are
5 involved in that training, when you have 70 to 80 different OQ
6 tasks? Or is it just fusion or is there --

7 A. No.

8 Q. -- anything -- is it across the board?

9 A. It's across the board. So there's, I believe, 85 NGA
10 operator qualified tasks. We don't test on all of them. I mean,
11 some of them are for propane, as an example. But any task that's
12 construction related is covered during that 18-day training.

13 Q. Okay. And when you have a written test, so they sit
14 down, answer a lot of questions, do you have a sense for how much
15 of that test, what percentage of that test is related to plastic
16 fusion?

17 A. No. But there's actually a separate test for plastic.

18 Q. But are there plastic fusion questions as part of the
19 written test?

20 A. I'll get back -- I can get back to you on that, because
21 we have a -- like I said, we have a separate plastic test,
22 completely separate than the written test for everything else.
23 Whether there are a couple plastic questions in that overall
24 written test, I'll have to find out.

25 Q. Okay. And then a secondary question along that process,

1 if they answer those plastic fusion questions incorrectly, can
2 they still pass the test?

3 A. Depending on what they -- I mean, they can get a few
4 wrong. They have to have a passing grade.

5 Q. Okay. When you have, basically, an in-house employee
6 who is at the B mechanic level, you said that they're not
7 qualified to do plastic fusion in the field?

8 A. Correct.

9 Q. Is that not qualified to do it alone or can they do it
10 under guidance and have it visually inspected by someone who is
11 OQ'd?

12 A. No, they cannot do it at all in the field.

13 Q. Okay. We talked a little bit about how your trainers
14 become qualified and you mentioned you're part of NGA?

15 A. Um-hum.

16 Q. And the way I understood this, the NGA came in and they
17 basically did a train-the-trainer type program. The question I
18 have is how is your fusion procedures and training procedures
19 different from NGA?

20 A. So when NGA came in, in May as part of this, they
21 identified that our temperatures that we fuse at were a bit
22 different than theirs. Ours are 475 to 525 on our irons. Theirs
23 were a bit different. We have approval to go with the
24 temperatures that we use. That was one difference. Some of -- we
25 measure bead size when we are performing fusion. So different

1 utilities do different -- some people use a time that they -- how
2 long you're heating and how long you apply pressure. We actually,
3 we look at bead size when we're heating the pipe. So that's
4 something that can be different from the NGA.

5 And I think that that was -- I think that was it. When
6 they came in, they really just went over -- they did a kind of a
7 train-the-trainer for the destructive testing part of the
8 qualification. And then they were with us when we performed all
9 of the annuals that we did after that. They worked -- we kind of
10 did it together.

11 Q. Okay. So just for everyone's sake here, a lot of people
12 aren't familiar with OQ training and plastic fusion. But why
13 would you need NGA to come in to do this if your procedure is --
14 it goes above and beyond or is different than standard NGA OQ
15 procedure?

16 A. So we had them come in so that they could -- because we
17 had not been doing the destructive testing on anything other than
18 the 2-inch. So they were there to train the instructors and then
19 they were also there as a third party to assist us. We had a lot
20 of people that had to go through, so they were there as part of
21 the effort to get everyone through and to assist us with the
22 destructive testing.

23 Q. Okay. You say that the contractors are responsible for
24 tracking the OQs. Ultimately, from a regulator standpoint, we
25 look at the operator being responsible for following the pipeline

1 safety regulations. What recourse does Con Edison have against a
2 contractor not following and tracking their own OQs and working
3 when they're not qualified? Because ultimately, you know, a
4 regulator will come in and look at Con Edison. We don't really
5 care who you have doing the work. So what recourse does Con
6 Edison have to hold that contractor to that, their responsibility?

7 A. They're -- you're right, they're responsible and it's
8 part of their contracts that they have to provide operator
9 qualified individuals.

10 Q. Just so I understand this. So there really aren't --
11 there isn't really a recourse or controls in place for Con Edison,
12 who hires contractors, to make sure that they're out there doing
13 the work properly or being qualified? I mean, I'm hearing that
14 you do spot checking. That's really the extent of it? I mean, we
15 have fuses being put in the ground by people that weren't up-to-
16 date in their qualifications. Am I correct?

17 A. So spot checking, correct. And we have a QA department,
18 we have spot checking, and the individual, yes, is -- the
19 individual's responsible. The supervision is responsible. We
20 have contract administrators who are spot checking.

21 Q. Okay. And you said you came in, in February?

22 A. Um-hum.

23 Q. Who was in your position prior to February?

24 A. Carlos Yepez.

25 Q. All right.

1 MR. NICHOLSON: Can you spell that, please?

2 MS. DELANEY: Y-e-p-e-z.

3 BY MR. STOLICKY:

4 Q. Now, when you have a change in management like this, are
5 there any kind of -- what's the word -- almost like train-the-
6 trainer or passing the baton to keep that in-house knowledge the
7 same, business continuity in place? Or is it Carlos went to
8 another job and then they threw you into this and said you're in
9 charge now?

10 A. We spent some time transitioning and there's a
11 transition document and we keep -- and I -- we have shared drives
12 and shared folders that we have access to that should keep things,
13 the continuity of the position intact.

14 Q. Okay. And we talked about the annual re-qual in the
15 field now, and you also said that there is a form that's
16 completed?

17 A. Um-hum.

18 Q. Can we get a copy of that form, a blank form?

19 A. Um-hum.

20 Q. The question I have is, now that you're destructively
21 testing for an annual re-test, how is the destructively test
22 performed in the field?

23 A. So the plastic joining has all been done at the learning
24 center since the destructive testing effort started. So all of
25 that is now done where you can destructively test. So either at

1 the learning center since May 29th. So prior to that, if it was
2 done in the field, it wasn't destructively tested. But since May
3 29th, it's either been done at the learning center or at our
4 development lab where they have the saws and the capability to
5 make the cuts.

6 Q. So will any re-qualifications be done in the field going
7 forward?

8 A. No.

9 Q. Okay. That's all I have. Thank you.

10 MR. CHHATRE: Frank?

11 MR. McCARTON: I do have one question.

12 BY MR. McCARTON:

13 Q. So they get their cards and they go out in the field,
14 and I just want to make sure I'm hearing it correctly. Is there
15 only -- how do you make sure that the people actually have the
16 qualifications that are doing the work? There's no spot checking
17 or --

18 A. There is spot checking.

19 Q. There is spot checking?

20 A. There is spot checking. There's a card. The card has
21 every module that they are trained and qualified on. There's a --
22 so it identifies what they are able to do, and there is the spot
23 checking that occurs in the field.

24 Q. Okay.

25 MR. McCARTON: Thanks for the --

1 MR. CHHATRE: Len?

2 BY MR. SINGH:

3 Q. Jenn, can you explain our contract oversight process or
4 program?

5 A. Yes. So a contractor works in the field and they either
6 work for gas operations or they work for construction management.
7 We perform -- so they have, first of all, all the contractors that
8 come through, like I said, they have the training, the training on
9 the specifications, the training on the op qual.

10 Once they go out in the field, we have contractor
11 oversight inspections that we do, which covers anything from
12 safety requirements to PPE to qualification cards to equipment
13 that's needed on a truck. There's inspections that we do. Some
14 of the -- if there are -- if we find deficiencies, we have a
15 program in place to be able to submit action lines or deficiency
16 reports so that once they get a certain number of reports against
17 them or infractions against them, they will be incapable of
18 bidding on contracts going forward.

19 They also -- we also have the ability to, if you go out
20 in the field and see someone performing something that's against
21 procedure or you feel that they should not be working in the field
22 because they are, even if they are qualified, they performed an
23 egregious mistake or something like that, they can take their
24 qualifications away from them and they're not allowed to work on
25 our system anymore. So there are controls in place that remove

1 them from working on our system and we monitor them on a regular
2 basis through our contractor oversight program.

3 Q. The other question I have, of the instructors working
4 under you that's directing or training these folks in the field,
5 how many of them actually, at one point in their career, were
6 actually fusers in the field?

7 A. I would say almost all of them. I wouldn't -- I might
8 have one, actually, that was not a qualified plastic fuser right
9 now. But in order to be an instructor, they have to have -- in
10 plastic fusion, they have to be op qualled. So even if they
11 happen not to be when they were in the field, they have to be op
12 qualled at this point.

13 Q. Earlier you mentioned that we have NGA participation at
14 the training committee level. Does that person that sit at the
15 NGA committee participate in your training committee?

16 A. Yes. So, for example, I'm on the NGA committee.
17 There's the chair of the construction training committee is on the
18 op qual -- the NGA op qual committee and also on the NGA training
19 committee. So there's cross-representation.

20 MR. SINGH: Last question, Ravi.

21 BY MR. SINGH:

22 Q. Are there people that sit in your classes and assess
23 your instructors?

24 A. Yes.

25 Q. How does that process work?

1 A. They can request -- they'll just request, they'll say
2 they want to come in and sit in a class and kind of audit it and
3 look at how the classes are taught and they just come in and they
4 observe.

5 Q. How often does that happen?

6 A. I don't know. I just got a request for someone to come
7 in. I mean, I've been here for a few months now and I just got a
8 request a few weeks ago to have a manager come sit in on several
9 classes.

10 MR. SINGH: That's all.

11 MR. CHHATRE: Okay. Let's go through, we have a couple
12 of follow-up questions from anybody in case --

13 BY MR. CHHATRE:

14 Q. I'm still a little not clear about the contractors. If
15 a contractor is qualified and does the work in the field, does
16 anybody from Con Edison actually goes and looks at the work or --

17 A. Yes.

18 Q. -- they're given assignment and when the job is done
19 they just come in and report the job is done?

20 A. No. There is someone who is responsible for the
21 oversight of that contractor. They go to the jobs; they observe.
22 It's not just when they're done they come back. They are there as
23 overseers of the work.

24 Q. So who assigns the work to the contractor?

25 A. It depends on who they're working for. If they're

1 working for gas operations, we assign them the work. If they work
2 for our construction management department, which is separate from
3 gas operations, they manage the contractor solely, they give them
4 the work.

5 Q. So the person who assigns the work is the person who
6 goes and looks after the work is finished or they are two
7 different people?

8 A. That also depends on the organization. Sometimes it's
9 the same person. Sometimes it's a separate person.

10 Q. Is that person typically all through the construction
11 work or while the work is being performed, the person is watching
12 them? Or it's just, just go there when it's convenient?

13 A. They don't have to be there at all times. There doesn't
14 have to be someone on site 100 percent of the time, but they do
15 have to see what they are doing, be able to verify the work that
16 is being done is being done.

17 Q. And who observes the -- when the job is done, who
18 observes the -- I guess, the last step is pressure test?

19 A. So --

20 MR. SINGH: Before the pipe is energized.

21 MR. CHHATRE: Okay.

22 MR. SINGH: It's just the backfilling and paving to be
23 done.

24 MR. CHHATRE: Right.

25 BY MR. CHHATRE:

1 Q. So who observes the pressure test?

2 A. So -- so I have not been in the field for a couple of
3 years. I think that -- and I had company employees. When
4 contractors do it, I have to get back to you. I do, because I
5 don't --

6 Q. Is it a -- maybe -- I mean, since you have been in
7 training, is there a procedure for that? I mean, we are really
8 interested in procedures --

9 A. Yes, the --

10 Q. -- I mean, rather than the name of the people. I just
11 need to know if there is a procedure, documented procedure that
12 says John Doe or Jane Doe will go and observe the pressure test,
13 or there is no requirement?

14 A. No, there is a procedure. There is a procedure.

15 MR. CHHATRE: Can we get that --

16 MR. NICHOLSON: What's that procedure called? Do you
17 know?

18 MR. SINGH: It's probably in our installation of mains
19 and services procedure. It's embedded in there.

20 BY MR. CHHATRE:

21 Q. Now, NGA came in in May, you said, to look at --

22 A. Um-hum.

23 Q. Did they identify any deficiencies in your program at
24 all?

25 A. No.

1 Q. Okay.

2 A. I mean, they came in for the destructive testing, so --

3 Q. Okay.

4 A. -- that was a deficiency.

5 Q. Oh, okay.

6 A. But other than that, they did not have any comments.

7 Q. Okay. But did they look at your entire procedures?

8 A. For plastic fusion.

9 Q. Yeah.

10 A. Yeah. Because they did it with us. They were part of
11 the effort of re-qualification.

12 Q. And do you know why this change occurred with Mr. Carlos
13 Yepez leaving and you taking over?

14 A. Do I know why it --

15 Q. Yes. Were you aware of why the change occurred?

16 A. Oh, I think it was just because he had be in the job for
17 three years, I had been in my job for a few years, and it was --

18 Q. So it's a rotation?

19 A. -- just a professional development rotation.

20 Q. Now, has your current training program or procedure been
21 revised -- besides the destructive testing, has it been revised
22 since the accident?

23 A. It hasn't been revised, although we are looking at all
24 of our training and operator qualification program now.

25 Q. Okay.

1 A. So we're in the process of really taking a good, hard
2 look at everything.

3 Q. Okay. Since the accident, is your department involved
4 in identifying how many, if any, unqualified fusion welder perform
5 the work in your system?

6 A. Have we been part of identifying who was not qualified?

7 Q. In the past, before the accident?

8 A. I mean, we're the ones who do the qualification. In
9 terms of getting the data on that and analyzing the data, I can't
10 answer for that before -- I mean, we have the data. I don't know,
11 I guess I don't know what exactly you're asking. I'm sorry.

12 Q. Okay. What I'm -- okay. No, that's fair. In this
13 particular incident, the operator was not qualified. The
14 technician was not qualified. His qualification had lapsed.

15 A. Okay.

16 Q. The person who performed the fusion welding at the
17 accident location?

18 A. Okay.

19 Q. From what we understand, his qualifications elapsed.

20 A. Okay.

21 Q. How many such incidences might have occurred in the
22 past? Has Con Edison done any investigation to find out?

23 A. I can't -- I'm not --

24 Q. So you're not involved in that process?

25 A. -- I mean, I can't answer that. It's not me. Yeah, no.

1 Q. Okay. Okay, that's all for me. Thank you so much.

2 A. You're welcome.

3 MR. CHHATRE: Matt?

4 BY MR. NICHOLSON:

5 Q. Yeah, I've got some follow-ups, Jenn. And I think we've
6 been talking around the issue and I don't have the background some
7 of these other guys do. So if you could explain to me what you've
8 found? I hear that a destructive testing component's been added
9 to the specifications that wasn't there prior to the accident.
10 Can you just run me through how that was discovered and what was
11 or was not being done?

12 A. So prior to May 29th, we had been doing destructive
13 testing on 2-inch butt fusion. So the individuals come through
14 and they test and they have always tested on manual butt fusion,
15 hydraulic butt fusion, sidewall fusion, electric fusion,
16 mechanical fittings. They've always been tested on that. And we
17 had destructively tested on 2-inch, the 2-inch butt fusion to
18 satisfy the destructive testing requirements.

19 Since, I guess, May 29th, we have reinterpreted and
20 taken a more conservative approach to destructive testing and we
21 are now destructively testing the manual butt fusion, the
22 hydraulic butt fusion, the sidewall fusion, the electric fusion T
23 and the electric fusion coupling. So there's five different fuses
24 that we are now destructively testing as part of the op qual and
25 annual qualification process.

1 Q. As part of the annual? Okay. So the saddle fitting,
2 the fusion weld, the joint we're talking about here, wouldn't have
3 been part of that prior to May 29th?

4 A. Not prior to. Now it is.

5 Q. Okay. And I didn't hear, what is the destructive
6 testing you do on those joints?

7 A. So we cut these fuses into three strips and we do a bend
8 test.

9 Q. And what constitutes failure?

10 A. We check for -- once we do the cut, we look for, to make
11 sure that there's continuity and there's no gaps or voids in the
12 pipe. So actually, you can fail multiple ways. You can fail on
13 the process by not complying with the specification of procedure
14 while you're fusing. You can fail through a visual inspection.
15 So at the end of the fuse, if the fuse is not visually what the
16 fuse is supposed to look like, if it differs from what it's
17 supposed to look like, it's not acceptable, you can fuse [sic] on
18 a visual inspection. And then this destructive testing is the
19 third way you could fail on these tests.

20 So we're looking for, like I say, when you cut the pipe,
21 you look to make sure that there's no gaps or voids. Then you
22 perform a bend test and you're looking to make sure that the pipe
23 is not -- if it breaks, it's not breaking at the fuse. So it can
24 break somewhere besides --

25 Q. It could break -- on a fuse joint, it could break on the

1 bead or the weld and that's okay?

2 A. It cannot break where the fuse was. So if it breaks
3 somewhere else, you know --

4 Q. Okay.

5 A. -- if the pipe, you know, if the actual piece of pipe
6 breaks, that's okay. It just, it cannot happen at the point where
7 it's been fused.

8 Q. On the sidewall fitting that we're talking about in this
9 accident, what's a visual pass/fail?

10 A. When we are actually visually looking at it, you have to
11 have three beads around the entire -- so you have the T and you
12 have the pipe. You have to have three continuous beads.

13 Q. Okay.

14 A. Which is after you melt the pipe and the plastic rolls
15 back from heating, you can visually see three beads all the way
16 around. They also have to be, you know, as you're going through
17 the process, the beads have to be the right size. The actual --
18 and there's measurements that -- we use a ruler to measure the
19 size of the beads. They have to be the right size. So --

20 Q. What size are we talking about? What constitutes --

21 A. So it depends on the size of the pipe, and there's in
22 our specification --

23 Q. So for a 2-inch, let's narrow our discuss to that 2-inch
24 on an 8-inch pipe, 2-inch T. What would we be looking for?

25 A. So we use a chart because there's so many different

1 sizes.

2 Q. Okay. Okay.

3 A. So you refer to that chart to see what the sizes are.

4 Q. Okay. And you're looking for three beads all the way

5 around?

6 A. All the way around.

7 Q. And the instructor makes that determination?

8 A. Um-hum.

9 Q. Okay. And I wanted to revisit some of the answers you

10 provided previously too. You said other peoples will sit in on

11 these classes from time to time?

12 A. Um-hum.

13 Q. What other people are we talking about? From outside

14 Con Ed or inside?

15 A. No, like a construction manager. Like a manager in the

16 field.

17 Q. Why would he want to sit in on that class?

18 A. Because he wants to see what his employees are --

19 Q. Okay.

20 A. -- the kind of training they're receiving.

21 Q. He's not told to go to that class?

22 A. No.

23 Q. It's on his own that he would elect to do that?

24 A. Um-hum.

25 Q. Okay. And I just wanted to revisit, I thought I heard

1 earlier that re-quals were allowed in the field prior to the
2 accident, but are no longer; is that correct?

3 A. Yes.

4 Q. Okay. And the re-qual in the field, what would that
5 have been? How would that have happened?

6 A. So it's not -- so you still have to -- so there's the
7 fuses that you actually have to do, right? So what would happen
8 in the past is at a location, at a workout location, a qualified
9 supervisor who is qualified to perform these evaluations would set
10 up a site at their remote locations and they would have them
11 performing the butt fusion, the sidewall fusion at -- not at the
12 learning center, but out --

13 Q. Yeah, in the field.

14 A. -- yeah, out at the workout location. So they'd set up
15 stations. The employees would come through and these evaluators
16 would, similar to what we do at the learning center, but not at
17 the learning center, would --

18 Q. These are Con Ed employees?

19 A. Yup.

20 Q. Okay. Are they the same people doing the spot checks
21 you were referring to earlier?

22 A. They could be. In order to perform the evaluations,
23 though, they have to have a performance evaluator course, which I
24 mentioned, which is a course at the learning center on how to
25 evaluate people.

1 Q. Okay.

2 A. And they have to be op qualled.

3 Q. Okay. And then they fill out this form?

4 A. Yes.

5 Q. And it goes back to your center, did I hear that right?

6 A. Okay. So the form actually goes to the training
7 department, who --

8 Q. Okay.

9 A. -- who is actually not. So you have the learning
10 center; that's me.

11 Q. Oh, I see. Okay, that's not --

12 A. And then you have a training department within gas. I
13 am a -- you know, at the learning center, I actually fall under
14 HR.

15 Q. Okay.

16 A. I'm not under gas operations. And then you have the
17 training department, which is in gas operations, that works for
18 gas operations.

19 Q. Oh, okay. So you're different? So you develop the
20 courses and training --

21 A. Yeah, and training kind of monitors the qualifications,
22 schedules the training.

23 Q. I see. So that form actually goes back to training and
24 that's where it's entered into this database?

25 A. Yes.

1 Q. And you can get to that database?

2 A. Yeah.

3 Q. But that's not really --

4 A. It's our database --

5 Q. -- part of your job as the learning center? You're more
6 about the course work and the -- so it sounds like the training
7 center would have this responsibility of managing out-of-spec or
8 out-of-date --

9 A. Yeah.

10 Q. -- qualifications?

11 A. Yes.

12 Q. Okay. What would happen in the field -- I know your
13 previous jobs were, I thought one was a field manager? What would
14 happen in the field if a joint, you know -- say, a contractor's
15 out there, welds a -- fuses a joint, it goes to pressure test and
16 that joint pops off. What happens then? Is this guy sent off the
17 job or --

18 A. Is the guy sent off the job? I never actually managed
19 contractors, but, I mean, if you -- first of all, the joint would
20 not be put in the ground, obviously, even if it didn't, you know,
21 pop off.

22 Q. Sure. No, I understand. Right.

23 A. If the pressure test failed or the procedure was done
24 wrong or if it didn't look visually correct, it would not be put
25 in the ground.

1 Q. What's the process, though? If you see a bad joint in
2 the field, how is it captured and how does it go on this person's
3 record or -- how does Con Ed know they've got a potentially bad --

4 A. Well, if you notice that something is wrong and you
5 notice that this guy is having a problem making a correct fuse,
6 sometimes it's just -- it's a mistake that you can make in the
7 field conditions, right? And if it's just a field condition, then
8 there's -- you know, and you don't think there's a need to do
9 anything, then that's just a one-time incident. You cut the fuse
10 out, you make sure that that guy knows what he's doing and you go
11 on. However, if you know this guy has a problem, yeah, you -- if
12 you think he should not be working, you take him off the job, you
13 submit his employee number to the training group and the learning
14 center and you say you can't work on the system anymore, if it's
15 that big of a mistake that your noticing.

16 The other option is you could send him for retraining.
17 I mean, we do -- we can conduct retraining for these people. Both
18 Con Ed employees, remediation if, you know -- or contractor
19 employees if they need it.

20 Q. Okay.

21 A. And then that can be, you know --

22 Q. So it is tracked. It goes into this database. And we
23 can reinsert them into the training program and try and retrain
24 them? Those are the options?

25 A. Yeah.

1 Q. Okay.

2 A. I mean, you can totally kick them off or you can retrain
3 them.

4 Q. And the training that we were talking about earlier, I
5 just want to be sure I understood this. It was two to three years
6 for someone off the street coming into Con Ed before they were
7 qualified to make a fusion joint in the field?

8 A. Um-hum.

9 Q. But for a contractor, I can walk in here and I do 18
10 days worth of course work and then I'm good to go?

11 A. You still have to pass the operator qualification. So
12 the contractors pay for this training.

13 Q. Sure. Oh, okay.

14 A. So generally, the guy that comes in off the street has
15 been working as a laborer or something like that and he has
16 experience working in the field, not as an operator-qualified
17 mechanic, but he's been around gas work in the field as a laborer
18 or something like that. At some point, when the contractor feels
19 like this guy is worthy of investing this money and this training
20 and, you know, he thinks that he'll be a good asset to his
21 workforce, he actually pays the money to us to send him to
22 training. The guy goes to 18 days of training, he waits a few
23 weeks, he comes back and he tests. If he fails the test, he
24 cannot retest for six months. So --

25 Q. Okay. So there's a penalty there?

1 A. There's a -- yeah, and they don't send them if they
2 don't think that --

3 Q. What's the two-week wait period for?

4 A. It's our internal policy. If you -- we don't want
5 somebody to kind of cram for a test and take it the next day.
6 It's like, you know, you go to this training, you keep it in your
7 memory for 24 hours and you take it -- we want there to be a
8 period of time where --

9 Q. Let it absorb?

10 A. Yeah. Or let it go out their head if they aren't going
11 to absorb it.

12 Q. What equipment's used when the learning center's doing
13 this, the testing at the fuse joint at the end of this course
14 work? Are you using the same equipment that's used in the field
15 or --

16 A. Yeah, it's --

17 Q. For a fuse joint? I understand there's more than one
18 joint we're talking about here. For the type of joint that failed
19 or we're looking at in this accident, what --

20 A. Yeah. I think it's a McElroy -- it is a sidewinder that
21 they use, you know, that they use in the field. It's the same.

22 Q. Okay. Where is it done? Is it done under ideal
23 conditions in the learning center or do you take them out to a
24 trench or how's --

25 A. It's done in the learning center.

1 Q. Okay. And it's just one joint they have to make?

2 A. For the test, yeah. They have to make one joint.

3 MR. SINGH: Just to offer something, if you want to take
4 a tour of our learning center before you leave this week, if we
5 can arrange that, that's available.

6 MR. NICHOLSON: Is that in this building?

7 MR. SINGH: No, it's in Queens.

8 MR. NICHOLSON: Oh, okay.

9 MR. CHHATRE: Thanks for that. We might take you up on
10 that, depending upon the time.

11 MR. SINGH: Sure.

12 BY MR. NICHOLSON:

13 Q. And you probably answered this, Jenn, I apologize. But
14 who's overseeing this course syllabus and making sure that the
15 procedures are consistent with the New York State and federal
16 regulations for OQ? I mean, who's got that responsibility? Or is
17 that in a procedure? Is that what --

18 A. So the training that we do is all based on
19 specifications. So the specification -- so, that's it. I mean,
20 we just -- we refer directly to the specs while we're doing the
21 training.

22 Q. Okay.

23 A. It's basically --

24 Q. Con Ed specs?

25 A. Con Ed specifications. So the people who write the

1 specs are --

2 Q. Responsible for --

3 A. Yeah.

4 Q. Okay. And who would that be? Are we talking gas
5 engineering in that case?

6 A. Um-hum.

7 Q. Okay.

8 MR. NICHOLSON: And do we have -- have we requested a
9 copy of the training syllabus that's used by the learning center?
10 Do we have that?

11 MR. SINGH: I think you did already. If not, we'll get
12 you another copy. I've sent so many stuff I forgot, but --

13 MR. NICHOLSON: Jenn, you mentioned --

14 MR. CHHATRE: I have some stuff with me. I can double-
15 check that.

16 MR. SINGH: Yeah. If it's not -- if you don't have what
17 you think you're looking for, ask me and I'll get it.

18 MR. NICHOLSON: Well, I think that's a request then.

19 MR. SINGH: Okay.

20 MR. NICHOLSON: I don't think we're tracking these, so I
21 would just make that request.

22 BY MR. NICHOLSON:

23 Q. You said the training committee meets and it's done
24 quarterly?

25 A. Um-hum.

1 Q. Do they keep minutes from these meetings that are held?

2 A. Yes.

3 Q. Okay.

4 MR. NICHOLSON: Can we request minutes from -- do you
5 want some of those Ravi?

6 MR. SINGH: How far back in --

7 MR. NICHOLSON: A year prior.

8 MR. SINGH: A year prior to the incident?

9 MR. CHHATRE: I would say 2011. That's when you
10 installed, that service date?

11 MR. SINGH: Yeah. So 2011 --

12 MR. CHHATRE: Up to the accident.

13 MR. SINGH: -- up to -- okay.

14 BY MR. NICHOLSON:

15 Q. And Jenn, if a contractor -- as I understand, a
16 contractor could work for Con Edison, might also work for
17 another --

18 A. Um-hum.

19 Q. -- gas company in New York. I'm sure there's more than
20 one. If this contractor working for National Grid or some other
21 gas company receives annual qualifications through that company,
22 can he -- does he submit that to Con Ed and say, I'm good to go, I
23 had my annual, and you accept it? Or what's the process -- no?

24 A. No, not -- doesn't quite work that way. I mean, they
25 submit their qualifications and generally now, when I'm seeing

1 them, they're NGA qualifications, because that's what a lot of
2 companies are using. So they submit their NGA qualifications. We
3 don't just blankly accept them. They submit them. If they have
4 the covered task that we need -- that they need to work on our
5 system, they still have to go to our five-day course.

6 Q. Oh, you -- okay. All right.

7 A. And then they are still operator qualified through us.

8 Q. Well, that's the current program, though, right? That's
9 your compressed --

10 A. Yes.

11 Q. -- program? And then prior to the accident --

12 A. Oh, no, it's -- but that's not prior to the accident.
13 That has been maybe the last year we've been trying to do that.

14 Q. Okay. So that's been --

15 A. Yeah. Prior to that it was we don't care what you have.
16 You still have to come through our 18-day course. You can show us
17 your qualifications. That's good that you have them, but you
18 still have to come through our 18-day course and then qualify
19 through our --

20 Q. Okay.

21 A. -- learning center.

22 Q. So it didn't matter?

23 A. Uh-uh.

24 Q. Okay. That's all I have.

25 MR. NICHOLSON: Kelly?

1 BY MR. EMEABA:

2 Q. I just have a couple of follow-up questions. As with
3 respect to the incident that already occurred, we talked about the
4 contractors, because your procedure say that all documentation for
5 contractors' installers shall be responsible -- shall be the
6 responsibility of the respective contractor.

7 A. Um-hum.

8 Q. So with what has happened, people have in plan to change
9 that situation where you can actually monitor the OQs yourself
10 instead of just leaving it to their own responsibility? Because
11 you said your procedure said all documentation is their
12 responsibility.

13 A. We're looking at everything. So we're trying to improve
14 the process.

15 Q. Is there anything that has been started in that respect?

16 A. I mean, like I said, that's one of the things that's
17 included in everything. So we are definitely looking at that,
18 yes.

19 Q. Okay. Do you currently, maybe in the last -- past five,
20 four years or since 2011 and now, do you have, whether it's
21 medical record or whatever, that actually shows your qualified
22 supervisors, learning center instructors, your construction
23 inspectors, your installers, they've been actually tested for
24 visual acuity? Do you have that record?

25 A. I don't have that record.

1 Q. And can we get them?

2 A. Occupational health can probably --

3 MR. SINGH: I can find out. I mean, there's HIPAA laws
4 around people's medical and stuff. Our employees are -- have
5 occupational health, right? They get tested and what have you for
6 different tests, you know, but there are HIPAA laws around
7 requesting medical -- you know, I'll find out that.

8 MR. EMEABA: Yeah, the reason I'm asking because your
9 procedure proscribed that these individuals: the qualified
10 supervisor, the learning center instructor, the construction
11 inspectors and the representative, and including the installers,
12 should go through that and have been tested for near distance
13 visual acuity. So I at least want to know if you've been doing
14 that, making sure of that, because somebody at the site --

15 MR. SINGH: Right.

16 MR. EMEABA: -- may look at that and say it is good,
17 whereas it's not good --

18 MR. SINGH: Right.

19 MR. EMEABA: -- because they don't see well.

20 MR. SINGH: So is it sufficient to ask our medical
21 department what's included in their -- is visual, nearsighted
22 visual acuity included in their annual exam, or what have you,
23 that they --

24 MR. EMEABA: Yes, according to your procedure.

25 MR. SINGH: As opposed to to give you medical records

1 for everybody?

2 MR. EMEABA: If they do have, and you can always blend
3 them -- you can redact the names --

4 MR. SINGH: Yeah.

5 MR. EMEABA: -- or (indiscernible) or whatever, some --

6 MR. NICHOLSON: Yeah, I think what you just said is
7 enough for now.

8 MR. EMEABA: Yes.

9 MR. SINGH: Enough? Okay.

10 MR. NICHOLSON: And then we'll take it to another level
11 if we need more of it. I like -- that's fine.

12 MR. EMEABA: That's fine.

13 MR. NICHOLSON: Just to confirm --

14 MR. EMEABA: Just to confirm that, that's fine.

15 MR. SINGH: Okay.

16 BY MR. EMEABA:

17 Q. The other question is that what are your field
18 inspectors for plastic fusion qualified for, or to do at the
19 field?

20 A. They are qualified in inspecting fuses.

21 Q. Okay. So how do Con Edison verify the effectiveness of
22 the field inspectors on it?

23 A. So the people who are in the field observing and doing
24 the contract administration, they come through training at the
25 learning center as well. So if they are not actually qualified to

1 perform the actual fusing, which many of them are because their
2 field supervisors and our field supervisors in gas operations are
3 qualified, are operator qualified in the actual fusing. But they
4 are inspectors that are qualified in the inspection of the fuses.

5 Q. Okay. And that's my question. How are these inspectors
6 -- how do you verify the effectiveness, that they're doing their
7 work, they're doing their audit or inspection properly? Who does
8 that? Who --

9 A. I don't know.

10 Q. -- has oversight over that?

11 A. Who goes in the field and looks to see what they're
12 doing?

13 Q. Know what they do, yes?

14 A. I don't know that.

15 Q. Okay. So how, apart from in the field, are their
16 records that are actually reviewed to make sure of what they've
17 done?

18 A. I don't know the answer to that question.

19 Q. Okay.

20 MR. SINGH: So perhaps you can ask that question to the
21 construction inspector when they come, right? Because they can
22 explain to you their process around that.

23 MR. NICHOLSON: Yeah, and that's what I wanted to hear.
24 Okay. So it's a construction inspector is the person that oversee
25 the audits or --

1 MR. SINGH: Correct. There's an inspector and there's
2 -- then there's a management employee above that that is, you
3 know, planner or manager. There's a whole series of people that
4 addresses all those issues.

5 MR. EMEABA: Okay. And that is the next person we're
6 going to interview, correct?

7 MR. SINGH: It's somewhere in the process. I'm not sure
8 where that -- what that individual is.

9 MR. EMEABA: I know some of the question that are for
10 you, were meant actually both of you and are not applicable to us.
11 Thank you, since you don't know. I'm okay.

12 MR. CHHATRE: Frank?

13 MR. McCARTON: I'm good.

14 MR. STOLICKY: A couple follow-up questions.

15 BY MR. STOLICKY:

16 Q. And this -- well, kind of piggybacking now on what Matt
17 was saying. This may -- going to have to go to engineering, but
18 when the Con Edison OQ qualification procedure was developed, do
19 you know if it was based on the NGA program? Or did Con Edison
20 develop it from scratch?

21 A. I'm not going to answer that question because I don't --
22 you probably need to ask somebody else. I don't, I don't know
23 that.

24 Q. Okay. Do we know if the NGA program requires
25 destructive testing?

1 A. Yes, it does.

2 Q. Okay. As far as the construction inspection in the
3 field, has Con Edison proportionally increased its inspection of
4 work in conjunction with the increased pipe replacement?

5 A. Have --

6 Q. They have gone from 20 or 30 miles a year, to 40 miles a
7 year, to 50 miles a year and now to 60 miles a year. So has the
8 level of inspection at least stayed proportionally?

9 A. I can't answer that question either.

10 Q. Okay. Do you know when and how Con Edison discovered
11 that the destructive testing requirement was not in compliance
12 with the regulations?

13 A. May 29th. I mean, that's when we stopped our work and
14 took --

15 Q. Well, do you know when it was discovered?

16 A. No.

17 Q. Okay.

18 MR. STOLICKY: And as far as the meeting minutes that we
19 talked about currently, maybe a question goes to Lenny. Going
20 back to my first question, I think the meeting minutes around when
21 the program was developed, maybe in the early 2000s, so it would
22 be more valuable than 2011.

23 MR. SINGH: Good luck trying to find that.

24 MR. STOLICKY: Okay.

25 MR. SINGH: We'll look, though.

1 MR. STOLICKY: All right. That's all.

2 MR. CHHATRE: Okay. Len?

3 MR. SINGH: That's all for me.

4 MR. CHHATRE: Okay.

5 BY MR. CHHATRE:

6 Q. Just one last question. What is the cost of this 18-day
7 class that you charge?

8 A. \$10,000 a person.

9 Q. Thanks.

10 MR. CHHATRE: Okay. Thank you so much for your help and
11 putting up with us.

12 MS. DELANEY: You're welcome.

13 MR. CHHATRE: And (indiscernible).

14 MR. NICHOLSON: Off the record.

15 MR. CHHATRE: Thank you.

16 (Whereupon, the interview was concluded.)

17

18

19

20

21

22

23

24

25

CERTIFICATE

This is to certify that the attached proceeding before the

NATIONAL TRANSPORTATION SAFETY BOARD

IN THE MATTER OF: NATURAL GAS DISTRIBUTION PIPELINE
 LEAK AND MULTISTORY STRUCTURE
 EXPLOSION IN HARLEM, NEW YORK
 MARCH 12, 2014
 Interview of Jenn Delaney

DOCKET NUMBER: DCA-14-MP-002

PLACE: New York, New York

DATE: August 4, 2014

was held according to the record, and that this is the original,
complete, true and accurate transcript which has been transcribed
to the best of my skill and ability.

Karen A. Stockhausen
Transcriber