

NATIONAL TRANSPORTATION SAFETY BOARD

-----:
 IN RE: :
 :
 THE EXPLOSION OF APARTMENT : NTSB Accident No.
 BUILDING 8701 OF FLOWER : DCA16FP003
 BRANCH APARTMENTS IN SILVER:
 SPRING, MARYLAND ON :
 AUGUST 10, 2016 :
 :
 -----:

INTERVIEW OF: ANDRE C. MINOR

Saturday,
 August 20, 2016

Washington Gas Facility
 Chillum, Maryland

BEFORE

RAVI CHHATRE, NTSB
 RACHAEL GUNARATNAM, NTSB
 KALU KELLY EMEABA, NTSB
 LT. WILLIAM OLIN, Montgomery County
 RASHMIKANT AMROLIWALA, State of Maryland
 Public Service Commission
 DOUGLAS STAEBLER, Washington Gas
 STEVE PRICE, Washington Gas

This transcript was produced from audio
 provided by the National Transportation Safety Board.

APPEARANCES:

On behalf of the Interviewee and Washington Gas
Company:

SPENCER NICHOLS, ESQ.
Associate General Counsel
Washington Gas Company

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 P-R-O-C-E-E-D-I-N-G-S

2 INVESTIGATOR CHHATRE: On the record. Good
3 afternoon, today is Saturday, August 20th, 2016. We
4 are currently at -- what's the name of the facility
5 here?

6 MALE PARTICIPANT: Chillum Facility.

7 INVESTIGATOR CHHATRE: Washington Gas
8 Chillum Facility. We are meeting in regards to the
9 explosion of apartment building 8701 of Flower Branch
10 Apartments in Silver Spring, Maryland that occurred on
11 August 10, 2016. The NTSB Investigation Number for
12 this accident is DCA16FP003.

13 My name is Ravi Chhatre. I'm with National
14 Transportation Safety Board in Washington D.C., and I'm
15 investigator in charge of this accident.

16 I would like to start by notifying everyone
17 present in this room that we are recording this
18 interview for transcription at a later date. All
19 parties will have a chance to review the transcripts if
20 and when they are completed.

21 Also I would like to inform Mr. Andre Minor
22 that you are permitted to have one other person present
23 with you during your interview. This is a person of
24 your choice, your supervisor, friend, family member.
25 Or if you choose, no one at all.

1 Please state for the record, your full name,
2 spelling of your name, contact information such as work
3 phone, work email, and work, meaning address, and whom
4 you have chosen to be present with you during your
5 interview. Please do not reveal any personal
6 information.

7 MR. MINOR: Yes, sir. May I start off with
8 the first question, sir?

9 INVESTIGATOR CHHATRE: Please state for the
10 record your name, full name, spelling of your name, and
11 your contact information. And then whom you have
12 chosen to be with you.

13 MR. MINOR: Full name is Andre C. Minor, A-
14 N-D-R-E, C, M-I-N-O-R. Do not have a work phone, but
15 I will gladly give you my personal cell phone.

16 INVESTIGATOR CHHATRE: No, don't give me any
17 personal information, if you -- just want your business
18 information if you have any.

19 MR. MINOR: No business information right
20 now, sir. My cell phone.

21 INVESTIGATOR CHHATRE: Okay, will Washington
22 Gas be able to get hold of you in case we want to
23 transcribe in the mail, send it to you?

24 MR. NICHOLS: We can work through Maryland,
25 Shelly (phonetic) if that works.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 INVESTIGATOR CHHATRE: Oh, yes I'm sorry.
2 You left Washington Gas, right?

3 Go ahead and give your personal information
4 and we can redact it.

5 MR. MINOR: Yes, [REDACTED]

6 INVESTIGATOR CHHATRE: And your mailing
7 address. You live at?

8 MR. MINOR: [REDACTED] all one
9 word.

10 INVESTIGATOR CHHATRE: How do you spell it?

11 MR. MINOR: [REDACTED]

12 INVESTIGATOR CHHATRE: Okay.

13 MR. MINOR: [REDACTED]
14 (phonetic).

15 INVESTIGATOR CHHATRE: Your email address?

16 MR. MINOR: T-H-I, T as in Tom, H as in
17 Harry, I for Ice, underscore T as in Tom, H as in
18 Harry, I as in Ice, [REDACTED].

19 i.e., ([REDACTED]).

20 INVESTIGATOR CHHATRE: Okay. And whom you
21 have chosen?

22 MR. MINOR: I've chosen the guy right to my
23 left.

24 INVESTIGATOR CHHATRE: Okay.

25 MR. NICHOLS: That guy.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MINOR: That guy, Spencer Nichols.

2 INVESTIGATOR CHHATRE: Okay.

3 Now we will go around the table and each
4 person will introduce themselves. Please state your
5 names, spelling of your name, your title and other
6 addition that you need to present. And your business
7 contact information such as work phone, email address,
8 or postal mailing address. Starting from my left.

9 INVESTIGATOR GUNARATNAM: My name is Rachel
10 Gunaratnam, R-A-C-H-A-E-L G-U-N-A-R-A-T-N-A-M, an NTSB
11 Hazmat Investigator. My phone number is [REDACTED].

12 INVESTIGATOR EMEABA: Kalu Kelly Emeaba, K-
13 A-L-U K-E-L-L-Y E-M-E-A-B-A. I'm an NTSB
14 Investigator. My phone number is [REDACTED].

15 LT. OLIN: Lieutenant William Olin, Fire
16 Explosives Investigator from Montgomery County,
17 Maryland. Office address is 100 Edison Park Dr.,
18 Gaithersburg, Maryland, 20877. My phone number is [REDACTED].

19 [REDACTED] My email is william, [REDACTED]

20 [REDACTED]

21 i.e., ([REDACTED])

22 MR. AMROLIWALA: My name is Rashmikant
23 Amroliwala. The first name is R-A-S-H-M-I-K-A-N-T.
24 Last name A-M-R-O-L-I-W-A-L-A. I work with the State
25 of Maryland, Public Service Commission, Pipeline Safety

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Engineer. My phone number is [REDACTED].

2 MR. STAEBLER: My name is Douglas Staebler,
3 S-T-A-E-B-L-E-R. I am the Senior Vice President of
4 Operations for Washington Gas. My work number is [REDACTED]
5 [REDACTED]

6 MR. PRICE: I'm Steve Price. I'm Division
7 Head of System Operations at Washington Gas. My work
8 phone is [REDACTED]. Email [REDACTED]

9 MR. NICHOLS: Spencer Nichols, Associate
10 General Counsel, Washington Gas, [REDACTED]

11 INVESTIGATOR CHHATRE: Thank you for that.
12 Kelly, why don't we start with you, with
13 this operations?

14 INVESTIGATOR EMEABA: Okay. Mr. Minor.

15 MR. MINOR: Yes, sir.

16 INVESTIGATOR EMEABA: Thank you, please sir
17 could you state your position with the company when you
18 worked with Washington Gas?

19 MR. MINOR: Service Tech.

20 INVESTIGATOR EMEABA: Your educational
21 background and the function you performed for the
22 company?

23 MR. MINOR: Educational background,
24 volunteer fire fighter, military service, Bradford Air
25 Force. Went to technical school, four years.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 INVESTIGATOR EMEABA: Okay.

2 MR. MINOR: If you want my whole background,
3 BMW, Master Technician, also Fire Explosion certified,
4 CPR certified. My job at Williams Meter was to service
5 meters, turn gas on, sometimes replace meters. Relight
6 Tech, after the construction job is done, I go make
7 sure no appliances are uncompliant, and relight, turn
8 the gas on. Make sure everything is done. No leaks,
9 everything is straight and no AOC (phonetic) meters and
10 continue on to the next job.

11 INVESTIGATOR EMEABA: Prior to you working
12 for Washington gas, correct?

13 MR. MINOR: Contracted to Washington Gas,
14 sir.

15 INVESTIGATOR EMEABA: Contractor for
16 Washington Gas. How were you qualified? Were you
17 qualified directly by Washington Gas? Or did you
18 contractor qualify you for the works he did?

19 MR. MINOR: I was qualified through
20 Washington Gas, sir.

21 INVESTIGATOR EMEABA: Were there OQ cards
22 you were given?

23 MR. MINOR: After you complete the course,
24 yes.

25 INVESTIGATOR EMEABA: So was those

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 qualifications do they have an expiration date, or just
2 a permanent qualification?

3 MR. MINOR: They had expiration dates.

4 INVESTIGATOR EMEABA: Okay. So how long
5 were you with the Washington Gas contract?

6 MR. MINOR: I believe, well, Grid 1 was the
7 first contractor out there, has to be closed up,
8 forwins (phonetic) meter, it will be four years.

9 INVESTIGATOR EMEABA: It took about four
10 years. So thank you.

11 So could you lead me through on daily
12 visits, what your daily functions were like?

13 MR. MINOR: Depends on a scenario.

14 INVESTIGATOR EMEABA: Okay. Let's go back
15 to this, the property at 3703 Ellis Street, Apartment
16 102.

17 MR. MINOR: Yes, you want me to walk you
18 through the whole scenario?

19 INVESTIGATOR EMEABA: Yes.

20 MR. MINOR: As I get my orders through the
21 CAD, I arrive on the job. When I park my vehicle, I
22 check and see if the customer is home by calling the
23 phone number on the CAD. If the phone number is not
24 correct, nine times out of ten, I have to go to the
25 rental office. Before I do that, I exit my vehicle,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 get my tools, place my cone in the front of the vehicle
2 and make sure I'm in a good parking spot, nothing
3 illegal.

4 I walk to the rental office, check and see
5 if that person still lives there, or the person is
6 home, or may I go into the apartment? It's usually
7 locked. Sometimes they give me the key to the lodging
8 room. I would go to the customer's door. Knock on the
9 door, give four knocks. Customer opens, I check their
10 appliances first before I turn the gas on, make sure
11 they didn't tamper or anything. And make sure
12 everything is connected.

13 Then I'll proceed down to the lodging room.
14 And before I enter the lodging room, I turn on my gas
15 meter and also my ranger, to detect for any gas leaks
16 before I walk into the facility or light anything. As
17 I go to the meter, I check the number to make sure I
18 have the right meter. I make sure the stop clock is in
19 there, and make sure there's a lock there.

20 If there's a lock there, I remove the lock.
21 I replace, take the stop clock off, replace the
22 washers, turn the gas on, check for leaks. I'll
23 rephrase that, let's take that back. I do my check, I
24 have to check the regulator. It's a multi, it's a
25 multi rack here. So I have to check the regulator

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 which is pretty good big one. Check the PSI. If it's
2 correct, then I would go and turn the gas on to the
3 meter.

4 Go back to the apartment and check their
5 appliances and make sure it's not leaking. Go back
6 downstairs, to see did the hand move as I do my house
7 line tests. And if it did move, that means there's a
8 leak in the apartment, or in the line. If it don't
9 move, I proceed on turning the gas back on.

10 Go back to the apartment again, relight
11 their appliances. Give it about five minutes and make
12 sure there's no gas reading on my ranger, and proceed
13 to leave.

14 INVESTIGATOR EMEABA: Okay. So at the time
15 you get from the work at this address, were you able to
16 go through the scenario you just described?

17 MR. MINOR: Yes, sir.

18 INVESTIGATOR EMEABA: Okay. I'm looking at
19 the work order. I could see two attempts that you cut
20 it out on that day. We see replacement of old meter.
21 Can you tell us how you went about that?

22 MR. MINOR: I need to change the old meter
23 by date, or nine times out of ten, it's usually got a
24 problem, or the framing. But a lot of those meters in
25 the meter room are damaged. You come across people who

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 will try to change the numbers. You come across people
2 who break the urk (phonetic). You come across people
3 who have messed with the topping, and ended up screwing
4 with the threads. That means it won't lock down
5 tightly to stop the leaking.

6 INVESTIGATOR EMEABA: Okay. In this case,
7 do you remember what happened to it?

8 MR. MINOR: No, sir. It happened too long
9 ago. I'm sorry about that.

10 INVESTIGATOR EMEABA: Okay, all right. And
11 if you have to swap, or replace a meter, are there some
12 safety precautions that you have to take as part of the
13 normal replacement procedure (phonetic)?

14 MR. MINOR: Well, since I have to leave out
15 the meter room, I place a plug into the outlet to make
16 sure there's no gas seeping, and make sure the stop
17 clock is off. I put caps on my meter as I take them
18 outside, because you still have gas inside the meter,
19 before I place it also inside my vehicle.

20 Then I grab a new meter, make sure the new
21 meter is correct. Make sure the number's correct. And
22 make sure it's validated. Then I take it downstairs,
23 remove the plug, place the washers. Do my checks.
24 Turn the gas on.

25 INVESTIGATOR EMEABA: Okay. In the process

1 of replacement of gas meter, do you have anything to do
2 with the line valve or service valve to that apartment?

3 MR. MINOR: The service valve is the stop
4 clock.

5 INVESTIGATOR EMEABA: The stop clock, yes,
6 okay, the stop clock. Would this entail touching the
7 main valve that leads to the entire apartment?

8 MR. MINOR: No, sir. I don't have to touch
9 the main valve.

10 INVESTIGATOR EMEABA: Just the stop clock.
11 When, what do you have to do with the stop clock? Can
12 you lead me?

13 MR. MINOR: The stop clock is like an off
14 and on switch. You ether turn it one way and it's off,
15 or you turn it the other way and it's on. Flow, flow
16 of gas.

17 INVESTIGATOR EMEABA: Okay. And when you do
18 turn it off, do you check for anything for it?

19 MR. MINOR: Yes, sir. Especially brass
20 ones, you've got to check for leaks. You soap it up.
21 And if you spin it and it's got a bubble, then you
22 either have to replace it, or call Washington Gas to
23 replace it, depending on the scenario.

24 There's a stuff you use, that you pack it.
25 And if someone takes like a certain kind of grease. I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 don't know the name of the grease, but you pack it and
2 you spin it around. And it stops the leaks.

3 INVESTIGATOR EMEABA: Okay. So let's go to
4 the second work. After you completed the meter
5 replacement, you also, I see your work order indicated
6 you turned on gas with new washer. This matter can you
7 lead me through the turn-on process. What you did at
8 this particular address? Can you remember what you did
9 in the turn-on process?

10 MR. MINOR: Yes, sir.

11 INVESTIGATOR EMEABA: At this particular
12 address?

13 MR. MINOR: Had to be (inaudible), if that's
14 the scenario I just placed it back, phrased about two
15 minutes ago.

16 INVESTIGATOR EMEABA: No, I thought that was
17 the job description you gave to me. So, my question is
18 that you followed the same procedure you already
19 described?

20 MR. MINOR: Yes, sir.

21 INVESTIGATOR EMEABA: Okay. After you
22 completed the meter replacement, and you finally turn-
23 on of the gas back to the system. From what you say,
24 you so tested it and so on and so forth. Are there
25 additional precautions that you exercise or you follow

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to assure the safety of the location?

2 MR. MINOR: Now there's two things. You
3 talking about safety to make sure I cover my end? Or
4 the safety, or the rules of Washington Gas?

5 INVESTIGATOR EMEABA: The safety that you
6 cover on your end. And the safety of, at the time
7 you're leaving the meter company.

8 MR. MINOR: I'm going to start off with my
9 safety.

10 INVESTIGATOR EMEABA: Okay.

11 MR. MINOR: As I enter these apartments that
12 are locked, sometimes you have kids playing inside of
13 it. So I got to, and sometimes the lights don't work
14 at all. So I've got to make sure my flashlight's
15 right. I've got to make sure my flashlight is a 03.3.
16 That means it's sealed and gas can't get inside or
17 cannot ignite a spark in cases of gas leaking inside
18 these house facilities.

19 The facilities sometimes have wrecks.
20 Wrecks can lead to dangerous situations, especially if
21 these have lot of water. Sometimes one to two feet.
22 So yes, I have to check my self before I enter some
23 scenarios of these buildings. Actually at Washington
24 Gas safety checks, that's repetitive, I would have to
25 do it regardless. Despite of my situation that I'm in.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Soon as I put my hands on the meter, that
2 means I would have to follow Washington Gas protocol.

3 INVESTIGATOR EMEABA: Okay. So after you
4 completed the replacement, the turn-on, and you checked
5 making sure -- from what I see here you conducted some
6 soap tests. And all that on that line, you've written
7 on the meter you installed, correct? On the new meter?

8 So you do anything at all with the rest of
9 the meter?

10 MR. MINOR: How is this, sir? If my ranger
11 goes off, if my ranger picks up any gas, yes, I check
12 all.

13 INVESTIGATOR EMEABA: Okay, so if it
14 doesn't, you do nothing?

15 MR. MINOR: No, sir.

16 INVESTIGATOR EMEABA: All right. At the
17 time of this work. I know it's been a while now. Do
18 you remember any, something at all, ordinary that you
19 observed at this meter room?

20 MR. MINOR: No, sir. I can't recall just a
21 specific meter room.

22 INVESTIGATOR EMEABA: Okay. Do you remember
23 beside your meter equipment, or gas equipment, were
24 there other utilities within that same confinement?

25 MR. MINOR: No, sir. Only what I have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 documented here. Again, it happened so long ago I'm
2 sorry I couldn't give you any more.

3 INVESTIGATOR EMEABA: Thank you so much.
4 I'll pass it on.

5 MR. MINOR: Okay.

6 LT. OLIN: I don't have any -- I've just got
7 one question for you. And this is Lieutenant Olin, in
8 your four years with Washington Gas, do you ever recall
9 going into any -- like an apartment building like this,
10 where you would have a bank of meters. And find a vent
11 line off from a regulator?

12 MR. MINOR: Off from a regulator, vent line?
13 Well usually a vent line would go straight outside.

14 LT. OLIN: Have you ever seen one -- gone in
15 and seen one just disconnected?

16 MR. MINOR: No, sir.

17 LT. OLIN: Okay. Thank you.

18 MR. AMROLIWALA: Yes, this is Rashmikan
19 Amroliwala, Maryland Public Service Commission. Here
20 you just went out on September 15, 2015 for gas turn-
21 on. When you just get the order for gas turn-on and I
22 just read that you replaced the new meter. Why did you
23 replace the new meter?

24 MR. MINOR: Again, it goes back to question
25 the asked me too. It depends on the scenario. Sorry,

1 there's not much documents on why I did it. But what I
2 would do if the meter has been tampered with, if the
3 meter is faulty, if the meter has been disconnected by
4 years, I replace it.

5 MR. AMROLIWALA: Okay, so that's the
6 Washington Gas requirement that you just look at it and
7 when you find the situation, you just replace the
8 meter?

9 MR. MINOR: Yes, it's best that definitely,
10 if the meter it's recommended to be unsafe.

11 MR. AMROLIWALA: Okay. And here you said
12 that you tested the house line. How long do you test
13 the house line?

14 MR. MINOR: Fifteen minutes, sir.

15 MR. AMROLIWALA: And after testing the house
16 line, do you check all the joints, the piping joints,
17 and everything to make sure that no leaks anywhere?

18 MR. MINOR: Yes, sir. That's a multi-meter
19 rack.

20 MR. AMROLIWALA: No, not the meter rack.
21 The rest of the pipeline, under, customer site piping?

22 MR. MINOR: If that was the case, I would
23 check what the meter was connected to, inlet and outlet
24 side of that meter.

25 MR. AMROLIWALA: Okay, and here you just

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 looked only in the meter rack side, there just change
2 the meter, do the testing. But you don't go into the
3 apartment and check any pipeline. Right?

4 MR. MINOR: I go in the apartment first.

5 MR. AMROLIWALA: Okay.

6 MR. MINOR: That's the first thing I do, and
7 make sure those things are connected, and just right.

8 MR. AMROLIWALA: And the qualifications, on
9 September 15th, 2015 when you did this job, the
10 qualification is required by a tech, the locating and
11 installing and protecting customer meters and
12 regulators. Do you have your OQ card available right
13 now, with you? And which can indicate that you're
14 qualified, OQ card?

15 MR. NICHOLS: He's no longer an employee
16 with Williams Meter. He's now with the fire
17 department.

18 MR. AMROLIWALA: But the old one, the
19 September 2015?

20 MR. NICHOLS: Oh, you're asking him if you
21 happen to have your old OQ card?

22 MR. MINOR: No. Everything is taken away
23 once it, the date it expires.

24 MR. AMROLIWALA: Okay. Can the Washington
25 Gas find it out, when?

1 MR. NICHOLS: OQ record for Mr. Driscoll
2 (phonetic)?

3 INVESTIGATOR EMEABA: OQ record for, yes.

4 MR. NICHOLS: Okay.

5 INVESTIGATOR EMEABA: And mainly I'm looking
6 for 0701, that's locating and installing and protecting
7 customer meters and regulators. And second one is
8 0702, that's the internal relief valve pressure,
9 regulating when and --

10 INVESTIGATOR CHHATRE: Point of correction.
11 This is not Mr. Driscoll.

12 MR. NICHOLS: Oh, sorry, pardon me.

13 INVESTIGATOR CHHATRE: It's Andre Minor.

14 MALE PARTICIPANT: Sorry, Mr. Minor, my
15 fault, thank you.

16 INVESTIGATOR CHHATRE: Thank you for
17 correcting it.

18 MR. NICHOLS: Yes, so you need the OQ record
19 for Mr. Minor.

20 INVESTIGATOR EMEABA: Okay. Here at this
21 location, after finishing the meter replacement of the
22 meter, did you check the regulator vent outside of that
23 building?

24 MR. MINOR: Excuse me, sir. May I appoint
25 my lawyer please?

1 MR. NICHOLS: So I need to clarify
2 something. I'm your representative.

3 MR. MINOR: Representative.

4 MR. NICHOLS: Yes, but go ahead with your
5 question.

6 MR. MINOR: Again, this is not being abrupt.
7 I'm looking out for myself. And to look out for
8 myself, he's asking questions that happened last year.

9 MR. NICHOLS: So, if you can't remember
10 something, just go ahead and say you don't remember.
11 That's fine.

12 INVESTIGATOR EMEABA: Yes.

13 MR. MINOR: Okay. I don't remember, sir.

14 INVESTIGATOR EMEABA: Okay. All right.

15 MR. STAEBLER: This is Doug Staebler. Just
16 so, going through your process, do the dial test
17 fifteen minutes. Then you're going to go back into the
18 apartment I assume, to turn on the appliances?

19 MR. MINOR: Yes, they have to be turned off
20 at the shut-off valves. Shut-off valve, if the shut-
21 off valve is not there, I go back down and discontinue
22 my work, and give them a red card.

23 MR. STAEBLER: Okay. And then if the shut-
24 off valve was there, you're going to light the
25 appliances. Do you do any other safety checks in the

1 apartment for gas leaks while you're --

2 MR. MINOR: Yes. Connection to the stove, I
3 check the flex line. If it's a hard pipe, I double
4 check those to the furnace. If they have a lock
5 furnace, I go get the maintenance man to open the
6 furnace up. Check the furnace to see if it's clean.
7 When was the last time it's been serviced? And also
8 check the flex line or the pipeline to that.

9 MR. STAEBLER: Okay. And then if you go
10 into a meter room, you're going to work on a specific
11 meter, in this case, 102 I guess they're changing the
12 meter. Do you check the rest of the rack for leaks
13 while you're in there?

14 MR. MINOR: No, sir. If I may be permitted
15 to speak. As I'm going to just one meter, what I
16 understand from is by law, that you shouldn't touch
17 anything that was not appointed to you. So I only look
18 for that one meter unless my ranger goes off,
19 accounting for a leak. A reading between grade one,
20 two, or three, I call Washington Gas.

21 MR. STAEBLER: Right, so you have an
22 instrument in there that would detect if there was a --

23 MR. MINOR: A range, a gas ranger, sir.

24 MR. STAEBLER: Okay, no further questions.

25 INVESTIGATOR CHHATRE: Okay, you got any

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 questions?

2 MR. PRICE: Nope, we're done.

3 INVESTIGATOR CHHATRE: Ravi Chhatre, NTSB.

4 Who requests to change the meters? Does the request

5 come from Washington Gas customer, or the housing?

6 MR. MINOR: I had no request, sir.

7 INVESTIGATOR CHHATRE: Okay. So you do
8 know. You just get your CAD request to go and change
9 the meter. It doesn't matter who initiated the
10 request.

11 MR. MINOR: Okay, if it's a 13130, that's a
12 request to change the meter.

13 INVESTIGATOR CHHATRE: Okay.

14 MR. MINOR: This was the case, there wasn't
15 a case to change the meter, a 130.

16 INVESTIGATOR CHHATRE: Okay. Now do always
17 carry the company procedures on your truck, on your
18 person, when you go to do any job?

19 MR. MINOR: You mean my handbook?

20 INVESTIGATOR CHHATRE: Yes, handbook,
21 whatever, or the manual if you would.

22 MR. MINOR: Yes, sir.

23 INVESTIGATOR CHHATRE: With whatever
24 equipment you carry?

25 MR. MINOR: Yes, sir. At the time, when I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was working for Williams meter, I had a two seater
2 truck. So the book was behind my head.

3 INVESTIGATOR CHHATRE: Okay.

4 MR. MINOR: If I needed to see any of ASTs
5 (phonetic) or anything they go by.

6 INVESTIGATOR CHHATRE: Okay. Have you ever
7 checked the regulators during your tenure with
8 Washington Gas as a contractor?

9 MR. MINOR: Always sir, because if the
10 pressure is not right, then the call -- depends I
11 believe it was a B32 were the big ones.

12 MALE PARTICIPANT: The B32 are the big ones.

13 MR. MINOR: Then I would, if it's not
14 working right, if it's blown gas through a vent or the
15 pressure's going over, or not locking up, I would have
16 to call Washington Gas and ask somebody to come on
17 point, and turn that off. And then get the, to contact
18 the maintenance man to make sure there's a by-pass so
19 we don't turn the gas off of all them people in their
20 apartment.

21 INVESTIGATOR CHHATRE: Okay. I'm not sure I
22 understand everything. Information I see as useful,
23 but can you elaborate more slowly, and tell me why
24 would you look at the regulator?

25 MR. MINOR: Yes, you have to always check

1 the regulator to make sure there's no weeping gas,
2 passing gas, or leaks.

3 INVESTIGATOR CHHATRE: For any reason you
4 enter, any reason you're called into that building?

5 MR. MINOR: Any reason you go into the
6 building for gas turn-off -- to turn-on.

7 INVESTIGATOR CHHATRE: Gas turn on. Okay.

8 MR. MINOR: Yes, yes.

9 INVESTIGATOR CHHATRE: So that will like
10 changing the meter, our a new installation?

11 MR. MINOR: Yes, sir.

12 INVESTIGATOR CHHATRE: Okay. So you're
13 supposed to look at the regulator. And how will you
14 know the regulator is functioning properly?

15 MR. MINOR: I have a U gauge (phonetic). As
16 I plug in my U gauge, if it drops on lockup, then
17 something, or goes up with drop. It's not locking,
18 it's bad. If it goes over it, it depends on if it was
19 525, 2PSI or a 725. If it goes up past 725 to an 8,
20 it's bad. If it drops below a seven -- a 625 it drop
21 way below that, it's bad.

22 INVESTIGATOR CHHATRE: Okay. Can I
23 (inaudible) with one of you. I don't think I
24 understand, maybe Kelly does.

25 MR. NICHOLS: Yes, so if I could either

1 speak or help gather questions to get that, so.

2 INVESTIGATOR CHHATRE: Please do, and try
3 yourself. And if (inaudible) know who.

4 MR. NICHOLS: Yes, so as part of the
5 procedure you're talking about is basically a regulator
6 check and lockup test?

7 MR. MINOR: Yes, sir.

8 MR. NICHOLS: You would do that then through
9 the meter connections. You would have an instrument,
10 and a gauge that you would hookup to the inlet side of
11 the meter at the swivel, correct?

12 MR. MINOR: Yes, sir.

13 MR. NICHOLS: Okay. And then you would then
14 with that have a small valve that you would open, that
15 would simulate some flow?

16 MR. MINOR: Yes, sir.

17 MR. NICHOLS: And then the U gauge would
18 then tell you what pressure the regulator's regulating
19 at?

20 MR. MINOR: Yes, sir.

21 MR. NICHOLS: Which should be about seven
22 inches?

23 MR. MINOR: Yes, sir.

24 MR. NICHOLS: If it's eight inches, or six
25 inches it's either too high or too low. And then you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 would --

2 MR. MINOR: Adjust it.

3 MR. NICHOLS: -- adjust the spring on the
4 regulator?

5 INVESTIGATOR CHHATRE: Okay.

6 MR. NICHOLS: And then you would then, shut
7 the valve, right, for the U gauge? And lock the
8 pressure in to make sure the regulator locks up, if
9 there's no flow of gas?

10 MR. MINOR: Yes, sir.

11 INVESTIGATOR CHHATRE: Okay. Is that a part
12 of the request that Rachael or Kelly made and can get
13 the information from Washington Gas?

14 MR. NICHOLS: Yes. A part of our
15 procedures. Yes.

16 INVESTIGATOR CHHATRE: Okay. Now and how
17 long you work for Washington Gas, at least four years?

18 MR. MINOR: Total would be four years
19 contracted to Washington Gas.

20 INVESTIGATOR CHHATRE: Right. How many
21 regulators have you replaced?

22 MR. MINOR: Oh, --

23 INVESTIGATOR CHHATRE: I'm just, what ever
24 you're feeling is fine, I mean we can get more
25 particular from Washington Gas, what do you think of?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MINOR: If it's the regular size
2 regulators, I can say probably about two or three a
3 week.

4 INVESTIGATOR CHHATRE: Oh, okay.

5 MR. MINOR: And then --

6 INVESTIGATOR CHHATRE: And --

7 MR. MINOR: Yes, sir.

8 INVESTIGATOR CHHATRE: We're looking at the
9 single family residence, or multi-family like apartment
10 buildings?

11 MR. MINOR: I would never, I'm not qualified
12 or Q'ed to change for ones for multi-building or a
13 multi-meter rack.

14 INVESTIGATOR CHHATRE: Okay, in the case of
15 3703, if you were to go replace this particular meter?

16 MR. MINOR: I would have to call in.

17 INVESTIGATOR CHHATRE: So you're not able to
18 check out the regulator to make sure it's working?

19 MR. MINOR: I can check it --

20 INVESTIGATOR CHHATRE: Okay, that's my --

21 MR. MINOR: -- but I can't replace it.

22 INVESTIGATOR CHHATRE: So in this particular
23 case you did do that?

24 MR. MINOR: Yes, sir.

25 INVESTIGATOR CHHATRE: And so if the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 regulator is not working properly, then you have to
2 call somebody to replace the regulator?

3 MR. MINOR: Yes, sir.

4 INVESTIGATOR CHHATRE: And how often have
5 you done that?

6 MR. MINOR: So far, in four years I've never
7 had to in that facility.

8 INVESTIGATOR CHHATRE: Single family
9 residence has two or three a week.

10 MR. MINOR: Yes.

11 INVESTIGATOR CHHATRE: Do you know what kind
12 of regulators Washington Gas uses? If you can't
13 recall, if not, that's fine too. I don't want you to
14 feel that you're kind of guessing and answer me.

15 MR. MINOR: Okay. I do know when I see
16 them, and I'm not quite sure I'm pronouncing the name
17 right. But so far, it's Torin, T-O-R-I-N, I believe.

18 INVESTIGATOR CHHATRE: T-O-R, I-N?

19 MR. MINOR: I-N, yes.

20 INVESTIGATOR CHHATRE: Okay. And what was
21 the other one?

22 MR. MINOR: The last starts with A
23 (inaudible).

24 INVESTIGATOR CHHATRE: Oh, starts with A.
25 Do you guys know what?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MALE PARTICIPANT: I'm not sure. You know,
2 it's --

3 INVESTIGATOR CHHATRE: Can you find out any
4 history about the regulators for there?

5 MALE PARTICIPANT: Yes. We do have them,
6 kind of a bunch of them.

7 INVESTIGATOR CHHATRE: Can you keep track of
8 the requests we're making? I don't want to say
9 something and then forget.

10 MALE PARTICIPANT: Yes.

11 (Off microphone comments)

12 INVESTIGATOR CHHATRE: Can you tell from
13 your experience, your sudden regulated, or your spring
14 loaded are a mercury?

15 MR. NICHOLS: Yes, you can, you can tell the
16 difference.

17 INVESTIGATOR CHHATRE: You can. Okay.

18 MR. NICHOLS: And just to clarify too, that
19 the mercury regulator is a spring loaded regulator too.

20 INVESTIGATOR CHHATRE: Okay.

21 MR. NICHOLS: It just has a mercury seal as
22 the relief device versus another spring.

23 INVESTIGATOR CHHATRE: Compared to?

24 MR. NICHOLS: Compared to other regulators
25 that would have another spring.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 INVESTIGATOR CHHATRE: To a spring spring,
2 or just spring mercury?

3 MR. NICHOLS: Yes.

4 INVESTIGATOR CHHATRE: Is that a correct
5 statement, and description?

6 MR. NICHOLS: Yes.

7 INVESTIGATOR CHHATRE: Okay. And how would
8 you be able to tell that, looking at the regulator?
9 Will it say something on the regulator that it's a
10 mercury?

11 MR. MINOR: That's just, what do we call
12 that? Probably like when you change a tire, you just
13 know. Just by looking.

14 INVESTIGATOR CHHATRE: Okay. Identified by
15 experience, so.

16 MR. MINOR: Yes, by experience.

17 INVESTIGATOR CHHATRE: So a new person may
18 not be able to tell the difference. Is that a correct
19 statement?

20 MR. MINOR: Correct, sir.

21 INVESTIGATOR CHHATRE: But the regulators
22 doesn't say it has mercury in it?

23 MR. MINOR: No, sir.

24 INVESTIGATOR CHHATRE: Okay. So this two or
25 three regulators a week, you said, typical. I mean I'm

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 not holding you the number, but ballpark number, do you
2 remember how many of those would be mercury and how
3 many of those would be --

4 MR. MINOR: I'm not qualified to change
5 mercury. If it's a mercury --

6 INVESTIGATOR CHHATRE: Oh, so you mean if it
7 has mercury, then somebody else has to -- all of the
8 regulators that you changed have been spring loaded
9 then by default?

10 MR. MINOR: By, yes right. You're right,
11 are typical spring loaded, our regulators.

12 INVESTIGATOR CHHATRE: Okay. Do you know
13 how many of, only if you remember, how many that you
14 had to call back and say look, it's mercury and I can't
15 change it?

16 MR. MINOR: Two.

17 INVESTIGATOR CHHATRE: Two in four years.

18 MR. MINOR: Yes.

19 INVESTIGATOR CHHATRE: And this question for
20 the four year period, do you remember why you changed
21 those mercury meters?

22 MR. MINOR: Yes, if I checked the pressure
23 and even after I checked the pressure I turned the gas
24 full on, and it gurgles, it's bad.

25 INVESTIGATOR CHHATRE: Okay.

1 MR. MINOR: If I check the pressure and it
2 doesn't do anything, it's bad.

3 INVESTIGATOR CHHATRE: Okay.

4 MR. MINOR: If it's leaking mercury, then I
5 definitely, step back and --

6 (Simultaneous speaking)

7 MR. MINOR: Yes, I'm bad, yes.

8 INVESTIGATOR CHHATRE: And what you meant,
9 gurgle?

10 MR. MINOR: It makes a gurgling sound.

11 INVESTIGATOR CHHATRE: It does.

12 MR. MINOR: Like it has water in it.

13 INVESTIGATOR CHHATRE: Oh, okay.

14 MR. MINOR: And if it's leaking then I have
15 to call Washington Gas and the call the hazmat team
16 out.

17 INVESTIGATOR CHHATRE: Okay.

18 LT. OLIN: Leaking mercury?

19 MR. MINOR: Yes, sir.

20 LT. OLIN: Yes, okay.

21 INVESTIGATOR CHHATRE: Now have you seen,
22 similarly speaking in four years, have you seen any
23 regulator that was leaking gas?

24 MR. MINOR: Yes, sir.

25 INVESTIGATOR CHHATRE: And how does that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 sound?

2 MR. MINOR: It sounds like, either a
3 hissing, or when you walk past the house, you'll smell
4 it.

5 INVESTIGATOR CHHATRE: Oh, yes okay. And
6 that's true for both the spring loaded and the mercury?

7 MR. MINOR: Yes, the odor is passed through.

8 INVESTIGATOR CHHATRE: They will be the
9 same?

10 MR. MINOR: Yes, sir.

11 INVESTIGATOR CHHATRE: Any of the pressure
12 typically for regulators you change, with the 20PSI
13 (phonetic), your high official gas lines?

14 MR. MINOR: No. Not of the ones I changed.

15 INVESTIGATOR CHHATRE: Typically you
16 changed.

17 MR. MINOR: No, 2PSI regulators, or is the
18 regular seven (inaudible) for the regulators. I don't
19 change that (inaudible).

20 INVESTIGATOR CHHATRE: For the outlet.

21 MR. NICHOLS: Which is the outlet side. So
22 he's asking the inline pressure from the distribution
23 system.

24 MR. MINOR: Oh, okay.

25 INVESTIGATOR CHHATRE: (Inaudible), yes.

1 MR. NICHOLS: So you would deal with 20 or
2 50 typically, that's our distribution system.

3 INVESTIGATOR CHHATRE: Okay.

4 MR. NICHOLS: Or you wouldn't, they won't,
5 you wouldn't see that pressure on any of your gauges --

6 MR. MINOR: No, sir.

7 INVESTIGATOR CHHATRE: Okay.

8 MR. NICHOLS: Because you're looking at the
9 operating --

10 INVESTIGATOR CHHATRE: So you've got, and
11 that, this two or three per week would that be the
12 reason because the regulator is not working? Or the
13 pressure's not holding, or what is the typical cause?
14 If there is a typical cause.

15 MR. MINOR: No problem, I can recall one
16 that happened in D.C. I went to another house to turn
17 gas on. As I walked past the person's house, beside
18 it, it was leaking gas. And I wasn't there on a call.
19 It just so happens I had to have been in the area.

20 INVESTIGATOR CHHATRE: Happened to notice
21 it?

22 MR. MINOR: Yes, sir.

23 INVESTIGATOR CHHATRE: And that one making a
24 hissing noise?

25 MR. MINOR: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 INVESTIGATOR CHHATRE: Okay. So you could
2 hear it, I mean?

3 MR. MINOR: It was coming out pretty strong,
4 yes.

5 INVESTIGATOR CHHATRE: Okay.

6 MR. MINOR: If it was a small leak, no.
7 Your ranger will pick it up. That's why I turn my
8 ranger on before I go in any place.

9 INVESTIGATOR CHHATRE: Okay.

10 MR. MINOR: Yes.

11 INVESTIGATOR CHHATRE: So by procedure, you
12 are required to kind of turn your meters as you get off
13 the truck? Before you go any place, or?

14 MR. MINOR: Spenser.

15 INVESTIGATOR CHHATRE: I guess my question
16 is, since I've got you, I'll repeat the question.

17 MR. NICHOLS: All right.

18 INVESTIGATOR CHHATRE: When do you turn your
19 meters on to?

20 MR. MINOR: As you proceed out of your
21 vehicle.

22 INVESTIGATOR CHHATRE: Okay. Now what
23 happens in a location when you drive in and you start
24 smelling gas? How can you calibrate your
25 instrumentation there?

1 MR. MINOR: The instrument don't calibrate,
2 but sometimes the instrument will pick it up. I try my
3 best to pinpoint it. And if I smell gas, I will call
4 Washington Gas. Hey, I smell gas in this neighborhood.
5 I'm going to walk around see can I find it. And that
6 has happened. It happened off Marlboro, five houses
7 down.

8 INVESTIGATOR CHHATRE: Okay. And I guess in
9 this particular incident that we are investigating,
10 Flower Garden --

11 INVESTIGATOR GUNARATNAM: Branch.

12 INVESTIGATOR CHHATRE: Flower Branch
13 Building, how did it happen to you, that you're driving
14 and you smell gas?

15 MR. MINOR: At the apartment complex. No,
16 it never happened to me in the apartment complex.

17 INVESTIGATOR CHHATRE: Okay.

18 MR. STAEBLER: And question two, when the --

19 INVESTIGATOR CHHATRE: Identify yourself.

20 MR. STAEBLER: Oh, this is Doug Staebler.

21 So I thinking like, experience with regulators leaking,
22 ever leaking inside? Or are they --

23 MR. MINOR: Outside.

24 MR. STAEBLER: Outside through the vent?

25 MR. MINOR: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. STAEBLER: Okay, so no gas in the
2 buildings, when --

3 MR. MINOR: No, sir.

4 INVESTIGATOR CHHATRE: These are
5 (inaudible). So did, when you say hissing, you don't
6 necessarily smell the gas then? You heard hissing, or
7 you can smell?

8 MR. MINOR: You smell the gas. Well, some
9 people cannot. Some people not used to the smell, some
10 people are used to the smell. I mean, but if it's
11 blowing pretty strong you can hear it hissing.

12 INVESTIGATOR CHHATRE: You can hear and
13 smell?

14 MR. MINOR: Yes.

15 INVESTIGATOR CHHATRE: I know you just give
16 me quite a bit of information, I've had to better
17 understand, (inaudible) --

18 MR. MINOR: I'm sorry if my technology is,
19 if I'm taking --

20 INVESTIGATOR CHHATRE: Oh no, you're fine
21 with me.

22 MR. MINOR: Okay.

23 INVESTIGATOR CHHATRE: You're doing fine.
24 So I'll just pass it on to. Each of you any questions?

25 (No audible response)

1 INVESTIGATOR CHHATRE: Okay. Anybody have
2 any follow-up questions?

3 INVESTIGATOR EMEABA: Yes, just a few after
4 that I'm done.

5 You mentioned while responding to one of the
6 questions asked you. You say by law -- I'm sorry this
7 Kalu Kelly Emeaba -- you say by law, you do not touch
8 anything that is not assigned to you at the meter
9 racks.

10 MR. MINOR: Yes, sir.

11 INVESTIGATOR EMEABA: Okay, and then so does
12 that include you not doing soap tests of any of that
13 part of the, any of the meter besides the one you were
14 sent to?

15 MR. MINOR: If I don't see any reason to, or
16 and I cannot get Washington Gas. Why test somebody
17 else's meter they're paying for? No, sir.

18 INVESTIGATOR EMEABA: Okay. And just going
19 back to by law, is that in the procedure that you carry
20 on, what you call your handbook? Or which law were you
21 referring to, please?

22 MR. MINOR: Well, just considering that it
23 is a federal, am I correct, it is a federal standard.
24 You touch something, the right terminology -- well, to
25 put it in my terminology, you don't want to touch

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 nothing that doesn't belong to you. And I wasn't there
2 to test their meter. I was there to test somebody
3 else's. I was given permission to test 102 meter. No
4 one else's. So no one didn't give me a reason to touch
5 it, I kept my hand off of it. That's my terminology.

6 INVESTIGATOR EMEABA: So that law, is your
7 own law?

8 MR. MINOR: No, you're not allowed to touch
9 other people's meters. You're not allowed to turn them
10 off. You're not to turn them on. You're not allowed
11 to turn them on -- you're not allowed to turn them off
12 or turn them on if you're not there, assigned there,
13 unless you find a reason to turn it off.

14 INVESTIGATOR EMEABA: Okay. And that I
15 agree with you. I'm asking on the aspect of checking
16 for gas leaking within that meter rack. Is there
17 something you do, or you don't supposed to do at all --

18 MR. MINOR: No, I don't need to do. No,
19 sir.

20 INVESTIGATOR EMEABA: You don't need to
21 check for any leak at all within that area?

22 MR. MINOR: No, that's different. This is a
23 multi --

24 INVESTIGATOR EMEABA: It's multi-meter.
25 About 14 of them.

1 MR. MINOR: Yes, there's 14 of them. I
2 don't check all 14 of them. Okay, I go on my gas
3 ranger. If my gas ranger picks up a smell, I will
4 check all of them. Other than that, I will change the
5 main riser. I will check all the regulators, because I
6 test it. And I will got the meter out the side, to
7 touch. Other than that, no I would not touch anything
8 else unless my ranger tells me to.

9 INVESTIGATOR EMEABA: Thank you.

10 Now one more question. Do you, can you from
11 your recollection. Do you know if your handbook, or OM
12 (phonetic) manual you were using, that's William's is
13 similar to what Washington Gas employees carry too?

14 MR. MINOR: Yes.

15 INVESTIGATOR EMEABA: Same thing?

16 MR. MINOR: Yes, sir.

17 INVESTIGATOR EMEABA: Okay. And maybe this
18 one I was a little bit lost too. I wanted just to
19 clarify. Ravi, asked a question concerning testing of
20 regulator. Where do you connect the U gauge to test
21 the regulator?

22 MR. MINOR: If I'm correct, it would be
23 inlet. This is oh, man, if I'm correct, it'd be you
24 know --

25 INVESTIGATOR EMEABA: If you can draw, do

1 you have anything, you want to draw it?

2 MR. MINOR: Yes.

3 INVESTIGATOR EMEABA: Please go ahead.

4 INVESTIGATOR CHHATRE: He can draw on the --
5 oh here, we're going to draw here and get the lucky
6 chair.

7 MR. MINOR: Yes.

8 MR. NICHOLS: Show us.

9 MR. MINOR: The main service valve is here -
10 -

11 MALE PARTICIPANT: We're not grading on art
12 work.

13 MR. MINOR: Okay, okay. And there's a
14 multi-meter right there. To check that meter, I would
15 check it, I would connect it here, which I believe is
16 the inlet side.

17 INVESTIGATOR EMEABA: Okay.

18 MR. MINOR: And this is the, the right side
19 is going to the customer's house. There's no gas in
20 there right now because it has to go through the meter.
21 So I would definitely check the inlet side. The inlet
22 side will give you the pressures from the regulator,
23 what's going through these other multi-meters, or the
24 rack.

25 INVESTIGATOR EMEABA: Okay.

1 MR. MINOR: When I take my pressure and this
2 regulator here is giving me a false reading, then I
3 call Washington Gas. I stop here. Stop all work here.

4 INVESTIGATOR EMEABA: What is that? Where
5 you just put the test now?

6 MR. MINOR: That's the meter I'm working on.

7 INVESTIGATOR EMEABA: Okay.

8 MR. MINOR: I'll proceed to turn off, stop
9 all work there, and stop all work that I'm doing. Call
10 Washington Gas, and that how I proceed there.

11 Depends on how bad it is, Washington Gas
12 tell me to turn the whole thing off. I call the
13 maintenance people, let them know what's going on. Or
14 Washington Gas will get over there five, or ten, or
15 twenty minutes to go ahead and change the regulator, or
16 do a by-pass valve to keep the gas going through the
17 rest of the house, or apartments.

18 INVESTIGATOR EMEABA: Okay. So you can
19 actually change a regulator by putting in a by-pass?

20 MR. MINOR: Yes.

21 INVESTIGATOR EMEABA: Okay. Thank you so
22 much. Because when you mentioned earlier, by law, you
23 don't touch a rack before with equipment, except when
24 you are asked to. So my thought and where I was a
25 little bit lost to say, for a multi-dwelling you need

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to apply this, how could you have done it without, you
2 know, impacting them. So you explained that you
3 actually connect a by-pass and then you have to replace
4 the regulator.

5 MR. MINOR: Yes, sir.

6 INVESTIGATOR EMEABA: Okay. Thank you.
7 That's what I wanted to know.

8 MR. MINOR: Okay.

9 INVESTIGATOR EMEABA: Thank you.

10 INVESTIGATOR CHHATRE: And you Lieutenant,
11 any questions?

12 LT. OLIN: No, I'm good, thank you.

13 INVESTIGATOR CHHATRE: Yes, your witness.

14 MR. AMROLIWALA: Yes, when you went there
15 and you said that --

16 INVESTIGATOR CHHATRE: Identify.

17 MR. AMROLIWALA: Oh, Rashmikan Amroliwala,
18 Maryland Public Service Commission. When you, this
19 meter rack, and you said just if you smell gas or if
20 your detector indicates the reading, then you will
21 check the whole rack?

22 MR. MINOR: Yes, sir.

23 MR. AMROLIWALA: Is that normally, not
24 procedure that you need to check the whole meter rack
25 with the gas track, that make sure that there is no

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 leak, indicates no leak? Because the first meter is
2 leaking, and you are just working on 14th meter, then
3 it's a distance and might not pick it up in your gas
4 track. So is it not a requirement that you need to
5 check all the entire meter rack just by touching with
6 your gas track?

7 MR. MINOR: No, sir. Not the protocol, no,
8 sir.

9 MR. AMROLIWALA: Is a Washington Gas
10 procedure? Is that not?

11 MALE PARTICIPANT: What?

12 MR. AMROLIWALA: That when they go inside
13 they need to check other things?

14 MR. NICHOLS: We'd have pull the procedure,
15 but I think that is the procedure, that you would
16 check. And that's no comment to you. You're just
17 expressing your understanding of what your requirements
18 were, so.

19 INVESTIGATOR CHHATRE: But that can be
20 requested, right?

21 MR. NICHOLS: It's been requested, and --

22 INVESTIGATOR CHHATRE: So we should get
23 that?

24 MR. NICHOLS: Right.

25 (Off microphone comments)

1 MR. MINOR: May I --

2 INVESTIGATOR CHHATRE: Please, if you have
3 something to.

4 MR. MINOR: May I speak?

5 INVESTIGATOR CHHATRE: Of course you can.

6 MR. MINOR: I want to speak up for my fellow
7 man on this. Again, when you go into these dungeons.
8 It's very difficult to check all these meters with
9 crap, dead animals, darkness, things that aren't
10 supposed to be there.

11 And when you request these people to change
12 it, they still don't do it. It comes in my hands while
13 I turn a customer's gas on. I'm the one getting the
14 phone call, why did I do this procedure?

15 I'm the one that have to say, why does the
16 guy call me 9:00 o'clock at night saying you walked out
17 with an attitude? So again, when you say check
18 everything, we got to also look at the safety of us.

19 And if I see something dangling, over our
20 meter. And if I don't get a reading, I'm going to just
21 be blunt, why should I put myself in danger? Who's
22 going to protect me?

23 INVESTIGATOR CHHATRE: But you do call
24 Washington Gas, right at that time?

25 MR. MINOR: When you're, Washington Gas has

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 something dangling over a meter? No, you could only
2 put a red tag on that situation because --

3 INVESTIGATOR CHHATRE: But you do take some
4 action, then?

5 MR. MINOR: But that's it, the action is
6 only for that meter.

7 INVESTIGATOR CHHATRE: Okay.

8 MR. MINOR: Not the ones in a corner, and
9 have a dog pivot (phonetic), over two feet of water.
10 Not the ones with traps, again, dead animals. Not the
11 ones that's hanging to the side, or AOC (phonetic).
12 Again, I'm there for that one meter. And I'm going to
13 use my ranger for my safety to check and make sure
14 there's no leaks.

15 INVESTIGATOR CHHATRE: Okay.

16 MR. MINOR: Now should I crawl, on top of a
17 box top and check for a leak and fall off and break my
18 leg and then be out of a job, what happened to me? I'm
19 just saying, you're asking me a lot of questions about
20 what I should check. What about the employees who need
21 to check it? What about us?

22 MR. STAEBLER: And this is Doug --

23 INVESTIGATOR CHHATRE: Off the record for a
24 second.

25 (Whereupon, the above-entitled matter went

1 off the record momentarily.)

2 INVESTIGATOR CHHATRE: Back on the record.

3 MR. STAEBLER: And this is Doug Staebler.

4 I'm just following up, you know. In a situation where
5 there isn't any obstructions or any dangers, do you
6 feel, you know, in a meter room where there's multiple
7 meters, the procedure and process you follow would
8 detect any leak on that meter set? Even if you're
9 there working on a single meter?

10 MR. MINOR: That's why I use my gas tracker
11 for. Yes, as you said it that way, yes that's what I
12 use my gas tracker for. We have a gas ranger and a gas
13 tracker. The gas tracker is this little hand gun
14 device that has a sniffer. I will go across everything
15 I can --

16 MR. AMROLIWALA: Yes.

17 MR. MINOR: -- to see would it go off.

18 MR. AMROLIWALA: Yes, that's what I was
19 looking, that you need to check with the gas tracker.

20 MR. MINOR: Okay, I'm sorry, sir. The
21 question was presented to me a different way.

22 MR. STAEBLER: Right, and before when you
23 said you wouldn't touch any other facility. You
24 wouldn't touch another meter. You would just do the
25 work on the meter, but you would still, it sounds like

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you would still use your gas tracker to check the rest
2 of the set, for --

3 MR. MINOR: Yes, sir. There you go, yes.

4 MR. STAEBLER: Okay, thank you.

5 INVESTIGATOR CHHATRE: Any other?

6 (No audible response)

7 INVESTIGATOR CHHATRE: No more questions
8 from you?

9 (No audible response)

10 INVESTIGATOR CHHATRE: You have any
11 questions, then?

12 MALE PARTICIPANT: I'm good.

13 INVESTIGATOR CHHATRE: Okay. If not, off
14 the record, thank you for coming and meeting here.
15 Appreciate your time.

16 (Whereupon, the above-entitled matter went
17 off the record.)

18

19

20

21

22

23

24

25

C E R T I F I C A T E

MATTER: Explosion of Apartment Bldg 8107
in Silver Spring, MD, August 10, 2016
Accident No. DCA16FP003
Interview of Andre C. Minor

DATE: 08-20-16

I hereby certify that the attached transcription of page 1 to 50 inclusive are to the best of my professional ability a true, accurate, and complete record of the above referenced proceedings as contained on the provided audio recording; further that I am neither counsel for, nor related to, nor employed by any of the parties to this action in which this proceeding has taken place; and further that I am not financially nor otherwise interested in the outcome of the action.



NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com